

UNITED STATES

NUCLEAR WASTE TECHNICAL REVIEW BOARD

SPRING 2004 BOARD MEETING

May 19, 2004

Embassy Suites Hotel
1250 22nd Street, NW.
Washington, D.C.

NWTRB BOARD MEMBERS PRESENT

Dr. Mark Abkowitz
Dr. Daniel B. Bullen
Dr. Thure Cerling
Dr. Norman Christensen
Dr. David Duquette, Morning Session Chair
Dr. Ronald Latanision, Afternoon Session Chair
Dr. Priscilla Nelson
Dr. Richard Parizek

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringer
Dr. Daniel Metlay
Dr. Leon Reiter
Dr. David Diodato
Dr. John Pye

NWTRB STAFF

Dr. William D. Barnard, Executive Director
Karyn Severson, Director, External Affairs
Joyce Dory, Director of Administration
Linda Coultry, Management Assistant
Alvina Hayes, Office Assistant

I N D E X

	<u>PAGE NO.</u>
Call to Order and Opening Remarks	
David Duquette, NWTRB Member	334
Regulatory Requirements,	
Margaret Chu, Director, OCRWM.	334
Introduction	
Robert Andrews, Manager Postclosure Safety, Bechtel SAIC Company (BSC)	348
Thermal Hydrological Environments and Thermal Seepage	
Gudmundur Bodvarsson, Direction, Earth Sciences Division, Lawrence Berkeley National Laboratory. .	375
Dust and Salt Deliquescence During the Thermal Pulse	
Carl Steefel, Geochemist, LBNL	438
Thermal Chemistry and Evaporative Concentration Evolution	
Carl Steefel, Geochemist, LBNL	501
Corrosion of Alloy 22	
Joe Payer, Professor of.	545
Public Comment Period.	629
Summary	
Robert Andrews	639
Wrap-Up Statements	669
Adjournment.	676

1 DUQUETTE: Good morning. For those of you who may be
2 new--there aren't too many of you--I'm David Duquette,
3 Chair of the Executive Committee of the Board. We have a
4 very busy day today, continuing on the erosion behavior of
5 the canister and thermal pulse. Most of the, I think all
6 of today's presentations will be by the Department of
7 Energy and I'm not going to take too much time this morning
8 except to say that I hope before the day is over the
9 environment at least will be described, the environment
10 that we're dealing with in this particular case, and
11 whether there is inhibition or not inhibition, whether the
12 nitrate is important or not important, whether the dust is
13 acid or basic or whatever the situation is. I hope all of
14 that will be addressed this morning. So, without any
15 further adieu, I'm going to introduce the first speaker.
16 Margaret, would you come up and make a few comments on
17 regulatory requirements?

18 CHU: Good morning. There are a lot less people today
19 than yesterday.

20 DUQUETTE: Yes.

21 CHU: It was a long day yesterday. It's going to be
22 longer.

23 You know, the reason I asked for 10 minutes to
24 make a few remarks this morning is--can you hear okay?

1 Okay. Well, ever since I received the letter from the
2 Board on October 21st, I have been thinking about a
3 statement in the letter, which actually turned out it was
4 on the Board's view graph yesterday. The quote, unquote,
5 "Total system performance assessment should not be used to
6 dismiss corrosion concerns." But yesterday's presentation
7 gave me a little more insight as to what that means but it
8 really is the reason I want to spend 10 minutes.

9 You know, I indicated in my response back to the
10 Board that we would not dismiss the corrosion concerns and
11 I also pointed out that performance assessment is a
12 required part of the demonstration of compliance with the
13 safety requirements established by the NRC. And then, I
14 would like to take a few minutes today to expand on this
15 point because I think that's a very important point. I
16 want to make sure we are all on the same page.

17 You know, under the law, the repository has to
18 meet a safety standard defined by the EPA and implemented
19 by NRC on 10 CFR 63. This standard is philosophically
20 okay. The framework is a risk-based--no, I'm sorry, risk-
21 informed--the NRC, they don't like the word risk-based.
22 Risk-informed and performance-based standard. So I'm going
23 to kind of dissect those two parts a little bit.

24 We all know the definition of risk. You know, we
25 call it a risk triplet. What it means is what can go

1 wrong, how likely it is, and what is the consequence.

2 Everybody knows that.

3 So the regulation requires that we consider the
4 probability as well as the consequences of all features,
5 events and processes that could affect the performance of
6 the repository. So this is the risk-informed part.

7 The second part is the performance-based. As for
8 the performance-based part, the regulation focuses on the
9 overall performance of the repository at a system level
10 rather than on the behavior of the individual components
11 separately. As you all know, the post-closure safety
12 standard is an annual dose not exceeding 15 millirem to the
13 reasonably maximally exposed individual. So that is the
14 overall system level performance objective, 15 millirem
15 dose.

16 And then there's another important point in 10
17 CFR 63. It requires us to demonstrate that there is a
18 reasonable expectation, not an absolute certainty, that the
19 repository will meet that standard, that requirement, 15
20 millirem. Section 63.304 states that absolute proof is
21 impossible to obtain due to the uncertainty of projecting
22 long-term performance. 10,000 years is just too far for us
23 to know for certain. "Reasonable expectation", that quote
24 in the rules, focuses on the full range of defensible and
25 reasonable parameter distributions. And then it

1 specifically says, please do not use extreme physical
2 situations and parameter values. And so, they recognize
3 the uncertainty and say, you're uncertain, you have to be
4 defensible and reasonable. Don't go to the extreme.

5 And then, last Fall there was a presentation from
6 NRC's Chair, Mr. Diaz, and he made a speech on this whole
7 concept. He made a very good point. He said if you go to
8 the extreme, are ultra conservative, go to, you know, the
9 end point of a scenario, your answer is going to be masked
10 by that scenario and you actually would divert your
11 resource on looking at what's really important, what the
12 real risks are. So, there is a balance on how much
13 uncertainty you put in. And so, you know, I personally am
14 pleased that we're starting to putting back, for example,
15 yesterday you heard the presentation on seismic end because
16 that really bothered me, when it's unlimited, unbound,
17 because everybody knew that it was unreasonable. We
18 started to pull it back because the reasonableness test is
19 an important part.

20 So, and then the regulation says a total system
21 performance, TSPA, is required to project a long-term dose
22 from releases from the repository. So the regulations say
23 this is how, you're going to show us how to demonstrate our
24 15 millirem, okay, of the level.

25 And then please bear with me. I'm going to quote

1 you a little bit. NRC describes performance assessment
2 this way: He says "It's a systematic--that's the important
3 words--systematic analysis that identifies the features,
4 events and processes that might affect performance of the
5 geological repository." You're supposed to examine their
6 effects on performance and estimate the radiological
7 exposures, including incorporating the probability that the
8 estimated exposures will occur to the reasonably maximally
9 exposed individual during the 10,000-year compliance
10 period.

11 The regulation also says, you know, if it's very
12 unlikely then, less than 10 to minus 8, never mind. Don't
13 worry about that. Okay, so there's some second tier.

14 So from this description is it clear that
15 features, events and processes are the underlying
16 foundation for the development of a TSPA. So the TSPA is
17 the methodology used to roll up and integrate the effects
18 of all the features, events and processes, and to calculate
19 their combined impact on the expected dose. This roll-up
20 takes into account the probability, the consequences and
21 the uncertainties. I know a lot of people know what this
22 TSPA, this composite thing means. It is a different
23 concept because the final result of TSPA is a distribution
24 of outcome. There's no single story in the final outcome
25 of TSPA. You can't say, you can't shoot a movie paid from

1 time zero to time 10,000 years, say this is what I expect
2 will happen. Rather, it's a combination of a possible
3 spectrum of evolution, of the behavior of the repository.
4 So it's a composite story you've got to see because we
5 can't predict something uncertain, so we can't describe the
6 evolution and say this is how many packages is going to
7 corrode because of this and that because spectrum things
8 can happen. There are certainty of chemical condition, you
9 know, and everything, so therefore, so when you do TSPA,
10 you take that uncertainty, the probability of
11 consideration, you sample them, that reflects the
12 uncertainty and probability and then you roll all of them
13 up. All of a sudden you see this big distribution of dose,
14 and then this is really representing this whole spectrum of
15 possibilities.

16 So my point is TSPA itself cannot be used to
17 dismiss anything. If you do it right, okay? One can argue
18 and debate on the technical basis, or the lack of it, of
19 underlying processes that are used to--you know, before it
20 got rolled up. And this is what we're doing later today,
21 is the individual processes that we are presenting.

22 And then this important point: If a process is
23 important to the overall safety of the repository in this
24 composite picture, you will and should show up as important
25 to the TSPA, unless you do it right, unless the technical

1 basis is important. And, if something is important to
2 certain conditions, but if it turns out that it's a minor
3 effect out of the whole scheme, you would not show up as
4 very impacting in the big picture.

5 In fact, you know, a detailed understanding of
6 the importance of a particular engineered or natural of the
7 are to the performance of the overall repository system is
8 frequently best understood through TSPA. I remember when I
9 was working on WIPP, we used TSPA to determine data
10 sufficiency, to determine, to prioritize R and D work, and
11 so on. Because it can be a very powerful tool to put you
12 in the right perspective at the system.

13 After saying all that, TSPA is not the only
14 factor in compliance determination by NRC. NRC will also
15 consider several other important factors. The first one is
16 multiple barriers. NRC says because of the inherent
17 uncertainties, the natural barrier and the engineered
18 barrier system need to work in combination to enhance the
19 resiliency of the geological repository. So therefore, if
20 some component turns out it's not important to TSPA--waste
21 pack for example, that there's some questions, can you
22 ignore it? No. NRC says you have to have that because of
23 multiple barrier concept.

24 Now the second factor is the Quality Assurance
25 Program, and we're all very familiar--I want to make sure

1 absolutely sure you have done what you say you have done,
2 it's well documented, following this rigorous procedure.
3 So that's the confidence NRC needs to have.

4 The third factor is the performance confirmation
5 program. Is that you have putting all these assumptions in
6 the data and analysis in your license application. It may
7 look good during the license application time, and then
8 they require us to plan a long-term performance
9 confirmation program and say we want verification, we want
10 you to monitor the important assumptions in data, so we
11 know because 50 years down the road, we know there's
12 nothing wrong.

13 And finally, you all remember that there's a
14 retrievability program required by NRC in case everything
15 you have done is wrong, okay? People all did the wrong
16 stuff. They want to have a retrievability option open, can
17 always go and retrieve everything so there will be no
18 disasters. So this is sort of the whole scheme of the
19 philosophy of 10 CFR 63.

20 Now, today we're going to focus on some of the
21 key corrosion-related processes that are considered in the
22 TSPA. You're going to hear today what we consider as the
23 technical basis for the treatment of the in-drift
24 environment and corrosion.

25 I want to re-emphasize that the fact that a

1 process like certain waste package corrosion mechanisms
2 might occur in the repository justifies the inclusion of
3 the process in the determination of compliance with safety
4 requirements. However, the existence of such a process
5 does not by itself determine whether the repository will or
6 will not comply with the standard. Both the probability
7 and the consequences of that process, together with
8 associated uncertainties must be taken into account through
9 the TSPA to determine how important that particular process
10 is in the context of all other processes that contribute to
11 the total risk from the repository. So I just want to
12 remind everybody, today is very important. Corrosion is a
13 very important mechanism. But it is the one process out of
14 very many eventually we have to roll out. And then, this
15 is the essence of the risk-informed performance-based
16 standard that the repository must meet.

17 So in conclusion, you will hear technical
18 presentations related to corrosion during thermal period
19 later, we will not present TSPA today. However, today's
20 presentations are the underlying processes that we will
21 need to roll up together with all other possible processes
22 into the TSPA. And we will discuss the TSPA conclusions in
23 more detail when we present our work to the Board in our
24 September meeting. Thank you.

25 Any questions? Is my time up?

1 DUQUETTE: Duquette, Board. Margaret, thank you very
2 much for your comments. I'm speaking for myself when I say
3 this, certainly not the Board. But I don't think you
4 should take the comment in the letter about TSPA out of
5 context. I don't think anyone on the Board wants to
6 dismiss TSPA under any circumstances. I think the letter
7 identifies a potentially avoidable problem with the
8 repository. And, I think that was really the thrust of the
9 letter. Again, based on information that had been given to
10 us, it isn't clear, for example, whether the environment
11 will inhibit corrosion. The data that was available to us
12 both from the center in San Antonio and from your own
13 researchers who indicated that there was a potential for
14 corrosion. I think that's all the letter identifies at
15 this particular point. I'm really glad to see the effort
16 that the department, that EPRI, the other, that the state
17 and NRC to put into addressing this problem. But I want to
18 say one more time it's my opinion that TSPA is not
19 dismissed by the Board under any circumstances. We fully
20 understand that TSPA can be satisfied without even
21 considering the corrosion issue, but I as an individual am
22 very concerned about compromising any of the barriers if it
23 can be avoided. And that really is where I think the
24 letter was coming from.

25 CHU: Thank you, and, like I say, yesterday morning,

1 and we really appreciate that, and it really helped us to
2 focus some the work, new work, we're actually turning out
3 some new work to address some of the issues. And what I
4 want to emphasize today is these are eventually, it's due
5 to roll-up of all the process that's going to determine the
6 ultimate outcome, but of course, in the meantime, we want
7 to have the best technical defense of all the underlying
8 processes. Corrosion is a prime, critical process that we
9 are addressing. You know, we take those technical issues
10 very seriously.

11 DUQUETTE: Thank you, Margaret.

12 CHU: Thank you.

13 DUQUETTE: Dr. Latanision?

14 LATANISION: Latanision, Board. I just want to echo
15 what Dave Duquette has said. You know, as an engineer I'm
16 pretty pragmatic and I look at TSPA as being obviously a
17 very important and powerful tool, but if I'm in a position
18 where I have the choice as an engineer of avoiding a
19 problem, which I believe I can do through a design
20 decision, and I have as the alternative using a predictive
21 model, a predictive process to help me in assessing whether
22 some event has a high or low probability and what the
23 consequences might be, I'm more apt to choose to avoid the
24 problem.

25 CHU: I understand.

1 LATANISION: And I think that's really in a nutshell
2 where we're at. I mean it's not dismissing the importance
3 of TSPA. We recognize that it's an important tool, it's
4 part of the compliance process and we're fully on-board in
5 that context.

6 CHU: I fully appreciate that point. Thanks.

7 MR. LATANISION: Thank you.

8 DUQUETTE: Thank you, Margaret.

9 CHU: Thank you.

10 DUQUETTE: I think we'll get the meeting back on
11 schedule. The next presentation is an introduction to
12 presentations addressing the Nuclear Waste Technical Review
13 Board's comments in a November 25th, 2003 letter, which is
14 what we're talking about. That's going to be presented
15 by--Robert or Bob?

16 ANDREWS: Bob.

17 DUQUETTE: Bob Andrews. Okay.

18 ANDREWS: Okay, thank you and good morning. It's an
19 honor and pleasure to be here to introduce these three fine
20 young men who are going to be following me with the actual
21 technical discussions. You can pay me later for the
22 compliment. Bo, Carl and Joe, and I'll talk about what
23 they are going to say as an introduction and they will
24 provide the technical details and bases for their
25 conclusions and the additional data and analyses that have

1 been conducted, not only to address the Board's questions
2 but to address, more importantly, the role of the
3 environment and the role of the waste package and the
4 corrosion degradation mechanisms as they affect the
5 repository facility, not only from a performance
6 assessment, a total system performance assessment
7 perspective, but from how it's going to be documented in
8 the safety and analysis report that John Arthur talked to
9 you about yesterday.

10 So if I can have my first slide. What I want to do is
11 just give the background, which I think was gone over a
12 little bit yesterday, but I want to go sort of point by
13 point through the sequence of events that led us to the
14 November--led us all to the November 25th letter, and to
15 today, essentially, go to what we're going to talk about
16 today and what we're not going to talk about today, and
17 then introduce the subject matter and the speakers in the
18 context of comments made in the letter itself, and in the
19 executive summary of that letter so we can put it into
20 direct focus with respect to the comments that we are
21 addressing today. Next slide, please.

22 As was discussed yesterday, the Board was
23 presented with a lot of information last January, January,
24 2003, and May of 2003. January kind of focused on
25 corrosion, corrosion testing, information available as of

1 January of 2003 with respect to corrosion testing in a
2 range of environments.

3 That was followed up by the May presentations
4 which generally focused on three parts, which focused on
5 seepage in a nature environment that affects seepage into
6 drifts because if there is no seepage then the effects of
7 the chemistry in the rock are somewhat mitigated because
8 the chemistry of the rock never get into the drift. So we
9 had the discussion on seepage and thermal seepage. We
10 followed that with a discussion on chemistry, chemistry in
11 the rock and chemistry in the drift and the evolution of
12 that chemistry in the rock and in the drift as it affects
13 the degradation modes of the materials that are in the
14 drift.

15 Then we followed that with a third presentation
16 in May on the data available at that time on testing in a
17 range of environments with localized corrosion testing,
18 crevice corrosion and general corrosion and evaluations of
19 Alloy 22 degradation in the range of environments.

20 Those presentations the board commented on in a
21 letter in June identifying some potential questions,
22 potential, I think the way they phrased it was some initial
23 reactions associated with the presentations that were in
24 May. I think the department then--next slide, John--
25 responded to that in October concluding that there was

1 insignificant corrosion above the boiling point, in large
2 part, due to the lack of seepage during the thermal period,
3 and the primarily benign deliquescent brines. When things
4 did deliquesce, those brines were generally of a non-
5 corrosive nature, i.e., high in nitrate concentration. And
6 they also acknowledge, or the Department acknowledged that
7 there was insignificant corrosion below the boiling point
8 of water primarily because of benign seepage conditions.
9 So when you got to that point in the thermal hydrologic
10 evolution where seepage could occur, the chemistry of the
11 fluids in the rock that could come into contact with
12 materials in the drift was also benign.

13 October 21st, the board provided a letter to the
14 department summarizing their conclusions related to
15 corrosion. October 27th, we responded noting that the
16 corrosion testing that was presented at the May meeting and
17 some subsequent testing that I think had been provided to
18 the Board subsequent to that May meeting through its series
19 of interchanges with the Board provided an incomplete
20 picture of the overall corrosion story in the range of
21 likely environments that should be considered.

22 On November 25th, the board did write their
23 report which they had mentioned in the October letter, and
24 it's that report with its conclusions that we want to
25 address today. It had a cover letter and then the actual

1 body of the report, and as noted yesterday, there was an
2 attachment to the report by one of the board members
3 acknowledging three other issues that he felt were relevant
4 to the discussion of deliquescent brines and the effects,
5 potential effects of deliquescent brines on the
6 performance.

7 So today, what we want to do is answer the
8 questions, the concerns, the issues raised in that November
9 25th transmittal from the board to the department and to
10 particularly focus on those aspects during the thermal
11 pulse, as it has been described, although we haven't
12 defined thermal pulse. The repository is in a thermal
13 period for its whole time period, will be in a thermal
14 period through its whole time period no matter what thermal
15 loading strategy might be, so we will focus on information
16 that affects repository performance during the whole
17 thermal period today.

18 We've broken this series of presentations into
19 four presentations, and let me walk through the logic of
20 why we broke it into four. First off, the degradation
21 characteristics of Alloy 22, I think everybody acknowledges
22 our function of the environment in which the waste package
23 sits. That environment is a thermal environment, it's a
24 hydrologic environment, it's a chemical environment, and in
25 fact, it's a mechanical environment as well. And those

1 thermal, hydromechanical processes and conditions do affect
2 the degradation characteristics of the Alloy 22, as do some
3 other engineering aspects associated with the formation,
4 construction, fabrication of the waste package itself.

5 So, but we don't want to jump into Alloy 22
6 degradation. We want to put it into the context of the
7 environment in which it sits. That environment is, first
8 off, affected by the chemical environment but the chemical
9 environment is in fact affected by the thermal environment.
10 And we broke the chemical environment discussion into two
11 separate parts that Carl is going to talk about. The part
12 this afternoon is reserved for kind of the aqueous
13 chemistry, the chemistry evolution in the rock and the
14 chemistry evolution in the drift in an aqueous type
15 environment, i.e., generally in the below-boiling type
16 conditions.

17 This morning we're going to directly focus,
18 because the board's letter and executive summary focused on
19 the deliquescent part of the chemistry. That is the period
20 when it is not only dry, there's not aqueous conditions
21 from the rock in the drift, but that we do have dust and
22 dust will deliquesce. Salts in the dust will deliquesce at
23 a range of different humidities and have different
24 conditions with respect to the corrosion mechanisms on
25 Alloy 22.

1 So Carl Steefel will talk specifically about the
2 dust issue, the chemistry of the dust within the thermal
3 hydrologic environment that exists in the drift because you
4 cannot separate how the dust behaves from the temperature
5 and humidity conditions in which that dust and the salts
6 within that dust are sitting. So we wanted to walk through
7 the hydrology and thermal hydrology first, then go to the
8 dust part of the chemistry second, go to the aqueous part
9 of the chemistry third and finally wrap it up with what
10 does all those environment issues mean with respect to the
11 degradation characteristics of Alloy 22. And then I will
12 have some concluding comments at the end of the day.

13 If I can go to the next slide.

14 In addition to talking about what we are going to
15 talk about, it's useful to talk about what we're not going
16 to talk about so we can also put this into context.

17 We're not going to discuss all of the board's
18 questions in the report. Our aim was in the time allotted
19 today was to focus on what was deemed to be the most
20 crucial aspects in the cover letter and in the executive
21 summary, which was the deliquescence of brines and thermal
22 evolution that affects that deliquescent of salts in the
23 repository environment during thermal pulse.

24 So there are a number of other aspects raised in the
25 Board's letter, and we're not going to focus on--or the

1 report, I should say, and we're not going to focus on a
2 number of those other elements. We would be pleased to do
3 that at a later time if desired by the Board.

4 We're also not going to focus on other elements
5 of repository performance. I'm going to have a brief
6 introduction to some of them here in a few slides, but our
7 focus is not on other elements of the system. I think the
8 Board recognized both in the cover letter and in the report
9 itself that there are other elements of the system that
10 affect the overall repository performance, that were also
11 not the focus of that letter, that could affect the results
12 of the total system performance assessment, and in fact do
13 affect the results. So we're not going to discuss those.

14 And I think it's also important to point out that
15 we're not going to discuss the low probability, disruptive
16 type events that could affect the characteristics of the
17 drift after the repository is closed. One of those we
18 talked about a little bit yesterday. That's the seismic
19 event. We talked about the initiation part of the seismic
20 event yesterday, the consequences, the effects and
21 consequences of a seismic event, potentially a low
22 probability seismic and high velocity seismic event which
23 can affect the degradation of the drift and can affect the
24 thermal environment and can affect the performance of the
25 drip shield and the waste package in that environment, are

1 not going to be discussed. Our focus is on the most likely
2 performance, i.e., the probabilities of 99 percent, 99.9
3 percent of the time, not the .1 percent of the time that
4 may occur if a 10 to the minus six seismic event, for
5 example, occurred in the first thousand years of repository
6 operation. So our focus is going to be on what we think is
7 the most likely and the uncertainty in that most likely
8 occurrence, not the low probability features, events,
9 things that also have to be considered in the post-
10 performance assessment.

11 And I'm going to say that we have a day here.
12 And a day might seem a long time, but I can tell you each
13 one of these speakers, we had to trim down their stuff to
14 get it into a day. So there is additional information
15 available. That additional information is being provided
16 in the updates of the analysis and model reports that John
17 Arthur talked about yesterday, and actually would be
18 included in the SAR, the safety analysis report. So, we're
19 focused on answering the Board's questions in the time
20 allotted and there is additional information available that
21 sometimes the members will talk to. Next slide.

22 Okay, it's probably useful to put this into some
23 overall context. I don't want to say system performance
24 assessment, but a system's context, to first acknowledge
25 that the whole repository system is built of a large number

1 of features and those features act as barriers and there
2 are three requirements for barriers. Has nothing to do
3 with system performance, but has to do with keeping water
4 away from the waste, limiting radionuclide release and
5 delaying radionuclide transports, so there are a number of
6 features in this system that provide one or more of those
7 functions from a repository performance perspective.

8 We're going to focus in on one of those features
9 today. That feature is the waste package, effectively.
10 And that waste package is affected by the environment in
11 which it sits. It is affected by the Allow 22 degradation,
12 it's affected by the temperature, by the humidity, by the
13 hydrology, by the mechanics, i.e., the stresses that it
14 sees, and by the chemistry. But we're not going to talk
15 about the other features, but rest assured those other
16 features and components are included in the overall post-
17 closure safety analysis that will be described in the
18 safety and analysis report.

19 Within each of those features, and in particular
20 the features in the drift, there are a number of processes.
21 Thermal mechanical, hydrologic chemical processes that go
22 on. They go on with time. They will go on with time no
23 matter what design is chosen for this facility, things will
24 evolve. Temperatures will evolve, chemistries will evolve,
25 hydrology will evolve. Take a simple example of climate.

1 We know climate will change and the evolution of that
2 climate change has to be factored in and included in the
3 assessment of how the repository behaves during the 10,000-
4 year regulatory time period.

5 These processes are all describe by models.
6 Those models are built on data. Those data are, in some
7 cases, in-situ data when that's available, sometimes by
8 laboratory test type data, sometimes by analog information,
9 and sometimes by other literature information. And in some
10 cases those models are substantiated and supported by other
11 lines of evidence including work done by others. And some
12 of our presenters today will present some work done by
13 others, not the project, to support and evaluate the
14 applicability of their models with respect to other
15 people's tests.

16 Bo, for example will talk about some tests done
17 at the Center with respect to thermal hydrology and thermal
18 seepage, and a comparison of our model with their test and
19 its information and the relevance of that test and
20 information to our projections of repository behavior.

21 Joe will present some information also from the
22 Center on their testing with respect to localized corrosion
23 and critical potentials and corrosion potentials.

24 Carl will present some information from Catholic
25 University and the relevance of that with respect to the

1 environments that we think are going to evolve within the
2 drift. So we're not just using our own data and
3 information, we're using that information that's available
4 from others as a comparison and a test, if you will, of our
5 own models and analyses.

6 There is uncertainty in all of the above. All of
7 the models have uncertainty, the data have uncertainty, the
8 parameters have uncertainty, and those uncertainties need
9 to be addressed in the assessment of compliance with the
10 Part 63 requirements.

11 There's also, as I said earlier, some unlikely
12 events that have to be assessed if their probability is
13 greater than 10 to the minus 4 of occurring during the
14 10,000-year time period. And all of that, as Margaret
15 said, has to ultimately be rolled up into an assessment of
16 risk because the compliance measure for Part 63, for Yucca
17 Mountain, is a risk-based performance type standard, so the
18 uncertainties, the low likelihood of features and events
19 have to be considered and addressed and included or
20 appropriately excluded from the assessment of the
21 repository performance.

22 So if I can go on to the next slide. And what
23 I'm going to do is on the left side have the actual Board's
24 quotes from either the executive summary or from the letter
25 itself, I think Dr. Latanision yesterday morning summarized

1 the Board comments and I think the speakers, Dr. Cerling
2 followed that up with then summaries of these, but I've put
3 the actual quotes that are going to be the focus of our
4 following discussion.

5 Okay, I think I will read these actually, even
6 though they are up there. "The Board believes"--this is in
7 the cover letter--"that all the conditions necessary to
8 initiate localized corrosion of the waste package will
9 likely be present during the thermal pulse because of the
10 deliquescence of salts on waste package surfaces, and thus
11 it is likely that deliquescence-induced localized corrosion
12 will be initiated during the thermal pulse."

13 They go on to say, "Limited data examined to date
14 indicate that dust, which would be present on the proposed
15 tunnels and which would be deposited on waste packages,
16 contains calcium chloride and magnesium chloride salts in
17 amounts sufficient for the development of concentrated
18 brines through deliquescence."

19 And finally, "Corrosion experiments indicate that
20 localized corrosion is likely to be initiated if waste
21 package surface temperatures are above 140 C and if
22 concentrated brines such as would be formed by the
23 deliquescence of calcium and magnesium chloride are
24 present."

25 So for each one of those, we've broken it up into

1 the relevant parts of those sentences and the relevant
2 parts of the talks. It's impossible to talk about
3 deliquescence of salts without understanding the
4 temperature and humidity in which those salts are sitting.

5 So Bo will present the hydrology part, including the
6 temperature and humidity and the range of likely
7 temperature, humidity profiles that are existent in the
8 rock. And, in the drift on the package.

9 And, it's important to put those into context.
10 These are results that are plotted in a little bit
11 different way. We'll see when you get to the presentations
12 and what we've presented last May, fundamentally they are
13 the same. There's a little more uncertainty included in
14 thermal hydrologic response that Bo will talk about, but
15 we're going to plot them as temperature humidity profiles
16 rather than temperature time or humidity time profiles
17 because each package will essentially see its own
18 temperature/humidity relationship and it's that package and
19 its response to that temperature and humidity that's in
20 fact important that we want to talk about. So Bo will put
21 that into context, so stay tuned for the temperature and
22 humidity relationships as they change with time through the
23 repository life.

24 Carl will then present information that neither
25 calcium nor magnesium chloride salts are present in the

1 Yucca Mountain dusts. So the premise that there are
2 calcium chloride or magnesium chloride salts sitting on the
3 package Carl will discuss and discuss why that's not true.

4 Carl will also present information that, even if
5 those salts existed in our environment so we had calcium
6 chloride or magnesium chloride salt sitting on the waste
7 package that would quickly transition to a more stable
8 phase, either through acid gas evolution at higher
9 temperatures or even under nominal temperatures and
10 humidities, i.e., ambient temperatures and humidity. It
11 would evolve into a more stable phase.

12 Joe will then present information that, given
13 those conditions, that the probability of localized
14 corrosion being initiated during this time period is
15 extremely low and that widespread corrosion, localized
16 corrosion as discussed in the Board's comment does not
17 occur, for a variety of reasons, and Joe will present the
18 data that support those conclusions.

19 Going on to the next Board comment in the
20 executive summary, the Board had comments associated with
21 the thermal effects, and I'm presenting this in the order
22 that they are in the letter rather than ranging it by
23 temperature and chemistry and corrosion because that's the
24 way the letter was written. "The board believes that
25 temperature calculations may be inaccurate because (1) the

1 DOE's rock mass thermal conductivity estimates for the
2 lower lith may be too high, the insulating effect of
3 rockfall and drift degradation are not included and the
4 effects of in-drift, in-rock natural ventilation and air
5 circulation have not been accounted for."

6 Bo will present additional information today with
7 respect to the thermal conductivity and the incorporation
8 of thermal conductivity and its uncertainty in the
9 projections of the thermal hydrologic response. Mark
10 presented some of the data upon which Bo will describe the
11 models yesterday and those data are data available in the
12 lower lith at a range of different scales. Bo will also
13 talk about the scale effect and the appropriateness of
14 scale when analyzing the thermal hydrologic response over
15 the scale of meters and tens of meters rather than
16 centimeters or tens of centimeters.

17 Bo will also discuss how the effects of drift
18 degradation, especially the high probability drift
19 degradation effects are included and addressed within the
20 thermal hydrologic and thermal seepage and seepage
21 assessments themselves.

22 Bo will not discuss, as I said earlier, the
23 effects of the very low probability of drift degradation
24 responses. I think it's fair to say that extremely low
25 probabilities of 10^{-6} over, per year which is

1 10 to the minus 2 over the lifetime of the repository at
2 very high peak ground velocities. I think the Board has
3 been presented results in the past that show that drifts
4 can have a significant degree of degradation. The
5 probability of that occurring during the thermal pulse,
6 during, let's just say for the first 1,000 years, to make
7 our calculation easier, is .1 percent. So we're going to
8 focus, as I said, on the 99.9 percent of the time, not that
9 .1 percent of the time.

10 And finally, with respect to in-drift convection
11 and natural convection, the effects of in-drift convection
12 we're not going to talk about. There are condensation
13 effects. We have condensation included in the analyses,
14 but the effects of condensation on chemistry and the
15 effects of condensation on, you know, hydrology in the
16 drift are not relevant, so we're going to delay that
17 discussion, too.

18 And the effects of natural ventilation through
19 the rock on the thermal hydrologic response, I think as
20 acknowledged by Dr. Cerling yesterday, probably have the
21 effect of decreasing the predicted temperatures from the
22 temperatures that we're going to project. I don't know if
23 that's conservative or non-conservative, to be honest with
24 you, but it has the effect of over-predicting the
25 temperatures, so we're not going to discuss the effects of

1 natural ventilation, natural convection on reducing the
2 temperature projections.

3 The next one, seepage chemistry, and we're
4 hitting on these because, even though seepage chemistry
5 does not affect the deliquescence, they are two separate
6 issues of how the dust deliquesces or salts in the dust
7 deliquesce in the absence of liquid water coming in is one
8 part of an issue and seepage chemistry and aqueous
9 chemistry is another part of the issue. The Board did
10 raise it as a question in their executive summary. It
11 wasn't in the letter itself, but it was in the executive
12 summary. We thought it was important to put this in a
13 holistic context rather than only focus on dust
14 deliquescence, but to broaden it to the whole evolution
15 during the thermal period, which can include seepage
16 chemistry.

17 "The Board believes the possibility of seepage
18 where the rocks are above boiling cannot be excluded, but
19 that seepage would most likely be limited. The DOE's
20 analyses of water chemistries and their corrosive potential
21 are extremely complex and suffer from empirical and
22 theoretical weaknesses. Thus, the Board does not have a
23 high degree of confidence in DOE's conclusion that any
24 seepage water would be dilute or noncorrosive, because the
25 methods used in the DOE's analyses have significant

1 technical uncertainties."

2 With respect to this particular question, Bo will
3 first off address the thermal aspects and thermal seepage
4 aspects, present additional evidence in comparison to
5 alternative models, in this case to an NRC representation
6 of their test data, so using multiple lines of evidence to
7 evaluate the thermal hydrologic, thermal seepage evolution
8 in the rock.

9 Carl will go on and present additional
10 information to support the theoretical basis behind the
11 evolution of chemistry in the rock and the evolution of
12 chemistry in the drift were that chemistry to come into the
13 drift, to provide that additional information to support
14 the models that have been used in the propagation of the
15 analyses of those models that have been used.

16 Finally, to put it into the context of what does
17 this mean to corrosion, Joe will provide additional
18 information of the degradation characteristics of Alloy 22
19 in that thermal environment with that chemistry and the
20 range of chemistries that are likely. The uncertainty in
21 those chemistries that are likely and have to be
22 considered. Next slide.

23 With respect to significance of localized
24 corrosion, "The Board believes that experimental evidence
25 is not adequate to demonstrate the corrosive conditions

1 which will be present only briefly. The DOE has not
2 established whether nitrate will inhibit localized
3 corrosion over the entire range of temperatures in which
4 brines could exist. Furthermore, based on the DOE's
5 estimates, the Board believes there is ample chloride to
6 cause a significant amount of localized corrosion."

7 And they go in the cover letter to say, "Crevices
8 are widespread on the waste packages, arising from their
9 design as well as from contacts between the metal and dust
10 particles."

11 So before Joe can talk about localized corrosion,
12 as I said several times, we have to put it into the context
13 of what are those environments. So Bo and Carl will
14 present the environments, thermal environments, humidity
15 environments, the seepage environments and the chemistry
16 environments, both during the above-boiling phase and
17 below-boiling phase.

18 Carl will discuss the amount of chloride that
19 actually is present during the thermal period in the rock
20 and in the drift if it were a salt, salt bed and
21 deliquesced.

22 Then, that will be followed with Joe presenting
23 the corrosion information. There's not a lot of additional
24 information collected since last May on a range of
25 corrosion potentials and critical potentials, in a range of

1 environments to better define where localized corrosion is
2 likely to be initiated and where localized corrosion is
3 unlikely to be initiated.

4 Joe will also discuss whether the relevance of
5 dust with respect to severe crevices and a comparison of
6 the dust against the severe crevices that are used within
7 the laboratory testing program.

8 The Board summarized their comments in their
9 cover letter by saying, "Thus, the board believes that
10 under the conditions associated with DOE's current high-
11 temperature repository design, widespread corrosion of the
12 waste package is likely to be initiated during the thermal
13 pulse."

14 Obviously, from all the previous slides that I've
15 presented, and the information that will be presented
16 following me, from Carl and Bo and Joe, the DOE will
17 conclude that widespread corrosion of the waste package
18 will not occur during the thermal pulse, so we disagree,
19 obviously, with your conclusion.

20 In summary, the Board's, as I think has been
21 noted several times yesterday and again this morning, the
22 Board's letter and cover letter, executive summary and
23 report reflected the information that were available to the
24 Board essentially last May. There was some additional
25 information presented through last summer that essentially

1 reflected a snapshot of available information through last
2 May and into last summer. There's a lot of additional
3 information that has been collected, a lot of simulation, a
4 lot of integration of information that was maybe difficult
5 to present last May when the analyses and model reports
6 upon which the information that was to be presented were in
7 fact not even in draft form at that particular time.

8 And, there were some issues that were not
9 explicitly presented in May that I've listed here. For
10 example, we did not explicitly talk last May about the
11 effects and magnitude of drift degradation. I think there
12 had been previous earlier presentations to the Board prior
13 to last May on drift degradation effects that were
14 preliminary analyses that have since been revised with
15 updated models and analysis.

16 We did not explicitly last May talk about thermal
17 hydrologic response. It was implicit in starting with the
18 temperature time profiles and humidity time profiles, but
19 we did not talk about the thermal hydrologic models, the
20 bases of thermal hydrologic models, the validation of the
21 thermal hydrologic models or the uncertainty propagation of
22 the thermal hydrologic models last May.

23 Nor did we talk about the composition of the
24 deliquescent brines. We acknowledged that there was salt
25 last May. We acknowledged there was chemistry in that salt

1 last May, but we did not explicitly talk about what that
2 chemistry was, what the salts were and how those salts
3 evolved and could deliquesce and what their likely chemical
4 condition would be were they to deliquesce. It's
5 interesting to go back and look at the transcript of that
6 meeting and see there's a lot of lively discussion on this
7 particular issue towards the end of the meeting that kind
8 of got chopped sort of at the end of the meeting, and
9 hopefully that won't happen today. But, we never
10 explicitly talked about the chemistry evolution of the dust
11 on the surface of the waste package.

12 And, in addition, the last bullet there, there's
13 a lot of additional information that we're pleased to
14 present today to the Board to address their specific
15 questions but that additional information also improves the
16 technical bases of the entire safety analysis and entire
17 technical basis behind the total system performance
18 assessment and ultimately improve the technical bases of
19 the safety analysis report that will be submitted to NRC at
20 the end of the year.

21 So with that I'm going to stop and entertain any
22 questions for me or we can wait for the more technical
23 presentations.

24 DUQUETTE: Questions from the Board? Dan Bullen?

25 BULLEN: Bullen, Board. Can we go to slide 2 on the

1 left-hand screen, please?

2 First, let me compliment you on a very detailed
3 and complex TSPA that I know you guys are putting together
4 for the license application, but I kind of have a question
5 for you and we'll put it in the context of, we'll take it
6 out of the time frame necessary to end this fiscal year or
7 calendar year, and say, in the future, if some unnamed
8 regulatory agency should ask you, how much effort would it
9 take to evaluate a cooler design? What significant changes
10 would you have to make to this TSPA and how long would that
11 take if you got an RAI from that organization?

12 ANDREWS: Let's not answer the time part, but it is
13 fair to answer what things would change. The thermal
14 response of the repository affects the degradation of the
15 rock mass around the repository. It affects the seepage
16 and thermal seepage analyses, it affects the chemistry
17 evolution in the rock mass, and in the drifts. So those
18 aspects which would be in, either by the way, but a
19 technical basis document--we had that presentation to the
20 Board last Fall, so technical basis documents 3, 4, 5 and 6
21 would be impacted and the analyses and model upon which
22 they are based would be impacted.

23 I do not believe personally any additional model
24 validation, you know, is required. I think the models are
25 valid over a range of thermal conditions. But additional

1 analyses and calculations and designs would be required,
2 which would take a significant amount of time. And, just
3 to set the record straight, the TSPA might be complete, but
4 it's not complex. And I think we have an opportunity to
5 talk to the Board in September/October time frame about the
6 TSPA and we are going to welcome that opportunity.

7 BULLEN: Bullen, Board. I guess just as a follow-up
8 to that, I'm a little bit confused by the fact that you
9 didn't want to address time. If the repository at some
10 point is going to be cool and you need to model a cool
11 repository, how difficult is it to do that at a different
12 time frame in the lifetime of the repository?

13 ANDREWS: Well, I'm not sure I exactly understand the
14 question, Dan, but how it got to cool makes a difference.

15 BULLEN: I understand. But if it never got to hot, is
16 there a very large change in the model requirements and the
17 time necessary to do that?

18 ANDREWS: No, not the model--that's what I said, the
19 models are essentially unchanged, but the analytical bases
20 has to still be performed. In other words, the
21 calculations of how you think it responds as a function of
22 time. Because the repository will respond, you know.
23 There will be--you are stressing the repository by the
24 opening of holes and introduction of waste that has heat,
25 so you have to analyze that response mechanically,

1 thermally, hydrologically and chemically because that
2 affects how the repository behaves.

3 BULLEN: Bullen, Board. I guess the follow-up to that
4 question is is the analysis for a cooler repository
5 significantly different, more difficult, less difficult?

6 ANDREWS: The same.

7 BULLEN: Okay, thank you.

8 PARIZEK: Parizek, Board. Bob, I found your
9 presentation very clear and more or less the whole road map
10 of how the day is going to proceed. And for one, it would
11 be helpful if, as each presenter gives their part of the
12 story, that they indicate what's new, what new data,
13 because you imply that you have done a lot of additional
14 work, and that's helpful to the Board because we're
15 analyzing on the basis of what we had. If a lot of new
16 information is to be provided, if the speakers could sort
17 of remind us of what's new because there's a lot going to
18 happen today and it will be kind of hard to keep track of
19 all of this.

20 ANDREWS: I'm sure they will.

21 PARIZEK: And then I hope we will get a copy of
22 Margaret's comments as well.

23 ABKOWITZ: Abkowitz, Board. Bob, I was just
24 reflecting on the EPRI presentation yesterday and some of
25 your opening remarks and I've sort of leafed through some

1 of the summary positions that the remainder of the speakers
2 today will be talking about. And, you know, there seems to
3 be a very emphatic statement coming back to the Board that
4 this is a non-starter. And so I was curious that if the
5 uncertainty in all of this area has now been removed, is
6 there any consideration that you'll go to a hotter design?
7 And if not, why not?

8 ANDREWS: Well, I won't speak for the Department on
9 whether they're considering a hotter design or not. I can
10 tell you the bases for the license application, which is
11 our near-term goal and objective, is the design that was
12 presented to the Board in January, and the analytical bases
13 for that has been presented to the Board in a number of
14 presentations, including the ones today. So there's no
15 short-term, you know, plan to, if you will, go to a hotter
16 design. Is there any reason why you wouldn't go to a
17 hotter design? No technical reason necessarily. There
18 might be some point in the temperature profile where you
19 don't want to be for other reasons, you know, design
20 operation type reasons, ventilation type reasons, or
21 whatever. But I'm trying to analyze the design that we
22 have and provide the bases for the performance assessment
23 and the barrier analyses that are required for the safety
24 analysis report right now.

25 BULLEN: Bullen, Board. Just to follow up on that

1 one. I think there still is a temperature limit, isn't
2 there, at the clad credit? I mean do we want to not go
3 above 350 for the cladding so that's sort of the peak
4 repository temperature and does that not drive it or is
5 there--

6 ANDREWS: There are some design requirements of that
7 nature for the cladding and for the drift wall that are not
8 performance-based design requirements, though, right now.

9 BULLEN: Thank you.

10 DUQUETTE: Questions or comments from the audience?

11 None. I want to thank you for not only being on
12 time, but being early. I think this is the first time in
13 this Board's history since I've been on it.

14 The next speaker is on Thermal Hydrologic
15 Environments and Thermal Seepage by Bo Bodvarsson, who is
16 the Director of Earth Sciences Division of the Lawrence
17 Berkeley National Laboratory. Bo?

18 I would remind the speakers, by the way, to use
19 the microphone as much as possible. These microphones have
20 very little throwing power.

21 BODVARSSON: Okay. Good morning and thank you for the
22 introduction. Just like Bob said, it's an honor to be here
23 and talk about the recent Board topic. It was clear, like
24 Margaret said this morning, we have taken your comments
25 very, very seriously and her instructions to me and the

1 others is to do a lot of work and also show you all the new
2 things we have done since our last meeting. So I'm going
3 to try to emphasize those. If the Chairman allows, I don't
4 mind questions during the presentation at all. It's up to
5 you, to clarify things as we go along. I would actually
6 prefer that. It's up to you.

7 DUQUETTE: Unless it's really a burning question, I'd
8 just as soon wait until afterwards.

9 BODVARSSON: Okay. Now, the outline of my talk is
10 shown there on the right-hand side, on the left-hand side.
11 It's very, very simple. I'm going to talk about the
12 capillary barrier, I'm going to talk about the vaporization
13 barrier, and I'm going to talk about in-drift thermal and
14 humidity conditions.

15 The Board had a lot of comments about all these
16 factors in their last letter. Like Bob said, some of it is
17 due to the fact that we have clarified our position with
18 new plots, new paper, new information, and hopefully I'll
19 show you most of those today.

20 So, first let's go into the capillary barrier.
21 These man, Yvonne Tsang helped me prepare this talk. Jens
22 Birkholzer and Tom Buscheck and Stefan Finsterle of LDL
23 have been really instrumental in the analysis of the
24 capillary barrier, thermal barrier and in-drift PH
25 conditions. Next one.

1 So you see there on the left--oh, can we go back
2 on the left-hand side there. Yeah. First, I wanted to
3 show that we have done really extensive testing of seepage
4 in the repository area, and if you can click it again you
5 can see the other niches, in all the locations really have
6 done testing. So I want to really highlight that there are
7 multiple occasions where we have done tests and on each of
8 these locations we have done multiple tests of those
9 locations. They include permeability ranges over pore
10 water ranging from 10 to 100 darcies down to a few
11 millidarcies. So we have covered a very wide range of
12 hydrological conditions.

13 You will also see in the red there that we have
14 done extensive testing in the lower lithophysal. This was
15 one of the misunderstandings by the Board was that we
16 didn't do seepage testing in the lower lithophysal. We
17 have done lots of testing in the lower lithophysal. This
18 I'll explain to you a little bit later. So I just want to
19 impress on you that we have done many, many tests at
20 various locations, different heterogeneities and different
21 rock conditions. Next one.

22 So, the capillary barriers and the thermal
23 barriers, I want to explain these a little bit to you. On
24 the left is a capillary barrier, on the right is what we
25 call vaporization barriers. These are redundant barriers.

1 That means they can both help us. The one on the left,
2 this one here, the fact is that water does not want to go
3 into the drift. It wants to flow around the drift as is
4 indicated by the water and it's simply because water
5 doesn't like to go into big openings. This is very well
6 known in physics and I think the Board acknowledges this,
7 that this is going to happen and we have done very many
8 tests. These are very, very conservative because are
9 testing basically, we put water right on top of the niches
10 and boreholes just about a meter from the niches, so we are
11 almost forcing the water to go into the niches during
12 testing. So the testing is very, very conservative when we
13 calculate seepage into the drifts.

14 The other barrier is also quite interesting
15 because it occurs at a different location. Here is where
16 you have the thermal dry-out zone where the rock is
17 basically dry, where the saturation of liquid water in the
18 matrix is practically zero. The same in the fractures.
19 And the water trying to get into this zone will just simply
20 vaporize again and move away from the drift. So there's a
21 lot of shedding and I'll show you later that the saturation
22 increases over here on top, and the fractures are going to
23 be very, very small because the water is just going to go
24 up and then shed around the niches. So almost all of the
25 vaporized water that forms a steam and condenses out here

1 is shedded away between the drifts. Well, this is a very,
2 very powerful barrier. The temperatures here, on the order
3 of 120, 140 degrees and out here might be cooler, on the
4 order of 96 degrees or so.

5 The other thing I wanted to mention a little bit
6 here also is gas pressures in the drift here. There has
7 been some suggestion about the gas pressure would increase
8 substantially in the drift. That's not the case. It will
9 only increase by 10s of 100s of Pascals. This is very,
10 very small, and all of our models, including the multi-
11 scale model, including the thermal hydrology model, they
12 all agree with this, that this pressure increase is going
13 to be very, very slight, indeed.

14 The other thing also worth mentioning here is
15 that the conditions in the drift during this boiling period
16 are going to be primarily steep. There's going to be very
17 little air there. It's all going to be displaced by steam.
18 So the mass fraction of steam here is going to be about 95
19 percent or so, so very little oxygen is going to be
20 available there or here because it's all steam, because
21 steam is generated in the rock here and steam flows into
22 the drift so this is full of steam. So next slide, please.

23 So I'm going to start and try to clarify some of
24 the concerns of the Board that they raised in their letter.
25 First one is this one, capillarity is a well-recognized

1 phenomenon in unsaturated rocks. So they acknowledge that
2 this occurs. But DOE has not demonstrated that the
3 conditions required for a capillary barrier to form are
4 satisfied throughout the drifts. The DOE view is based on
5 insufficient data in modeling. And my first slide on the
6 left-hand side there that shows you all the data that we
7 have collected, you kind of tend to disagree with this. We
8 have collected a lot of information over a wide variety of
9 test conditions, different permeabilities varying from four
10 orders of magnitude, so we think the data that we have are
11 substantial.

12 Next one on the other side, please. Right side.

13 Well, this is again the data. So I just wanted
14 to show you again all the information and all the data that
15 we've collected. So now I want to go into these slides
16 here which is the left-hand side and go in details
17 responding to or trying to clarify some of the concerns
18 from the Board.

19 Actually, this is not the right one, John. This
20 is one on the thermal seepage. Must have gotten out of
21 order. Where's the one on the ambient seepage list? Can
22 you go--just the--Slide 9? Yeah, that's excellent.

23 So the Board has raised all of these issues
24 regarding the roughness of the drifts, mass balances,
25 seepage thresholds and all of those, so what I plan to do,

1 if it's okay, I'm going to go through all of those
2 separately as we go along.

3 First of all, though, we believe that the seepage
4 data that we have collected is very sound and actually very
5 conservative because we put water right above the drifts.
6 We think that the liquid release test that provides seepage
7 relevant data of the right scale, they reflect all the
8 processes that are included, they reflect the roughness of
9 the drifts because all of our drifts are rough. We think
10 the heater test data have also corroborated the seepage
11 results. We also believe that our modeling approach in
12 terms of using a the permeability model is the most
13 defensible way of analyzing the data from Yucca Mountain.
14 We think there is a great consistency between the data and
15 the calibration, and we think we have a proper validation
16 as well as a proper propagation in TSPA, because all of
17 this data needs not only to be analyzed and validated, but
18 it has to be the correct level, uncertainty propagated, all
19 of it through TSPA.

20 So, the testing and models that the testing has
21 provided data with various degree of heterogeneity. We
22 have looked at evaporation potential, looked at the right
23 boundary conditions and we have calibrated the models. The
24 models reflect the right geometry, the evaporation effects,
25 transient effects, heterogeneity, unsaturated flow,

1 obviously, capillary barrier effects. And then these
2 together, we used the models to predict storage in the rock
3 flow diversion, around the niches, evaporation and
4 ultimately seepage obviously. This model takes into
5 account in an effective model way capillarity, roughness
6 effect, film flow, and then drift effects.

7 Okay, so let's address this first question there
8 on the left-hand side, emplacement drifts do not have a
9 regular curvature or profile? And that's absolutely
10 correct. All of our niches are rough. All of our niches
11 have fractures intersecting the niches, all of our tests
12 have dealt with an actual in-situ conditions, so we believe
13 that our testing and models accurately take this into
14 account. And we also take into account the drift
15 degradation effects, and their impact on seepage has also
16 been evaluated using the seepage models.

17 This will tell you a little bit about drift
18 degradation and as Bob told you before we are not going to
19 spend a lot of time on this. There is a slide in the back-
20 up if you're interested in results in drift degradation
21 that talks about that a little bit more in terms of thermal
22 hydrology. A few months ago, I think about a year ago, our
23 analysis suggested that the drift degradation would be very
24 large, that actually some of the drifts would double in
25 size due to thermal cohesion effects and due to seismic

1 events. This is not the case any more. I show you here a
2 few cases for the lower lithophysal rock and you see for
3 most of the rock, that the shape of the drift is going to
4 be the most impact. In some cases where you have very bad
5 quality of the rock, there is some minor drift degradation.
6 But this is much, much less now in our AMRs than before it
7 was, I think it was about a year ago or so.

8 We actually analyzed using all of our models the
9 case of a year ago where we thought there would be a very,
10 very big effect, so we included this in the seepage model
11 and included this in the thermal seepage models and all of
12 those, and like I told you there's one slide in the back-up
13 that you can look up. This actually shows the effect of
14 drift degradation on the thermal hydrology models.

15 Just to summarize for you, even if you had drift
16 degradation, the capillary barrier is still valid. It
17 still holds, and there's no question about it because the
18 capillarity in the rock around the drifts, it's much
19 stronger than that in the drift. So the capillary barrier
20 is still valid even if you have drift degradation. The
21 thermal barrier, the vaporization barrier, is also still
22 valid if you have drift degradation. I can talk about that
23 if you go to the slide in the back.

24 Let's take the second issue here. Surface
25 roughness affects seepage. We totally agree with this.

1 Surface roughness affects seepage. It's fully taken into
2 account in our models and analysis. Like I told you
3 before, all the drifts are rough surfaces. They have film
4 flow, they have fractures intersecting them, about 50 to
5 100 fractures intersect the drifts from the location of the
6 injection interval and we believe that these are all taken
7 into account in our tests.

8 The effect of lithophysal cavities obviously are
9 also taken into account because we don't go in and remove
10 them before we test. They are there. They are in place.
11 And when we do the test, their effect on the test is shown
12 during the seepage in those rocks. So we believe there is
13 a very consistent conceptual model. This is used for both
14 the calibration and protection and fully takes into account
15 the roughness of the drifts.

16 The third aspect that needed clarification in the
17 Board's letter was the mass balance in the test. And, the
18 Board is absolutely correct that we have not had the test
19 that fully accounts for all the molecules of water that we
20 inject in a given test. We have various parts to the test.
21 We inject this Q_{release} , means the injection of water, and
22 that has to equal whatever seeps, whatever is evaporated,
23 whatever goes into the rock mass, into the matrix and
24 whatever goes around the rock. We believe the tests were
25 of sufficient duration to assure that any potential seepage

1 would have occurred, and we did these tests for different
2 time intervals to make sure that we have steady state
3 seepage, that normal water would seep. And this is really
4 the basis for why we think that we have the mass balance
5 that is required to have a real good foundation for the
6 basis of the capillary barrier tests.

7 We did do an attempt to actually do a fully mass
8 balance test in Niche No. 5 where we actually put slots
9 around the niche. We tried to catch the water that would
10 be diverted around the niche so we would have a complete
11 mass balance. It was very difficult to construct those
12 slots so that test was not as successful as we hoped it
13 would be. So right now, the flow that is diverted around
14 the drift is provided by the calibrated simulation model.
15 But the main point here is that the tests are of long
16 enough duration that we are getting all the seepage that we
17 would get for those specific conditions.

18 There was a comment that no seepage tests were in
19 the lower lithophysal unit. This again could be just a
20 problem with our presentation in May. We want to assure
21 you there have been lots of tests done in this important
22 repository unit in the lower lithophysal. The Niche 5, we
23 have two boreholes there and have done a lot of long-term
24 tests in Niche 5. We have also done systematic testing
25 that Yvonne Tsang has been involved and done a bunch of

1 tests in the ECRB, which is primarily in the lower
2 lithophysal rocks. So we have lots of testing that take
3 into account the higher fracture frequency of the lower
4 lithophysal rock because there are more small fractures
5 there, as well as the lithophysal cavity aspects of that
6 rock. Let me just show you those tests a little bit.

7 This is the slot I was telling you about in Niche
8 5 where we tried to get mass balance along the niche. That
9 is the sign of the Niche 5 and you see the slot here on the
10 right-hand side and the left-hand side. This is the
11 systematic testing shown here that is done in the ECRB and
12 in the lower lithophysal rocks in many locations. And
13 those are the slots or those are the water collection pipe
14 of systematic in the ECRB.

15 These are some of the testing in Niche No. 5.
16 And this is the seepage model that matches these tests,
17 calibration period and we wait until it reaches steady
18 state until we match the data. We use a very complex
19 heterogeneity based on the air permeability test so we
20 fully take into account the heterogeneity and permeability
21 before we start the testing. This is included in the model
22 right from the start.

23 These are the results of some of the systematic
24 seepage testing. Here, we calculate and measure seepage
25 and you see the agreement is pretty good. We also monitor

1 relative humidity to estimate the amount of evaporation
2 that takes place, and then on top there is actually
3 injection rate. Another test. It looks like a lot of
4 noise in the test. There's not really that much noise.
5 The reason for this is basically is that you have a big
6 vessel of water and you have a very small amount of water
7 injected and so that you get a significant, what looks like
8 moisture, but really doesn't have very much effect at all
9 because the average is all that counts.

10 So, yeah, this just shows the model validation.
11 This shows you that we not only matched the data, but we
12 used uncertainty that we propagate from the test to TSPA,
13 so these are five percent to 95 percent confidence
14 interval, so you can see that with that we are very much
15 more conservative than the actual test results. And all of
16 this uncertainty analysis is propagated through TSPA.

17 The Board made a statement that the seepage
18 threshold of 1,000 millimeters per year is too high. And
19 again, this could be misleading by my presentation or
20 somebody's presentation because it was just as a point of
21 reference is to tell you that the seepage threshold in
22 these rocks are typically on the order of 1,000 millimeters
23 per year. But the fact of the matter is, we don't use a
24 single number because it depends on three major factors
25 what the seepage threshold is, when it seeps and when it

1 doesn't seep, and that is simply given by this diagram here
2 which is used extensively in TSPA. This diagram says that
3 the seepage percentage is a function of the permeability of
4 the rock, is a function of the capillarity of the rock, and
5 is a function of the percolation flux, which means how much
6 water is flowing through that rock. Obviously, the higher
7 the percolation flux, the more seepage you're going to get.
8 The higher the permeability, though, the less seepage
9 you're going to get because more water will flow around the
10 niche. Less water will flow into the niche, so it's
11 inversely proportional to permeability so you see lower
12 values here and you see more blue color here.

13 Obviously, the lower the capillarity of the
14 fracture system, that means the ability of the fractures to
15 hold onto the water molecules, the more seeps. So
16 basically, TSPA uses all of this so there's no single
17 seepage threshold. If you have one location where the
18 permeability is small, let's say a millidarcie, where the
19 capillarity of the fractures is low, say 200 Pascals to 400
20 Pascals, and the percolation flux is high, we may have a
21 threshold of 100 millimeters per year or 10 millimeters per
22 year or much, much less. Conversely, in areas of low
23 percolation flux, high permeability and high capillarity,
24 you will have a much higher seepage.

25 I just wanted to give you some results from the

1 seepage and to show you the amount of uncertainty that is
2 propagated to TSPA or the actual graph here. You have the
3 percentage of percolation flux that seeps. For the ambient
4 case--this is only for the ambient case--and you'll see
5 here with the current climate you have something like one
6 and a half percentage seeps. For the monsoon, you have
7 higher seepage, for the glacial transition, the mean is
8 something like eight. You see the huge effect of the
9 climate predictions and obviously it's because we don't
10 feel that we can accurately predict climate over the next
11 10,000 years so we have to have a wide viability in our
12 seepage results. So TSPA will sample all the way from 1-
13 1/2 percent all the way to 10-15 percent or higher how the
14 percolation flux will seep, so it's a lot of variety, a lot
15 of uncertainty in climate.

16 Now, the amount of water that the waste package
17 will see if it actually seeps is given here, and it shows
18 here, it's like two liters or so, goes up to 20 liters,
19 goes up the mean like 30, 40 liters. And again, you have a
20 wide range of values due to uncertainty in climate.

21 And, I want to emphasize here, these are ambient
22 results. When we superimpose on these the thermal effects,
23 you will see there is no seepage during the first 600 years
24 or so, in general, for most of the waste packages because
25 most of the drifts will be above boiling. And we believe,

1 I hope to show you data and information that will show you
2 that if the drift wall is above boiling you will not see
3 any seepage. So these are simply ambient things, that TSPA
4 then looks at the temperature on the drift wall and say if
5 it's above boiling, let me put that to zero. That's how
6 it's handled with the TSPA. Is that clear to everybody?
7 Let's go to the next one here.

8 Film flow in the operation. Again, we agree with
9 the Board; there's going be to film flow, there's going to
10 be evaporation. This happens to be the wall in Niche 5
11 where you actually see film flow on the walls. This is
12 taken into account in our seepage testing and study because
13 if it doesn't go into our collection system, it's not
14 seepage. It flows around the drifts. In addition to this,
15 as you probably have heard many times, John Stuckless have
16 used natural analogues in tunnels in Egypt for example,
17 which have paintings on the tunnel walls that show that for
18 many, many thousands of years you have had no seepage in
19 these tunnels because otherwise the paint would be gone.
20 So we use actually lots of analogue to kind of corroborate
21 what our testing does.

22 Our active fracture model, there was a comment
23 that the active fracture model has not been fully
24 validated. Really, the active fracture model is used
25 heavily by the project. It's most important for transport,

1 it's not that important for seepage, so it really doesn't
2 apply very much to seepage. It doesn't rely on the active
3 fracture model. Of course, in TSPA for predictions of the
4 future we use full focusing that depends to some extent on
5 how many of the active fractures actually flow. The active
6 fracture model is very important for transport, and the
7 uncertainty in this parameter, again, just like the climate
8 uncertainty is propagated to TSPA.

9 Another comment, persistence of the capillary
10 barrier continues along the drift is a question, and again,
11 I think this is a very good comment. If you don't test
12 every location in every drift, how do you know that you're
13 going to have a capillary barrier everywhere. Obviously,
14 you can't test every drift in every location and every
15 drift. But I have to say again and emphasize again, we
16 have tested our orders of magnitude amounting to its
17 permeabilities, we have tested our orders of magnitude in
18 percolation flux or input of water. We think the testing
19 phase is sound and we think we can extrapolate that testing
20 phase with the proper uncertainty propagation to TSPA for
21 ambient seepage.

22 The other thing I wanted to point out is the ECRB
23 test where we have actually left the bolt cap closed for
24 years now. I think it's about three years or so. And
25 there, that's kilometer of rock. All the heterogeneity

1 that you're going to see in the lower lithophysal and we
2 have seen no seepage, which is consistent with the models
3 that we have developed for the lower lithophysal rocks. So
4 to me that's a very long-term test that should at least
5 give us some confidence that the capillary barriers is
6 persistent over all the drifts.

7 Now, I want to move on to the thermal barrier.
8 I've finished all the comments about the capillary barrier.
9 I want to talk a little bit more about the thermal
10 barrier.

11 The thermal barrier is, as I mentioned before, a
12 redundant barrier. The capillary barrier does not go away
13 if you have a thermal barrier. So even if water, small
14 amount of water, would get to the drifts, the capillary
15 barrier will help it move along the drift, just like it did
16 in the ambient case. But the location of the thermal
17 barrier is much further away. The boiling, or the dry-out
18 zone is some five, six meters away from the drift. That's
19 where the thermal barrier is, primarily.

20 I want to explain a little bit about, a little
21 bit more because this needs to be a little bit clear, the
22 physics of what occurs here. When you boil this water, the
23 temperature from the boiling front moves out with time.
24 Steam is generated, steam moves out radially and condenses
25 in the outer region, all around the drifts. Not only

1 above, but all around the drifts. The saturation in the
2 fracture increases from an average of three percent to
3 about six percent. So there's no leak or anything up there
4 for these sites here or anywhere. There is a tiny amount
5 of increase in saturation. Why is that? It's because the
6 rock in general is so permeable it's basically the hardest
7 permeability is a darcy to about 10 darcies, so 10 to the
8 minus--11 to 10 to the minus 12 meters squared. That means
9 any increase in saturation that I see here causes water to
10 do one of two things. It's not going to flow up, it's
11 going to flow either sideways or down. If it flows down,
12 it's going to vaporize again. If it flows sideways, it's
13 going to shift. So most of it is going to shift. The only
14 important thing here then is the chemistry of the water.
15 We talked about this yesterday. I made a comment
16 yesterday, if the water here is always refreshed, in quote
17 marks, and you condense steam, because, closed quote, the
18 old water has already shedded, then chemical concentration
19 in this water is going to be extremely benign because
20 condensed water is pure water without chemicals. It has to
21 have time to sit there in the rock and pick up the minerals
22 in the salts.

23 So that's a long introduction of whatever us
24 young guys do, talk a lot. I'm the first of the young
25 guys, then two more.

1 So the general statement is this: "DOE has not
2 demonstrated, is the conditions required for pervasive
3 vaporization barrier to form will occur everywhere. The
4 DOE's view is based on insufficient analysis. Future
5 testing under in-situ conditions in Yucca Mountain may
6 improve technical defensibility or any claim about the
7 effectiveness or lack of effectiveness of a vaporization
8 barrier. We certainly agree any additional data will help
9 us, but we think we have the necessary basis to go through
10 our license application with a solid case for a
11 vaporization barrier", and let me tell you why.

12 So if you can put the next one here and the next
13 one over there. That one should be on the left-hand side.
14 The thermal barrier, the one you asked me for.

15 (Pause.)

16 Again, we want to talk about testing. First,
17 what are the data we have available for thermal, and I want
18 to emphasize once more that the vaporization barrier
19 depends on the capillary barrier, so all of the capillary
20 tests that we have done with the capillary barrier helped
21 us with the thermal barrier because they are redundant
22 barriers. In addition to that, we have had the single
23 heater test, the long block test and the drift scale test.
24 Very long-term testing. Drift scale test is the biggest
25 test ever conducted in the world, I believe, and is a very

1 important test for us. I think all of us, all of these
2 tests will help us validate the vaporization barrier. We
3 have also done a tremendous amount of modeling to help us
4 understand this important barrier for us.

5 First of all the conceptual model has been
6 validated against seepage test data and thermal test data
7 so I want to start by telling you a little bit about the
8 thermal test data we have.

9 The drift scale test has provided a tremendous
10 amount of data that helps us validate not only the thermal
11 hydrologic models, but also Carl will use it to validate
12 all of the chemical models that we have, the THC models, as
13 well as the thermal mechanical models. It has really
14 helped us understand these processes.

15 This just happens to be some temperature profiles
16 that we used to get confidence in our model. Next slide,
17 please. This happens to be air permeability data that we
18 do in many, many boreholes to give us confidence that we
19 appropriately represent the thermal mechanical effects as
20 well as saturation changes in the rock mass.

21 We had also done a lot of geophysical data to
22 verify the existence of the dry-out zone. This happens to
23 be Electric Resistance Tomography data. You can see it
24 shows a similar dry-out zone. We also have Ground
25 Penetrating Radar that shows very similar things.

1 Also collected water in boreholes. And the water
2 in boreholes has been extremely useful for us to look at
3 the chemistry and how minerals are picked up on the rock,
4 just like I mentioned before. Takes a while for it to pick
5 up the minerals in the rocks. We see the model--this is
6 saturation plots for a borehole and you see that we get
7 water into the borehole when its activation is the highest,
8 which is consistent with our models. And then the same
9 thing here. You get water in the boreholes so the models
10 are consistent with when we get water in the boreholes.
11 You don't always get water in the boreholes. You only get
12 it at these great intervals when the condensation shown has
13 moved to that location.

14 So I believe, or I think we believe jointly, that
15 the data in the drift scale test has given us tremendous
16 confidence in our ability to model the thermal hydrology,
17 and like Carl will talk about a little bit later, the
18 chemistry as well as the thermal mechanical effect. All of
19 these effects are--so we think we have adequate basis for
20 licensing, certainly for the vaporization barrier. Any
21 additional tests are, of course, going to help us verify
22 these concepts. Next one here, please.

23 This just shows us, we talked about not having a
24 thermal test in the lower lithophysal. I just wanted to
25 emphasize that the drift scale test actually includes the

1 upper lithophysal rock even though most of the tests is in
2 the middle or left. The boiling condensation processes
3 extend into the upper lithophysal rocks so we have some
4 testing in the lithophysal rocks. A lot of the boreholes
5 are located in the upper lithophysal. So it's not strictly
6 correct to say that there has been no testing on thermal
7 behavior of the lithophysal rocks, because that helps us a
8 little bit. Of course, it would help us more to have a
9 whole test in the lithophysal. There's no question about
10 that. Next one, please.

11 Yeah, so this basically talks about the same
12 thing. The reason we also believe that our results from
13 the drift scale tests are applicable to the lower
14 lithophysal are explained pretty much in this slide here.
15 The primary thing that changes the response in our heater
16 test is the thermal properties of the rock. It's not the
17 hydrological properties of the rock. It's not the
18 lithophysal cavities, per se. It's the thermal properties,
19 primarily thermal conductivity. And why is that? 90 to 95
20 percent of the heat transfer in the drift scale is rear
21 conduction. It's conduction dominated, and therefore the
22 primary response you get if you go into the lithophysal is
23 changes in heat capacity thermal conductivity. All of
24 those are fully taken into account in our thermal models.
25 We have accurate measurements of heat capacities and

1 thermal conductivities which I'll explain a little bit
2 later, and they are applied to the right units, therefore
3 we think that the process understanding we have obtained
4 through the drift scale test is applicable to any of them.

5 There has been issues with the leaky bulkhead.
6 And, of course, it would have been really nice to have a
7 fully closed bulkhead, no leakage whatsoever. That is not
8 practical, of course, because steam is a gas. It's very
9 hard to confine it in a permeable rock. It's very hard to
10 put a totally sealed bulkhead in there. We have taken this
11 into account fully in our models and this is a paper by
12 Summitt (phonetic) and Yvonne that was published in General
13 Contaminant Hydrology that has analyzed the leaky bulkhead.
14 They conclude that less than 30 percent of the heat and
15 energy is used to convert water into steam. Most of it is
16 conductio, as I told you before. It would have increased
17 the fracture permeabilities, fracture saturation some, had
18 the bulkhead not been leaky, so we have taken into account
19 both the cases with the leaky bulkhead and without the
20 leaky bulkhead, and all of our data so far confirms the
21 model prediction for a drift scale test when we allow the
22 proper leakage to occur in the system. So we have taken
23 this into account in our analysis. Next one, please.

24 The validation of the seepage threshold, thermal
25 seepage model has been done by using ambient seepage, and

1 also the drift scale test as we talked about before. Next
2 one, please.

3 Here are some of the results of the ambient
4 seepage model. We are comparing it now to the ambient
5 seepage. This was the ambient seepage of 12 percent for
6 120 millimeters per year, which was very, very high
7 percolation flux. It goes up to 22 percent for 320
8 millimeters per year up to the climate change and then
9 further up later on. We get no seepage obviously until
10 boiling ends, then we get the gradual increase in seepage.
11 This is again considerably less than the ambient seepage,
12 but you still get seepage after the wall of the drift has
13 gone below boiling. We do, however, conservatively reflect
14 this benefit. We don't take it into account at all. After
15 boiling ceases at the drift wall, we assume fully ambient
16 seepage. No further benefit of thermal effects. So we are
17 conservative in the analysis of this for TSPA. However, we
18 think we have the basis to say there's no seepage during
19 the boiling period when the temperature in the rock is
20 above boiling. Next one, please.

21 This is some of the results of the model. Again,
22 I told you the shedding of the water above here is very
23 important. The dry-out zone is very important. And you
24 see the different colors due to the heterogeneity of the
25 rock. Permeability in this model there is about four

1 inches of magnitude or so, generally to about 100 darcy or
2 about 10 millidarcies.

3 The other thing I want to emphasize again, the
4 fracture saturation here even though this looks big, the
5 numbers are very, very small. It goes to about six percent
6 or so, the highest saturation, so still most of the
7 fractures contain 94 percent air. Only six percent contain
8 water. Next one.

9 Again, to emphasize this point, and I'm sorry I'm
10 emphasizing it so much, but all this here talks about leaks
11 above the drifts and lots of water. There's almost no
12 water there. And, we did a little exercise where we just
13 integrate the water in the condensation zone, so we don't
14 take into account the dry-out zone. We just look at the
15 saturations in the fractures and in the matrix where the
16 condensation zone is. Okay? And this is the fractures
17 with time, this is the matrix with time. And, you see
18 these numbers are tiny. The total amount of increased
19 water above the drift there is .25 liters. .25 liters.
20 .25 kilograms is almost none. So there's no water to come
21 back and reflux. It goes and sheds--permeability of the
22 rock.

23 So this is very important. The total amount of
24 water that imbibes into the rock is only about a liter in
25 they integrated zone over time. Why does it go up here?

1 Climate change. 600 years. Why does it go up here?

2 Climate change of 2,000 years. Next one.

3 Geothermal analogs have also given us confidence
4 in this model because the same processes have been used to
5 model geothermal for 20 years or so with the same family of
6 codes. And let me give you an example of geothermal
7 because I think it's important. Some geothermal systems
8 are vapor-dominated systems. That means the pressure
9 profile in them is vapor static. It's not liquid static,
10 it's vapor static. The pressure doesn't change. It's
11 almost like Yucca Mountain, a uniform pressure, often at 35
12 bars for some reason. Yucca Mountain of course is one bar.

13 The injection of liquid water into those systems
14 to enhance the systems and increase the lifetime of the
15 system is very important. Water is injected at 20 degrees
16 centigrade; cold, cold, cold water. Temperature in-situ is
17 240 degrees, similar to what we have here. The waters are
18 producing lots of steam, the steam turns turbine, makes
19 money. Cold water moves in the reservoir, similar to what
20 it does here and tries to go to the production wells. But
21 it can't get there. Why? Because it does the same thing
22 it's going to do with Yucca Mountain. It vaporizes. So
23 you see in the isotope signature of the water that is
24 produced, that 100 percent of the water produced is
25 injected cold water that vaporizes. So even if the driving

1 force it shoots because you're producing steam, you're
2 attracting the water to you which is totally different than
3 Yucca Mountain, the drift does not want the water. The
4 production well and the fuel from the reservoir wants the
5 water because it's producing steam. Pressure gradient
6 storage. But still the vaporization is very important. So
7 this gives us confidence in our vaporization barrier. Next
8 slide.

9 Now, real quick, the NRC experiment, many people
10 point to the NRC experiment saying, well, it seeped there.
11 Why did it seep there? Is that consistent with DOE
12 models? The bottom line here, it's consistent with DOE
13 models. We did this exercise just recently, at Margaret's
14 request, just to show you this. This is the experiment by
15 NRC, they are concrete slabs of those dimensions, five
16 centimeters by five centimeters, and then they are real
17 long. They are about 60 centimeters. This is the
18 boreholes, you see about three fractures intercept the
19 boreholes. You make the most conservative assumption that
20 you can possibly make, you put water right about here and
21 let the water go straight down. The seepage in here
22 was never visually observed or at least I've seen no
23 literature that says that seepage was actually observed.
24 But there was some precipitates found in there. So we
25 assume that seepage occurred. The experiment was basically

1 130 days. Lots of water put here. This is the heater
2 output, etcetera, etcetera. Next one.

3 I don't know the details of this experiment not a
4 heck of a lot. Next one.

5 The comparison matters though. Here is the NRC,
6 this is Yucca Mountain. We have tuffs, they have concrete
7 slabs which are a little less permeable. The fractures are
8 all continuous there. We don't have that case here. Your
9 diameters are different. Three fractures hit the drift.
10 We have 50 to 100 fractures that actually hit difficult
11 drift at Yucca Mountain. These are the fluxes, about 100
12 times more than what you have at Yucca Mountain. Heat
13 outputs, temperatures comparative. Next slide.

14 So we did this model, basically took one-fourth
15 due to symmetry. That's a detail you don't need to know, I
16 don't know a lot about. Next one, please.

17 This is what we get. We get heat pipes that were
18 observed. We saw three sensors. You see them here along,
19 above the heater. Boreholes, they show heat pipe
20 conditions. And next one please.

21 You can see after 140 days there is heat pipe
22 pretty much everywhere. The saturation has increased close
23 to the drift. There is higher saturations close to the
24 drift, and for cases, for some of the cases we got seepage
25 into the drifts when the capillarity of the fractures is

1 low. When the capillarity of the fractures higher, we
2 don't get seepage into the drift. This shows there's water
3 present everywhere. In the TSPA model for seepage, thermal
4 seepage, we would assume full seepage for this case in our
5 TSPA model to be conservative.

6 So, with respect to that, I conclude that the
7 models that we have is consistent with NRC data. I
8 conclude that the models we have are consistent with all
9 the data we have. And Dan mentioned the large block test
10 yesterday as an evidence for the thermal seepage model not
11 to be valid. I actually think that that data shows that
12 the thermal seepage model is valid because it did exactly
13 what we expected. There was a huge rain storm with a huge
14 amount of water going into a super heated region and what
15 does it do? It does exactly like the other does. It all
16 becomes heat pipe-dominated. So the amount of water that
17 you got there is a large amount of water that all of a
18 sudden went into the test bed, and our model results which
19 are actually in a paper that has been published by Water
20 Resources Research, shows it's very consistent with older
21 models we have there. You're not going to get a rain storm
22 in the middle of Topopah Springs. So I think it's all
23 consistent with the Topopah Springs. Next slide.

24 So this just summarizes the test, high
25 permeability fractures, all of those. These are conduct

1 details you can just have in your material.

2 So we conclude the NRC test is consistent in our
3 model. I've told you this before so I'm very briefly going
4 to go over this. We did one more thing to try to validate
5 our model, even and it was a very, very conservative single
6 fracture that goes straight into our drift model.

7 Alternative conceptual model, again, has been published in
8 a refereed journal, by Jens Birkholzer. Next one, please.

9 Single fracture episodic flow, because the only
10 issue we haven't addressed is episodic flow. We have
11 assumed so far everything is pretty much there to stay
12 except for the NRC experiment and the large block test
13 experiment. They are both transients. Episodic flow, we
14 do this very conservatively. We put the pulse of water all
15 of a sudden on there and we see, can it get through this
16 zone? What will it take for it to get through this zone?
17 If it gets through the zone, how much will the capillary
18 barrier help us? That's the primary issue with this. The
19 basis is an experimental vapor collected by Grace Su. We
20 did exactly this but were on ambient system. She did an
21 experiment in unsaturated fractured rocks which is very,
22 very interesting. By putting a constant flow of water on
23 top of a fracture, because of the heterogeneity of the
24 fracture, you get episodic flow in the fractures. Water
25 moves down and then builds up where the fracture aquifers

1 become small, reaches a critical head and then moves
2 through. It shoots through. Episodic flow in a fracture
3 under unsettling conditions.

4 What is really interesting about that experiment,
5 too, is what happens when you increase the flux. When you
6 increase that flux you don't change the amount of heat that
7 goes up before it goes through. That's constant. So the
8 volume of water that is needed to break through or given
9 out at your restriction, if you will, is a constant. So
10 the only thing that happened was, the frequency increased,
11 so you just got this break-through quicker, and it scaled
12 perfectly over large range of voltage, so it's very, very
13 important. Jens used that paper and that volume of water,
14 based upon our permeabilities and fracture distribution, he
15 used that as the episodic flow. So when you increase the
16 rate you increase the frequency of these things coming
17 down, prior to breakthrough of this barrier. Next one.

18 Now this is as conservative as you can get. It
19 must be because you have this one fracture through there.
20 Then he plots up the actual flux in the dry-out zone that
21 is trying to go through the dry-out zone, which is very
22 large flux trying to go through the dry-out zone, and then
23 he calculates the amount of flux that this should be
24 pointing here. That is up to this prong. This is the flux
25 after this prong. When the temperature, with a long, long

1 time after emplacement, these both agree, but you see that
2 for a short time nothing comes through at all. There's no
3 water there, but when it starts to cool down, it becomes
4 the same as ambient. Even in this case here, it probably
5 wouldn't seep because the flow rates are less than the
6 seepage threshold collectors. So again, let me emphasize,
7 we done the barrier, vaporization barrier, if it gets
8 through the crown, it's--

9 Now, I'm going to spend a little time about
10 temperature and humidity in the drifts. And, this is my
11 last topic. This is Tom Buschek's work at Livermore. The
12 Board questions the DOE view that temperature and
13 relative humidity is adequately or conservatively
14 modeled. They think there are significant parametric and
15 conceptual uncertainties during the period after the
16 repository is closed, and I think the three primary ones
17 are flow along the drift, thermal conductivities, and
18 there's one more. What was the other one? What was the
19 third one? Yeah, drift degradation.

20 So I think all of you know the Multiscale Model
21 that Tom has been working for quite many years. The real
22 importance of this model is the following. Most important
23 things are not the thermal conductivity value or any other
24 values. Most important thing is he fully takes into
25 account the mountain scale cooling. The mountain scale

1 cooling is really, really important here because you have
2 three-dimensional cooling effect so these drifts in this
3 area are going to be the hottest. These will be cooler
4 because they are closest to the edges. That's how he
5 breaks down his system into different units, lithophysal
6 and non-lithophysal with the proper properties and then he
7 takes into account the cooling effects.

8 I'm almost done. Next one, please? Yeah. I'll
9 be on time.

10 He has validated his model, again using the drift
11 scale test. This is temperatures and this is neutral rocks
12 that show the dry-out. Next one.

13 He has also validated it against other numerical
14 models that are more simple that use a line source. Next
15 one. So we believe that the model is fully validated.
16 Then he generates temperature at the waste package, at the
17 drift crown, everywhere in the system for all the drifts.
18 Different location, different cooling, different X-effects,
19 and shouldn't be in thermal conductivities and all the
20 parameters is propagated through TSPA and sampled in a
21 proper way. Most important parameters for Tom's model are
22 A, the location because of X-affects, B, thermal
23 conductivities and thermal properties just like we talked
24 about in terms of testing; three, percolation flux or
25 infiltration. He has done many sensitivity studies of

1 those and I'll show you a couple of those.

2 So this just shows the cooler and hotter
3 packages. Like I said, he has done sensitivity studies of
4 all these parameters. So this is a movie he did, and it
5 has come to a nice movie. If you can start it, it shows
6 you how the things cool down and the hot red is when it's
7 boiling, and then the green indicates when you go below
8 boiling. So you can see how important the X-affects are
9 and you can see the time on top here, 700, that's 750.
10 This is what you have boiling now, and off he goes. After
11 about 1,000 years or so, after about 1100, 1200 years,
12 there's no more boiling of the drift at this location, at
13 this time. 1200 years there's no thermal seepage barrier
14 anywhere in the system.

15 CHRISTENSEN: Christensen, Board. Does that assume
16 that the thermal output from the canisters is uniform?

17 BODVARSSON: No, This has different outputs from
18 different packages.

19 CHRISTENSEN: Okay, so I just was wondering if the
20 variation that we're looking at, sort of the spatial
21 variation in the drift or is it--

22 BODVARSSON: This spatial variation assumes average
23 outputs from the packages.

24 CHRISTENSEN: Okay, that's what I wondered.

25 BODVARSSON: Yeah, yeah. Your question is well taken

1 because, really, this behavior is not going to change even
2 if you have the right assemblages of packages because this
3 is really average behavior. Good question.

4 This just shows the effect of infiltration. It
5 has low infiltration, mean infiltration, and upper
6 infiltration, and it shows pretty much it doesn't affect
7 vastly the temperatures as expected, but significantly more
8 the relative humidities.

9 Now a little bit more about thermal
10 conductivities. Thermal conductivity, like I said, is the
11 second most important parameter for this model. The other
12 one being are they close to the edge or close to the center
13 on all of this? We believe that we have very good
14 measurements of thermal conductivity for these models, for
15 the following reasons: These models do not depend on a
16 local thermal conductivity. What really dominates the
17 response, all these models are the large scale
18 heterogeneities, so if you have localized 50 percent
19 lithophysal porosity versus 10 percent, which is 20 percent
20 over the scale of 10 meters, that doesn't really affect
21 things very much because the long-term effect is integrated
22 over cubic meters of volume of rock, large volume of rocks.
23 The project has done extensive testing over the last two
24 to three years, realizing that we can't measure them within
25 conductivities of flux and put in place heaters to measure

1 large scale thermal conductivities because of the
2 lithophysal rocks, lithophysal voids because also you
3 recognize they are very important that during the large
4 scale heaters and measuring over large time frame, you
5 know, the large volume of rocks, we believe our basis for
6 our thermal conductivity values is very solid, especially
7 with the recent data that we obtained.

8 So that's kind of all I wanted to say about that,
9 so we have recent data on this. Next one.

10 This shows just your variability with respect to
11 thermal conductivities and you see, you take a mean value,
12 and mean value now is different for all lithophysal because
13 the lithophysal rocks is different from the mineral non-
14 lithophysal, but it's a mean for all of these units. And
15 then we change the mean by one standard deviation up and
16 down. So you see the effect is not very large, really,
17 even though it we changed it quite a lot so I think the
18 thermal conductivity has not been really a big issue here.
19 That's my personal opinion. Next one.

20 So, finally, sorry how long this took, but Bob
21 kept adding slides and--and I started at with three
22 slides--one said capillary value is good, thermal barrier
23 is good, relative humidity is okay. And they added all
24 these other slides.

25 But to summarize, what I'm trying to tell you

1 here is that maybe we haven't been as clear in our
2 presentation regarding the capillary barrier and
3 vaporization barrier as we should have been, Hopefully
4 this is a little clearer now. Hopefully, you understand,
5 we have done a lot of work since your letter came out and
6 market has told me personally and all of us to take this
7 very seriously. We want to respond to this. We have done
8 more measurements on thermal parameters, we have done more
9 modeling on NRC studies, more sensitivities of the thermal
10 barrier, trying to solidify our case in all these areas.
11 We have done much more sensitivity studies. Tom Bushek has
12 done a little more on the in-drift environment and
13 humidities and temperatures.

14 Our results and conclusions continue to be the
15 same. We believe that the capillary barrier is sound, that
16 we have lots of paper to help us validate and verify it.
17 We have sufficient data in terms of heterogeneity to be
18 able to extrapolate it over emplacement drifts. Now
19 performance confirmation of course is going to help us with
20 this, as all of us know. We believe that during boiling,
21 that the--there's no seepage into the emplacement drifts,
22 that only if you have a huge fault, with huge amounts of
23 water going through the fault, could you break through the
24 vaporization barrier. All of our sensitivity studies and
25 tests point in this direction, as does the large block

1 test, as does the NRC test that we have validated and
2 modeled. We conservatively use ambient seepage when we go
3 below boiling around the drifts. We account for any
4 evaporation, which is going to continue, obviously. It's a
5 continuous trend. There's going to be huge evaporations
6 due to the temperature output from the waste packages after
7 the drifts have gone below boiling. We neglected, we are
8 conservative, we are surely to be ambient. We believe that
9 temperature or relative humidity viability is realistically
10 represented in TSPA, with all the uncertainties regarding
11 thermal properties, locations, infiltration rates,
12 etcetera. And we believe that, using modification in
13 thermal properties, we can extrapolate the drifts scale
14 test results through the lower lithophysal walls. And
15 that's it. So, whenever you have a question let me know.
16 Thank you.

17 DUQUETTE: Thank you. Mark.

18 LATANISION: Latanision, Board. Could we put up
19 Slides 36 and 46? I'm very interested in the concept that
20 seepage or condensed water above the drift will be mostly
21 diverted sideways, and I'm trying to understand physically
22 why that is the case and what the calculus--I don't know
23 that you can make, that it's appropriate for me to make the
24 comment that what I'm thinking of is something of an
25 episodic event but nevertheless that illustration includes

1 the kind of calculus that I think is important. In other
2 words, you've got a--if you have a fracture in the rock,
3 and obviously you do, above the drift, and you've got water
4 evaporation to the sides, as you show here, what is the
5 calculus that would lead you to conclude that you would not
6 get water emerging into the drift? Is it--I mean am I
7 understanding this properly? It's all going to be diverted
8 sideways rather than--

9 BOVARDSSON: Yeah.

10 LATANISION: And the probability of getting water into
11 the drift is therefore close to zero, or is it zero?

12 BOVARDSSON: Yeah, it's very, very low. I think it's
13 better to explain it with this slide rather than that
14 slide.

15 LATANISION: Okay.

16 BOVARDSSON: Because this slide really is a very, very
17 conservative model that doesn't allow you to shed water.
18 Let me try to explain it again here. The key to it all is
19 that the rock mass at Yucca Mountain is heavily broken up
20 by fractures. The average fracture spacing is some 20 to
21 30 centimeters. They are all over the place. They are all
22 directions. You have the dominant vertical, you also have
23 the dominant horizontal fractures. So the permeability in
24 any direction is pretty large. So water can go just every
25 direction it wants to go. Obviously, water doesn't want to

1 go up because of gravity. It wants to go down because of
2 gravity. But then it can also go sideways if there's a
3 buildup in saturation in the fractures, or there's more
4 water there and then the permeability increases there and
5 allows it to go sideways. So if you take a typical
6 location here, up here the compensate here is due to steam
7 that moved up and condensed there. And it increased the
8 saturation there from three percent to six percent. Very
9 low amount, but it's sufficient in terms of permeability.
10 If you do that, the relative permeability to a liquid
11 phase, because most of it is air, will go up by a lot, by
12 many times. We'll still have small increase in saturation
13 because when you have ceiling water you have no
14 permeability to water because there's no water phase,
15 continues there. When you have three percent water
16 saturation you have really no permeability because the
17 surface area of the flow in a fracture is mostly air,
18 really. So you have minimal permeability, so increasing
19 that a little bit increases the permeability by a lot. So,
20 the water then, somewhere it will start to go down, try to
21 go down, plus the lithophysals. What goes down goes now
22 into a hot region, re-boils and goes back up. But the top
23 phase, sideways, we always let it shed. It's gone. You
24 see what I'm saying?

25 LATANISION: Yeah.

1 BOVARDSSON: Did I explain that well?

2 LATANISION: Yeah. I mean I suppose then that the
3 follow-up--Latanision, Board. The follow-up question would
4 be are you confident enough to suggest that a drip shield
5 is not a necessary part of the structure, of the
6 emplacement?

7 BOVARDSSON: Well, I don't think I'm the right person
8 to answer that question. The drip shield--I just don't
9 think I--I think that question should be for Joe or
10 somebody that knows more than I do.

11 LATANISION: All right, then I'll take that challenge
12 and ask it again. I mean I think as a taxpayer there's an
13 issue there. And therefore funds involved in this
14 research. Right. Whatever. I mean the fact remains
15 there's a cost involved in terms of the drip shield and if
16 you're as confident as you seem to be, I think that
17 question is one I'd like to have answered somewhere along
18 the line.

19 BOVARDSSON: Yeah, and it's a good question. I mean of
20 course the drip shield may be also held with rock for a
21 little bit, and after the thermal period then you have
22 seepage and a drip shield is still intact. That will help
23 you not get any water on the waste packages so after the
24 thousand years or 500 years, depending on the allocation,
25 the drip shield kicks in, you get ambient seepage and it's

1 going to help you.

2 DUQUETTE: Dan?

3 BULLEN: Bullen, Board. The first slide I would like
4 to take a look at is actually slide 37. And that's a
5 follow-on to this question about the slide on the left
6 here. You said there's no rain storms in the Topopah
7 Springs, Yucca Mountain horizon. What does it take to get
8 a rain storm necessary to overcome the vaporization
9 barrier? Have you done the calculation? How many liters
10 per whatever? Whatever your infiltration rate might be.

11 BOVARDSSON: I believe we have. I just don't recall
12 the number. That's a good question. Most of this study,
13 like I explained, Dan, we used the Grace Su experiment for
14 the right aquifer distribution to decide on a value. Then
15 we used that and increased that flux. But I think we did
16 one where we really put lots of water in and it continues
17 to try to get it through, but I don't remember how much it
18 was of water. Sorry about that.

19 BULLEN: Bullen, Board. I guess just a follow-on, is
20 when you do that calculation or take a look at those
21 numbers, to be able to compare to when the infiltration
22 rate may or may not be there, I mean you may prove that
23 even in a super pluvial condition, you'd never have enough
24 water in-flux to overcome the vaporization barrier. I mean
25 those kinds of things would be important to know if you

1 wanted to make that case. I mean the argument may be,
2 well, maybe the climate changes tomorrow and then would the
3 vaporization barriers still work, and if you have the
4 answer and it's yes, then that would be good to know.

5 BOVARDSSON: Yeah. I think the answer to that, within
6 the changes in climate that we're assuming here, assuming
7 that it doesn't go 10 times more than what we assume, it's
8 going to hold. The vaporization barrier will hold. Well,
9 the difference is is the following: If there is a huge
10 amount of water, the distance that we need for a dry-out
11 zone may change from 10 centimeters to 30 centimeters if
12 you put a lot of water. See what I'm saying? But we
13 conservatively assume in TSPA that actually the
14 vaporization barrier breaks down at 100 degrees, not 96
15 degrees. So we were even conservative there. We're closer
16 to what the NRC had yesterday. I think they have 105
17 degrees.

18 BULLEN: Bullen, Board. Could we go to slide 4 then?
19 This is just a follow-on question to your comment about
20 the fact that near the drift or near the waste package in a
21 vaporization barrier condition, there would be mostly
22 steam?

23 BOVARDSSON: Yeah.

24 BULLEN: Are there data from the drift scale test that
25 tell me what the partial pressure of oxygen was near that

1 to basically I guess prove that point?

2 BOVARDSSON: I don't recall those data, sir. I
3 remember there were some measurements of it, but I don't
4 recall.

5 BULLEN: I actually have a--Bullen, Board. I have
6 actually a better memory than you both because I've asked
7 that question of Bill Boyle in 1998, 1999 and 2000, and in
8 all cases it was the partial pressure of oxygen was the
9 same as it is in ambient air. So there never really was
10 super-saturation of steam just because--now it may have
11 been because of a leaky bulkhead, it may have been because
12 of mountain breeze, but I don't think you can make the
13 statement because based on your modeling without the data
14 that's there from the drift scale test that says there's
15 going to be mostly steam. I mean if there's going to be
16 mostly steam, then we would go back to the corrosion
17 allowance outer barrier, which is what we abandoned because
18 we didn't think that it would work. So, that kind of
19 statement is something that's a little bit concerning.

20 BOVARDSSON: Yeah.

21 BULLEN: But you don't have to answer anything else.
22 The other question I had was with respect to the--

23 BOVARDSSON: Just one comment,

24 BULLEN: Oh, go ahead. That's fine.

25 BOVARDSSON: I think your point is really well-taken.

1 And because you are going to have, in the direction of the
2 drift, you're going to have diffusive component, the
3 dispersion that tries to equilibrate, if you will,
4 concentration gradients, so that most of our models are
5 two-dimensional models and don't take that into account so
6 I think your point is well-taken. However--

7 BULLEN: Sure.

8 BOVARDSSON: One more. We actually have done models
9 that have taken that into account and we find that in those
10 models that it's mostly steam, too. I don't remember if
11 it's 90 percent or so, but it's still mostly steam. But,
12 your point about the drift scale test I need to look at.
13 You're right. Absolutely.

14 BULLEN: Bullen, Board. The last drift scale
15 question, and that is there was a brown spot that was
16 noticed on one of the surrogate waste packages. Was that
17 ever explained as rock bolt dripping, or what was the
18 explanation for the discoloration on the waste package that
19 was noted, and has that been explained?

20 BOVARDSSON: I think it has, but who can explain it
21 better than I can?

22 BULLEN: We have any members? Mark, do you remember
23 an explanation for that? Or Bill? Well, come up to the
24 microphone, please. Yeah.

25 PETERS: Mark Peters, Special Laboratory. The

1 question was on the Canister 304, there's a red spot back
2 there?

3 BULLEN: Correct.

4 PETERS: It was sampled remotely, off the robot,
5 swiped with a swab, brought out, and it was XRD and it was
6 iron oxide. Hematite. It's currently thought, one likely
7 thinks it could be that it was flaking off of some of the
8 ground support in the crown, but we really have to go in
9 and look after the test is over to get a much better idea
10 of what we're looking at. It's not clear to us that it's
11 evidence of any kind of discreet flow in the drift.

12 BULLEN: You said flaking? I did get the word?
13 Flaking?

14 PETERS: Yeah. Well, I used that word. That's my
15 word, but it is iron oxide that gathered on Canister 3
16 or 4.

17 BULLEN: Thank you.

18 CHRISTENSEN: Christensen, Board. Bo, one of your
19 points I think directly related to Mark's final comment
20 yesterday and relevant to the discussion by the Nevada
21 contingent yesterday, and that is the effect of refluxing
22 on potential concentration of salts. And, so I want to ask
23 really two questions. Do we have empirical data on water
24 chemistry that, I imagine we'll see later today.

25 BOVARDSSON: Yeah. Yeah.

1 CHRISTENSEN: That's really important. But the
2 second--and it may make the second question somewhat
3 irrelevant, but it seems to me that the difference in view
4 of your--has to do with the, with the physical, what has
5 happened physically with the water as it's evaporated out,
6 and it seems to me that the Nevada--I'm not going to put
7 words in their mouth, but maybe looking at the convective
8 circulation of water at the boiling front, so they are
9 looking back into the rock, the--and I'm trying to
10 understand why these two different views are so different.
11 What the potential physical explanation might be.

12 BOVARDSSON: Yes, sir. Good question. Let me try to
13 explain it. Let me explain it this way: What happens--
14 what we believe is happening at Yucca Mountain and then
15 I'll talk about what I think they believe is happening.
16 What we believe is happening is that we start by putting a
17 waste package in place here, we start heating up this area.
18 You have a boiling zone that moves with time outward. It
19 starts next to here. That's where the matrix starts to
20 boil, steam moves out, and in 100 years or so it's out a
21 few meters, and then a few meters more. Maximum distance
22 is about five to six meters. The key here is that there's
23 all these different waters being boiled. It's not the same
24 water being re-boiled, getting more minerals from the rock,
25 again accumulating minerals because imagine this matrix

1 blocks here after 10 years it starts to boil and then it
2 boils all of this water off, leaving a tiny bit of salts
3 there because the water is really benign. It's only 1,000
4 milligrams per liter total to salt solid, which is very
5 low. There is almost no salts at the start. Then it moves
6 to the next one and it starts to boil that water off. So
7 there's no accumulation of salts.

8 Now, if steam moves out here and it condenses
9 here, and it condenses here and starts to pick up some
10 minerals, but it doesn't have a lot of time to pick up
11 minerals because it will move down, okay? Steam here will
12 have a little more time because it's directly above it. It
13 has no more residence time. It might take up a little bit
14 of minerals and then it's going to shift this way. And you
15 get new steam, new condensation and again almost no mineral
16 in the water, so we are getting rid of minerals in
17 opposition to I think their conception of their model where
18 we are accumulating minerals.

19 Now, their conceptual model says let me just
20 consider this front stationary, and all this barrier here
21 and all this has a heat pipe. It's not dry, it's a heat
22 pipe now, which is not the case in our models, or in our
23 drift scale observations, and we always condense here and
24 pick up minerals and that water can't go anywhere because
25 it's a closed system. It picks up minerals, then moves and

1 brings the minerals, then boils again and it starts to
2 concentrate fix, if you will. I think that's the
3 difference. So we believe you are getting rid of
4 chemicals, you are having cleaner water because you don't
5 have time to pick up so many minerals because you're always
6 replenishing it with more and more steam, whereas their
7 conceptual model is a closed system where you can't get rid
8 of anything. That's how I read it.

9 CHRISTENSEN: That's very helpful. Thank you.

10 CERLING: Cerling, Board. We've spent a lot of time
11 on these pictures and I'm going to leave them here, too.
12 And maybe this is better answered by Carl, but I'll ask it
13 now because it has to do with time. And so in your model
14 you would have the water getting cleaner for a period of
15 time. Before boiling we'd be getting seepage water that
16 has, let's call it ambient chemistry. So how long after
17 the vaporization barrier disappears would it take to return
18 to this ambient chemistry in your model?

19 BOVARDSSON: I think you're absolutely right. I think
20 it's better answered by Carl. Carl is going to review the
21 chemistry. He's going to handle the drip shield and I
22 think it's better answered by him because you're right.
23 Even though the seepage, we assume there's no seepage
24 during the thermal period, even after the drift wall
25 temperature goes below boiling, it starts to get seepage.

1 There are thermal hydrological processes in the rock that
2 take place and manipulate the water so it's not the same as
3 the ambient water. So your question is--so I think Carl
4 can address that. Or we can address it later on.

5 STEEFEL: We have slides on that.

6 PARIZEK: Parizek, Board. Just a couple questions.
7 One, I was having problems with the steam always being in
8 the repository. If you're above boiling and dry out all
9 the rocks around the opening, eventually you ought to get
10 rid of your steam, shouldn't you? Shouldn't it be
11 steamless after a while. Maybe on the ends?

12 BOVARDSSON: Yeah.

13 PARIZEK: You said there was always going to be steam
14 in there.

15 BOVARDSSON: No, no, sorry. I apologize for that.
16 What I think is going to happen there, and our model itself
17 has shown this, is that we start to boil in the rock and
18 when you boil in the rock, you start to generate steam.
19 When you boil in the rock your pressures, your gas
20 pressures increase in the matrix below there because it's
21 tighter to get the steam out and therefore the gas
22 pressures also increase slightly in the fractures, 10 to
23 100 Pascals or so. So steam goes both directions. It goes
24 out in the rock, it goes back in the drift. Now, the steam
25 generated in the drift can flow laterally to the cooler

1 part of the drifts and condensate there and cool down, away
2 from the packages. Then later on when boiling stops,
3 obviously, the mass collection of air in the drift is going
4 to return back to all air. So it would be mostly steam, I
5 believe, even though I think Dan's comment is a good one,
6 all steam, but there's going to be counterflow of air, of
7 steam in the drifts because of diffusion and dispersion
8 processes that's going to equilibrate concentrations, but
9 it obviously will go all back to air. Does that answer
10 your question?

11 PARIZEK: Right, but--Parizek, Board again. As the
12 rock is drying out and you could have the steam go both
13 ways, is there some distance into the rock after which the
14 steam only wants to go away?

15 BOVARDSSON: No. No. There's always going to be--

16 PARIZEK: Always some return?

17 BOVARDSSON: You pick a block here that maybe
18 increases in pressure in the matrix block by a few hundred
19 Pascals, and then that boils away and then this block
20 increases and so you're always going to have some gradient
21 this way and some gradient this way. But the gradients are
22 going to decrease with time because you arrive, because the
23 pressure increase here is going to be similar to that here,
24 but the distance is longer so you're going to get less
25 steam flowing into the drift at times just because of

1 distance. You understand what I'm saying? It is always
2 going to be both ways. That's my conceptual model.

3 PARIZEK: The Board also has a concern of the axial,
4 flow along the axis of the drifts.

5 BOVARDSSON: Yeah. Yeah.

6 PARIZEK: Because of unevenness of the heating and
7 then the cold trap effect so, and these are some of where
8 our points come from. On page 19 you show the seepage
9 threshold values and the various variables that went in
10 there. I guess in there is also lithophysal facts.

11 BOVARDSSON: Yes.

12 PARIZEK: And so that's caught up in the TSPA.

13 BOVARDSSON: Yes.

14 PARIZEK: Now, was it always in TSPA quite in that
15 form or is this new? Are these new data?

16 BOVARDSSON: Well, it generally has been like this for
17 years, that we actually had the sensitivity to those
18 repositories, but they are dependent upon which unit they
19 are in, what the permeability of what units they are in and
20 all of that, so we still sample this. We also have new
21 curves for drift degradation that took into account that
22 the drifts were collapsed, fully collapsed and then we
23 modified these.

24 PARIZEK: So that would be the new part?

25 BOVARDSSON: Yeah, that's totally a new part. But we

1 always continue to modify as more data come in and our
2 certainty reduces then we change this to reflect the new
3 data, but the changes are subtle. They are not harsh
4 changes.

5 PARIZEK: And then on Figure 21 you show films which
6 the Board is also interested in, but on rough surfaces are
7 there times when film flow can give rise to drips, just
8 because of rough surfaces?

9 BOVARDSSON: Yeah.

10 PARIZEK: 21 shows, you know, in a matter of speaking.

11 BOVARDSSON: No, you're absolutely right, and we see
12 that in our seepage experiments because you might, it
13 starts out with vets in the ceiling, and then it starts to
14 go sideways and then you form drips that collect in the
15 seepage collection rate, so that's taken into account.
16 Yes. Absolutely.

17 PARIZEK: Thank you. That could occur in any
18 location?

19 BOVARDSSON: Right. Any location, yes.

20 PARIZEK: In the drift walls ceiling.

21 BOVARDSSON: Yes, so that's why our collection system
22 for the seepage extends over the entire thing. It's not
23 just done to where we expect the seepage to be.

24 PARIZEK: And you mentioned that there was no seepage
25 observed to date in lower lith. Yesterday we saw droplets

1 of water that Mark Peters showed us, but I guess he would
2 attribute that to condensation and you would attribute that
3 to condensation. That's your consistency then. That's not
4 seepage, in your opinion.

5 BOVARDSSON: Yes. I think the--no, we have some
6 geochemical information from Zell Peterman and others that
7 indicate that the chemistry is very little in this water.
8 It's almost no silicon, no chloride, if I remember
9 correctly, in some of these samples. So it's not
10 consistent to seepage water. So it's very likely to be
11 condensation.

12 PARIZEK: Figure 54 was your movie, which was very
13 nicely done.

14 BOVARDSSON: John Buschek's movie.

15 PARIZEK: But the movie didn't show anything about
16 permeability, variability in any of the repository
17 footprint locations, like fall effects or something. Only
18 edge effects as a result of cooling. Does that mean there
19 are no fast pathways anywhere in that footprint?

20 BOVARDSSON: No. No, there are fast pathways. The
21 thing is, though, the thermal signature is dominated by
22 conduction. Conduction is a diffusive process which is a
23 large process and that's why low conduction is a thermal
24 conductivity done not a heck of a lot because the large
25 conductivity matters. Faults do not affect the large scale

1 thermal properties. They are going to be the same along
2 the faults, unless the material is different or the
3 radishio (phonetic) or something in the faults. So the
4 movie is not going to depend a lot on flow and faults or
5 things of that sort because it's so dominated by heat
6 conduction.

7 PARIZEK: That would mean that the Chlorine 36 issue
8 and so on, the amount of water is trivial, I guess. You're
9 saying it's conduction-dominated. I mean you really have
10 damn little water flowing through that system in the time
11 frame of your model.

12 BOVARDSSON: Yeah, well, I have all this stuff. The
13 Chlorine 36 is not a big issue because such a small amount
14 of water is actually the fast flow of Chlorine 36. So I'll
15 always say it's not a real important issue for performance.
16 Might be a real important issue to make sure we understand
17 from a physics point of view, but I don't think it affects
18 performance in a big way.

19 PARIZEK: And Figure 37 deal with the analog value of
20 geothermal reservoirs. And, in that sense I guess the
21 program has the geothermal reservoir analog somewhere in
22 its story. Is that right?

23 BOVARDSSON: Yeah. Trafalgar (phonetic) has done work
24 in Maraki in New Zealand with materials, it has done work
25 in Yellowstone on geothermal systems, so there has been

1 work on geothermal system and analogs to Yucca Mountain.

2 PARIZEK: Tied specifically to the water flow issue as
3 you were--

4 BOVARDSSON: It has not been tied directly to the
5 thermal seepage issue like I did. That's not--

6 PARIZEK: Okay, that's new.

7 BOVARDSSON: That's new.

8 PARIZEK: Because we would like to see the analogs
9 used in the most direct way possible rather than--it's a
10 list, but the listing is useful and if you can then say
11 well, what about the analogs used for some specific process
12 you're dealing with. I think you've just stated it today
13 perhaps for the first time. Anyway, it's different than
14 what's in the analog discussions.

15 BOVARDSSON: Yeah. That's a good point.

16 PARIZEK: And then one last point. As you boil the
17 water off, my tea kettle always has something left behind
18 and I don't know what's in there, but if you reflux water
19 through it, I imagine the water is going to be so clean.
20 And you stated before the water is going to be refluxed
21 out, moved out the side, the lateral movement of it, and
22 always the salts are going to be very dilute and very small
23 quantities of it, so it can't change the chemistry much.
24 But I guess we're going to hear this when we get into the
25 drift scale tests as to what water chemistries have been

1 collected in order to support that statement?

2 BOVARDSSON: Yeah, but let me clarify that a little
3 bit. What I was explaining is the conceptual model for
4 boiling and shedding. So we get rid of some of that water
5 and some of these minerals with time. Certainly, in the
6 matrix block there's going to be some salt left because you
7 boil all the water off. But that amount of salt is very
8 small because the water is so dilute. It's only 1,000
9 milligrams per liter or something like that. So it's a
10 very small amount of salts, but when you start to reflux
11 back and the mix-model, the TOT models show this, you pick
12 up that water, you pick up that salt and you have high
13 concentration in the beginning because it's coming to a
14 little bit of salt, so I think Carl will talk about that a
15 little bit.

16 PARIZEK: And that's kind of an important point
17 because refluxing source of salts is one way which you can
18 visualize it being high concentration where it didn't go
19 laterally, but finally cascades back through these small
20 little packages that have small amounts of salt
21 accumulatively, not a lot of water, but quite a bit of salt
22 before you're done.

23 BOVARDSSON: Right. Yeah.

24 STEEFEL: Steefel, LPL. Just to make clear, though,
25 that use of the term refluxing by the State of Nevada seems

1 to be somewhat different where they basically cycle
2 reconcentrated water continually back so that it develops
3 somehow a large pool of concentrated water. What Bo was
4 explaining is it's basically a one-way transport so the
5 salts that are left behind are basically whatever you could
6 get out of that ambient pore water, precipitate those out
7 varying rewetting which is the preferred phraseology I
8 think to refluxing. You do pick up those salts and that's
9 what Bo mentioned. That shows up in all the models. I'll
10 show some slides. But it's not this heat pipe refluxing
11 thing that the State of Nevada is discussing.

12 PARIZEK: Parizek, Board. The figure 46 though on the
13 end might be your worst case. I mean one long fracture and
14 all of the steam, a lot of steam trying to go up the
15 fractures, maybe that vaporization zone is much longer up a
16 fracture like that? So again you can sort of see more salt
17 accumulation along that fracture if that holds?

18 BOVARDSSON: Could be. Any other questions?

19 DUQUETTE: Thank you, Bo. Don Shettel, do you want to
20 comment on the interpretation of the reflux data by
21 Livermore.

22 SHETTEL: Yes, I'd love to comment on this. I think
23 there has been some mischaracterization of the refluxing
24 zone. We believe that the refluxing zone is like a heat
25 pipe above the repository. And Bo's explanation is not

1 clear. He says that condensate comes back down and is
2 dilute. Well, yes, if it condenses up in the cold rack and
3 comes down it doesn't have much time to pick up any
4 dissolved solids. And it's dilute. But if it's condensate
5 coming back down, to me that seems to imply that he is
6 allowing some refluxing. And we don't--our system is not a
7 closed system as he has characterized it as. We believe
8 over time as one of my slides showed, you get some
9 condensity lost over the sides of the drifts, which is
10 consistent with some of Bo's modeling. And, by the gradual
11 net loss of condensate over the side, you do allow some
12 concentration of solutions in the boiling zone. We're not
13 saying you're getting concentrated solutions coming back
14 down, but that the concentrated solutions develop at the
15 boiling front. So over time, it starts out initially
16 dilute, as he says, but we don't believe it stays that way.
17 Over time loss of water and compensate over the side with
18 the net percolation and refluxing that the concentration
19 builds up, and it's not a closed system, some compensate is
20 allowed to be lost over the side so therefore it is an open
21 system.

22 DUQUETTE: Thank you very much.

23 BOVARDSSON: Just to clarify that a little bit, too, I
24 think what this gentleman says would be true if this was an
25 entire heat pipe region where actually water would go back

1 and evaporate in and go back up. It's not. Our drift
2 scale test results have shown this is super-heated region
3 with no heat pipe present here, and there is therefore no
4 heat pipe in here. There's only a heat pipe process
5 boiling point up here. So there's always different regions
6 of boil and therefore you cannot concentrate waters.
7 That's our conceptual model.

8 DUQUETTE: Thank you.

9 BOVARDSSON: According to our drift scale test.

10 DUQUETTE: Thank you for your presentation and the
11 discussion. Some questions?

12 DIODATO: Bo, thanks for your presentation. Diodato,
13 staff. Just one quick--there are number of issues we would
14 love to have the opportunity to discuss with you, but let's
15 just use one, stay with the thermal hydrology question.
16 Mark Peters yesterday shows a slide 10. John, I don't know
17 if you can get that up, on the one side. And, compare that
18 with your slide 36 from your presentation on the other
19 slide. Now the slide 10 is matrix saturation. That's
20 actual data, and so that's from the drift scale test,
21 right? And there's, the 100 degree isotherm there and the
22 120 degree isotherm, there's still like 80 to 90 percent
23 water saturation in the matrix. So first, I'm curious
24 about how this water continues to persist at above 100
25 degrees and maybe that's a concentration effect being the

1 total ionic strength is larger there, but then, why
2 wouldn't there be a gradient between that number and then
3 the fracture saturation on the left where you could have
4 some matrix fracture interaction of flow? And, maybe
5 mechanical transport. Is that possible? I mean is that,
6 I'm just curious, I mean I look at this data, right.

7 BOVARDSSON: I think time is out, David.

8 DUQUETTE: Saved by the bell.

9 BOVARDSSON: Let me explain that I didn't look
10 carefully at Mark's slides yesterday, but let me explain
11 something here. We vary our boiling in the matrix blocks,
12 the pressure goes above the ambient 1-bar pressures because
13 it starts to boil and you increase volume because the
14 volume of steam is a lot more amounts of water and then you
15 increase pressure to get the steam out because you're
16 continuously going, okay?

17 DIODATO: So this is a lower permeability, you have
18 almost a closed system.

19 BOVARDSSON: Because of lower permeability. So the
20 temperature in the fractures would be 96 degrees or close
21 to it, but the load is higher because the pressure there
22 would increase by 10 or 100 Pascals or something like that.
23 So there is going to be a region here where perhaps
24 because the pressure is a little higher, the temperature is
25 a little higher so that you don't have a sharp interface

1 there because you haven't boiled up all the water in those
2 matrix blocks.

3 DIODATO: So there would be both the pressure and the
4 thermal gradient between the matrix and fractures?

5 BOVARDSSON: That's exactly right.

6 DIODATO: So that would tend to transport water.

7 BOVARDSSON: That will transfer steam, get rid of the
8 steam from the matrix blocks.

9 DIODATO: All right.

10 BOVARDSSON: So I think that's reflected there to some
11 extent. That's my interpretation, although this is Mark's
12 slide.

13 BOVARDSSON: That's smaller. Okay.

14 DIODATO: Which is model? The water saturations or
15 the temperatures?

16 BOVARDSSON: Both models.

17 PETERS: Both models.

18 DIODATO: There's no drift scale data.

19 Next slide. Yeah, so that's data. That's less clear.

20 BOVARDSSON: No, I think this point is very clear.

21 DUQUETTE: I think we're going to stop the discussion
22 here. We're, as usual, running a little bit late. Let's
23 hold the break to about 10 minutes and we'll steal some
24 time from the lunch break.

25 (Whereupon, a brief recess was taken.)

1 DUQUETTE: The next presentation this morning if
2 people will please take their seats. Thank you. The next
3 presentation this morning is on the in-drift chemical
4 environment during the above boiling period presented by
5 Carl Steefel.

6 STEEFEL: Okay, thank you. We're going to split here.
7 I'm going to be presenting two talks and basically
8 splitting what's broadly referred to as the thermal pulse
9 into two periods. The first one, the above-boiling period
10 and the second one will be the below-boiling period. By
11 boiling I mean when the drift wall reaches the boiling
12 temperature of 96 degrees. I think it divides the talks up
13 nicely into a distinct set of key issues that makes it
14 easier to grasp.

15 And so I'll make the acknowledgement. I've had a
16 lot of help on this. I'm just mostly the spokesman here
17 but in terms of the in-drift chemical environment, Greg
18 Gdowski, Susan Carroll and Tom Wolery, significant
19 contributions from Zell and Tom Wolery. And then, the THC
20 and the issue of acid gas volatilization from the group at
21 Lawrence Berkeley, Nick Spycher, Eric Sonnenthal and
22 Guoxiang Zhang.

23 So as an overview of the presentation, I want to
24 begin with just a short statement on the effect of the
25 thermal hydrologic environment on the in-drift chemistry

1 during the above-boiling period. Why is it that we've got
2 special issues because of the thermal hydrologic regime,
3 and then I'll launch into a first look at salt
4 deliquescence, go on to what salt minerals in dust are
5 found in the repository and ask the question specifically
6 can they generate calcium chloride or magnesium chloride
7 brines. Then look at the issue of stability of these salt
8 minerals or salt mineral assemblages at temperature and
9 different RH values.

10 And then, there's a natural lead-in from that
11 topic into the topic of acid gas volatilization from salt
12 assemblages at temperature and specifically what's going to
13 be their fate in the drift environment. This is focused on
14 the drift environment. And then return for another look at
15 salt deliquescence with a focus on the multi-component
16 aspects, asking the question how much water is absorbed and
17 what composition brines can actually develop, and then I'll
18 conclude.

19 So first just briefly recap the THP environment
20 and the effect on the in-drift period, the in-drift
21 chemistry during above-boiling.

22 The issue here is that focus is where the drift
23 wall temperatures in this rock are above boiling, which
24 includes a relatively short heating period that dries out
25 the drift and rock and then a much more extended period in

1 which the drift wall gradually cools to the boiling point
2 of water in which, as Bo has made a strong case, there's no
3 seepage of water possible. Given this, the key issue
4 during this period are the deliquescence of salt
5 originating from dust accumulated on the waste package and
6 the related issue, possible generation of acid gases from
7 the deliquescent salts and their fate in the drift
8 environment. And, you can see here, the key to this first
9 point about no seepage is taking credit for the
10 vaporization barrier on top of the capillary barrier. It's
11 not to say that no seepage will ever occur, but it's an
12 extremely low probability, extremely rare event and so
13 we've got a whole different set of issues, basically dust
14 that we can focus on during this period.

15 And so, this is the period we're talking about.
16 This is a slide that's going to be shown later by Joe Payer
17 with the ventilation period number one and then a heating
18 period after ventilation. We're basically concerned with
19 the whole heating and cooling period until the waste
20 package temperature--I mean rather the drift wall
21 temperature drops down to 96 degrees, so that's right at
22 this point. So we're concerned with something on the order
23 of this kind of time frame.

24 This is an average waste packet. You can see the
25 characteristic sort of patterns, though. The drift wall

1 obviously is a little bit cooler than the waste package,
2 and this important gap in temperature creates a difference
3 in RH, of course. And the RH is shown on the waste package
4 inverse as people have pointed out relative to the
5 temperature with lows, the low here is about 30 percent.
6 Some waste packages or drifts will actually drop to below
7 20 percent. And then basically comes up to about 65
8 percent RH at the end of the boiling period.

9 So we're going to basically be looking, if we
10 could see the next slide, at a somewhat limited range of
11 temperature and RH distributions here. In fact, when you
12 take time out of it and consider, as Bo showed in that
13 movie, that various packages move through this whole
14 thermal history at different times, if you take time out of
15 it and look at just RH and temperature, a lot of this
16 variability collapses into a much more limited range of
17 conditions. So for example the average waste package would
18 reach the boiling point at the drift wall at this time, so
19 we're basically in this talk concerned with a typical
20 temperature RH trajectory up to about 65 percent, perhaps a
21 little above that. So we're going to focus on that period.

22 So I want to start with this salt deliquescence.

23 And the issue here is that dusts originating in
24 the repository, this is a review of course, are brought in
25 by ventilation, may contain salts that deliquesce at

1 relative humidity, less than 100 percent. Well, what is
2 salt deliquescence? It's, first of all, the activity of
3 water times 100 equates to the RH. That's the activity of
4 water in the atmosphere. So the idea is that the activity
5 of water and equilibrium with the salient brine is lower
6 than one in every case. Pure water has an activity of 1.
7 So these brines will absorb water when the RH, that is, the
8 activity of water in the atmosphere is greater than the
9 activity of water in the brine. And for highly
10 deliquescent salts this also implies that a brine will
11 always exist above the boiling point of pure H₂O. This is
12 the so-called boiling point elevation. Next slide.

13 And this is just showing--I'll show this quickly
14 here, showing here that body and vapor pressure water
15 versus temperature for different activities of water, for
16 example, pure water activity of one, you can see that the
17 repository pressure boils at 96 degrees centigrade, 100
18 degrees obviously at sea level. You can see, though, if
19 you reduce the activity of water, for example, the .75 then
20 this would be a water equilibrium with a saturated sodium
21 chloride solution, we raise the boiling point up to about
22 108 degrees at sea level, about 106, as I recall, at the
23 actual repository pressure.

24 And so the deliquescence, you've seen some of
25 these slides, RH for some of these salts. Shown here, for

1 example, calcium chloride pieced together is the sum of a
2 variety of phases of different states of hydration, but
3 they cluster quite a bit here. This is the so-called
4 deliquescent RH curve, below it RH values in the drift
5 environment, below that, that salt, if it was present, is
6 going to be dry. Any time that RH comes above that
7 deliquescence RH curve, you're going to start to absorb
8 water and you're going to wet up this system. You can see
9 it's about 20 percent for calcium chloride. For these
10 other salts halite shows very little temperature dependence
11 right there at 75 to 74 percent. Soda niter, much stronger
12 temperature dependence. You can see here also that the
13 combination, the assemblage halite plus soda niter in every
14 case will have a lower deliquescence RH that's basically
15 the combination of those two salts there.

16 And this is a slide that kind of summarizes some
17 of the chemical behavior. I'll come back to this towards
18 the end of this talk and again in the next talk. These so-
19 called eutectic slides used to give me headaches and
20 igneous petrology, but I think they are worth going through
21 briefly. The point is that if you'll look at RH versus,
22 say nitrate chloride ratio for the system, sodium chloride,
23 sodium nitrate, as the RH rises initially you've just got
24 these two salts are dry. Once at a particular temperature
25 it hits the eutectic point at 120 degrees--that would be

1 about 55 percent--you form or start to form a solution. It
2 absorbs water there.

3 However, if you had a bulk salt that was--salt
4 that had a bulk composition of say, 0.5 just for argument's
5 sake here, you don't actually initially form that
6 composition. You form the so-called eutectic composition
7 and gradually then as you raise the RH you migrate along
8 this solvus. It's only once you get back to this bulk
9 ratio that you can actually leave that solvus, then you've
10 basically dissolved all your salt and you get back your
11 bulk salt ratio. The reason I'm going on about this is
12 really to make the point that the thermodynamics of the
13 system is actually, in some cases, adjusting very
14 significantly the ratio of nitrate to chloride you have in
15 the system. So I'll come back to that point.

16 So on the salt minerals in the dust actually
17 found in the repository. The point is that, due to lack of
18 seepage during the above-boiling period, the salt-bearing
19 dusts are the chief concern because of their potential for
20 deliquescence. Small amounts of soluble salts are found in
21 the repository dust. Higher amounts are expected if
22 atmospheric dust became a more important component of those
23 dusts, but I'll review the actual concentrations and
24 fractions of the different cations and anions there. Chief
25 concern of course is the chloride-bearing salt because of

1 their potential for corrosion of the Alloy 22.

2 And so what has been done by the USGS as part of
3 the project is to collect dust from the various tunnels.
4 This is part of the dust collection in phase 2. They
5 basically took surfaces and vacuumed them. There's one of
6 the vacuumed surfaces. Here you can see the original dust
7 that was developed on the rock and placard, so you're
8 actually able to estimate amounts of dust that are coating
9 these various surfaces. I'll make use of this a little bit
10 later on.

11 And the next thing then is the actually analysis.
12 These were analyzed, it would be nice to just go in and
13 x-ray these and know what salt minerals were there. The
14 problem is the salt contents are extremely low and they are
15 below the detection limit of normal x-ray to fraction
16 methods. So what was done is basically to determine the
17 soluble content of the dust by subjecting the samples to a
18 distilled water leach. And then basically--well, first of
19 all, obviously you get out the proportions of nitrate and
20 chloride. Chloride in that system and the various
21 cations--I'll show you that in a second--but in addition,
22 in terms of identifying what primary minerals were actually
23 originally there, we follow two paths here. One is to then
24 evaporate these leachates to yield salt minerals that are
25 going to be present in a small enough, in large enough

1 concentration. Now we don't have the dilution with all
2 that inert dust, and these can actually be identified by
3 x-ray diffraction. And a second way is to determine the
4 primary salt minerals via calculation, using an equilibrium
5 mass balance evaporation calculation, EQ3/6 that basically
6 takes the water out, reverses the leaching experiment,
7 pulls the water out to come back at it. Implicit in this
8 is some equilibrium assumptions I'll discuss briefly later.
9 But a key point is that it does observe a rigorous mass
10 balance in terms of the overall system of chloride nitrate,
11 whatever is in there. It observes that mass balance. You
12 can kind of think of that as something like a normative
13 salt composition.

14 And so, here is the average of the soluble
15 cations and anions, and I probably should have put this on
16 the second slide, but that's all right, just to point out a
17 couple things, there's a fair amount of calcium, but I want
18 you to note that there's also quite a bit--this is plotted
19 in terms of milli-equivalents per kilogram dust. That's
20 like mols multiplied by the charge. There's quite a bit of
21 sulphate and carbonate. Some of those actually exceeds the
22 calcium.

23 I want to also point out there's some chloride,
24 as you would expect, but this chloride in every case is
25 actually less than the sum total of potassium and sodium

1 and cations, and there's also nitrate in the system. So
2 try and keep this plot in mind and we'll come back to it as
3 we need to.

4 And so here's the results of the actual x-ray
5 diffraction analysis of these salts precipitated from the
6 evaporated dust leachates. And it shows as the dominant
7 salt, as you would expect, is sodium chloride occurring in
8 all the samples. Major abundance in samples two through
9 five. Also getting calcite in one of the samples. And
10 also significant amounts of sulphate. This is gypsum, this
11 is basonite, another hydrated version of calcium sulphate
12 mineral. For some reason due to the analysis we're not
13 able to pick up the nitrate minerals and we're actually
14 picking up ammonia minerals whether that's anthropogenic
15 effect from the drilling or whatever needs to be resolved.

16 But there is some of those there, but the dominant
17 mineralogy is this sodium chloride salts and the sulphates.

18 This is also corroborated in general by the
19 calculations which predict a series of main key
20 assemblages, salt assemblages. 68 percent is actually
21 typified by this assemblage of sodium chloride and
22 potassium nitrate. The bromide is basically drilling
23 activities and testing, so in a normal repository setting,
24 you wouldn't have significant concentrations of bromide.
25 You can see this is a similar assemblage. We've only added

1 the soda niter here. So no calcium chloride or magnesium
2 chloride salts are predicted. None were observed in the
3 actual evaporation of the leachate that I showed in the
4 preceding slide.

5 And so here is a comparison of the different
6 soluble salt contents in the ESF here, reported by
7 Peterman, you can see we've got about .3 to .4 percent
8 soluble salts. So it's quite low. You can see now why we
9 don't x-ray these things. X-ray in general has a hard time
10 below 3 to 5 percent. In contrast, atmospheric dust has a
11 higher soluble salt concentration. So if these became more
12 important obviously you could bring this number up.

13 And so the question arises then, can the salt and
14 the dust generate these calcium chloride brines? Well, we
15 have to say a calcium chloride brine is possible only if
16 the following conditions and the soluble salt fraction are
17 both satisfied. Number one, calcium has to be greater than
18 sulphate plus carbonate. The reason is that calcium
19 sulphate, gypsum or anhydride and calcium carbonate, that's
20 calcite, are relatively insoluble. So you'll tend to pull
21 your calcium out of solution to the extent that those
22 anions are present.

23 Secondly, chloride has to be graded in sodium
24 plus potassium, same sort of argument. Sodium chloride and
25 potassium chloride are less soluble than calcium chloride.

1 They'll precipitate earlier. 96 percent of the tunnel
2 dust failed to satisfy this first condition. The
3 remainder, about 4 percent, satisfy the first but not the
4 second condition. But we don't see from the data we have
5 that there's any way in which calcium chloride could ever
6 be a significant part of these dusts here.

7 Similar arguments for the magnesium chloride,
8 except now there's three conditions. Magnesium graded and
9 carbonates, same sort of argument. This is an insoluble
10 phase, drops the magnesium out. Same argument about a
11 chloride. And then additionally a low silica environment
12 since magnesium is likely to be tied up in silica. There
13 was some discussion about sepiolite yesterday which is
14 observed for example in experiments run as part of the
15 opalinus clay study in Switzerland. Sepiolite was actually
16 identified there. Turns out what mostly is observed in the
17 evaporation experiments run at Livermore, is a magnesium
18 sheet silicate, either smectite or some other sheet
19 silicate. So there's nothing absolutely required or
20 special about the presence of sepiolite. The point is that
21 magnesium silicates tend to form. And this is of course
22 observed in other environments. If you look at Mid-Ocean
23 Ridge circulation of sea water which is loaded with
24 magnesium, it's well known that that water when it
25 circulates through the higher temperature rock is basically

1 stripped quantitatively of magnesium. So I think pretty
2 much all geochemists accept that this reactivity of
3 magnesium with silica is a well known phenomena. But the
4 point here is that none of these conditions occur within
5 the repository.

6 Another point to be made is if the presence of
7 calcium chloride or magnesium chloride minerals in outside
8 dust is very unlikely. The minerals are known to exist on
9 the earth's surface at only a few places. For example, in
10 Antarctica. This is the type locality for the mineral
11 antarctikite. The few known surface occurrences appear to
12 be a ephemeral. The key point here is basically that very
13 low RH conditions, less than about 25 percent, are required
14 to preserve these salts in-situ. And these low RH
15 conditions obviously are even harder to maintain during
16 transport of salts. So in other words, even if you could
17 make and maintain under extremely low humidity conditions a
18 calcium chloride salt, you've also got to transport it to
19 Yucca Mountain without it ever seeing above about 20
20 percent. Otherwise, it deliquesces and it solubulizes.

21 And let's jump forward. I did put one out of
22 order here. Sorry about that. After all this I put one
23 out of order. I should be up to 26, not 36.

24 And so this is just showing comparison of the
25 soluble ionic ratios. This is actually--might just skip

1 this because Don Langmuir showed various similar data
2 basically showing the ionic ratios of tunnel dust and
3 Nevada rainfall, which as he showed is quite similar to the
4 atmospheric dust. But you can see in general that even if
5 the atmospheric component goes up, still we've got very
6 similar sorts of mol or ratios developed here in the tunnel
7 dust forward to about 1. Here in the Nevada rainfall we
8 get very similar sorts of ratios of nitrate and chloride.
9 So we don't expect a completely different story if, during
10 ventilation, the atmospheric component became more
11 important.

12 And, well, the previous one was really just the
13 intro. It's not that important, just says we're going to
14 talk about stability of these minerals. The point here is,
15 as I've said, although it's not expected based on the
16 preceding arguments, the stability of calcium chloride and
17 magnesium chloride have been evaluated experimentally. And
18 a good portion of the calcium chloride data is new to the
19 Board, I believe, and all of the magnesium chloride data is
20 new. The stability of sodium chloride which is expected to
21 be present in small amounts, as I've said, in the dust, has
22 now also been investigated experimentally. All new data
23 here I'm going to show. And these have been evaluated
24 using TGA analysis under controlled temperature and RH
25 conditions.

1 Here's just a quick picture of the apparatus.
2 Basically shows the sample chamber. These were actually
3 originally designed as corrosion experiments with the Alloy
4 22 in there, obviously. I'm not going to talk about that.
5 I'll leave that to Joe Payer if he needs to. My issue
6 concern is just the stability of these salts, but you put
7 it in there and then you control quite closely both the
8 temperature and the RH in that chamber so you can raise the
9 RH and know where you're at. It's sensitive to weight
10 changes as small as tens of micrograms.

11 And here is the results, as I say, some of which
12 you've seen at least this calcium chloride at 150. Most of
13 the rest of it I don't think you've seen. This shows both
14 the calcium chloride and the magnesium chloride system. At
15 100 degrees calcium chloride is aqueous films, are stable
16 for the duration of the test. And just to remind you what
17 you're seeing here is basically a very rapid initial weight
18 gain as the salt deliquesces at 22 percent RH in that
19 temperature, and then if it's stable, obviously it's going
20 to just stay at that with the salt, with the water
21 maintained there. That's what's happening at 100 degrees.

22 And I believe Doctor Duquette was saying at 105
23 you could make a stable solution. This would seem to be
24 the case. At 100 there's no problem with stability. Soon
25 as you start going to 125 though we start to see that

1 characteristic, weight loss, forming insoluble
2 precipitates.

3 At 150 degrees down here we see the solution
4 evolves rapidly over as little as two days forming
5 insoluble precipitates and also generating an acid gas,
6 HCL. It's most likely that the same thing is happening as
7 mixed system. This is new data. Calcium chloride plus
8 calcium nitrate with volatilization of the hydrochloric--
9 it's a lower rate probably just because of the dilution
10 effect of the nitrate, calcium nitrate that's present
11 there. You can see also that magnesium chloride basically
12 transforms within hours at all temperatures considered in
13 each case becoming non-deliquescent at these RH conditions.
14 You can see there's the magnesium chloride number at 125
15 and the number here, the green, at 115. So there's no
16 stability to these magnesium chloride salts.

17 When you look at sodium chloride, this is all new
18 data again. Sodium chloride does appear to be stable at
19 105 degrees. For reference boiling point of sodium
20 chloride saturated solution is 108.7, so we're a couple
21 degrees under that. Seems to be some evidence for
22 transformation of this assemblage. It's not clear at this
23 point what that's due to. Most likely it probably is
24 volatilization of a little bit of HCL, which is now
25 occurring because we're able to bring this solution up to

1 120 instead of 105 because of the lower deliquescence point
2 of that mixture, as I discussed earlier.

3 And so in terms of the characterization of these
4 deposits, formations, electron dispersive spectroscopy
5 indicates precipitates contains calcium chloride and
6 oxygen. The analyses also indicate a loss of chloride,
7 particularly in the case of the 150 degrees centigrade one.
8 A chloride relative to calcium indicating volatilization
9 of the hydrochloric acid as a gas. This is conducted under
10 open systems where you continuously flush through a gas of
11 known RH, but also with basically zero HCL in the
12 atmosphere. Spectroscopy indicates a precipitates or not,
13 calcium hydroxide or calcite, so it looks like it's most
14 likely a calcium hydroxyl chloride that's been formed as a
15 combination of the loss of the chloride, but probably more
16 importantly the loss of this acid component which allows
17 the PH of that solution to go up a little bit and
18 precipitate. The point is that 22 percent RH again, this
19 is a non-deliquescent salts. So we're not able to maintain
20 these highly deliquescent salts at temperatures, in films
21 under open system conditions.

22 And so the summary, I probably just gave the
23 summary. We're able to to these experiments and show the
24 calcium chloride transforms the non-deliquescent phases.
25 Deliquescent magnesium chloride is unstable at all

1 temperatures investigated above 100. These are the results
2 of our HCL volatization for which there's a strong
3 temperature dependence observed. Calcium chloride doesn't
4 seem to volatize at 100 whereas it goes very quickly at
5 150. And here's a point where I was going to make here is
6 that perhaps this is what the Board was referring to when
7 they talked about conflicting evidence about calcium
8 chloride as corrosion potential. I think the point here is
9 that where nobody is questioning the potential of calcium
10 chloride to corrode the various alloys at temperature. In
11 other words, those are good experiments. The issue is
12 whether those salts are stable as thin films under various
13 RH conditions under open system. If there was purely a
14 corrosion issue, I wouldn't even be up here. Joe Payer
15 would be discussing it. And so it seems to be open system
16 behavior. In other words, if you construct closed system
17 version of this where the HCL in the atmosphere builds up
18 and then finally came to equilibrium with HCL in the actual
19 brine, you've shut that devolatization and transformation
20 process off completely. So it occurs under open system
21 conditions where you can flush that gas out of there.

22 It's our contention as I'll try and show in the
23 next slides, that the drift environment is very much an
24 open system and therefore that PGA, while the actual
25 transport rates may not be dead on, is much closer to the

1 real situation than a closed system. That's the key,
2 though, I think, is that we're not saying calcium chloride
3 doesn't corrode. It's simply that that assemblage is not
4 stable at temperature as a thin water film. Obviously, if
5 you made a large solution of it, you could maintain that
6 for quite a while, and that's, of course, the way the
7 corrosion experiments are done.

8 And so that basically leads naturally into the
9 next topic, the volatilization of acid gases in the drift
10 environment.

11 And basically, we've said that the instability of
12 these salts to the extent that they are present, we don't
13 think that they will even be present, but it would be due
14 largely to degassing of HCL. HNLC gas is much less
15 volatile than HCL gas so the primary issues with HCL gas,
16 so the question is what will happen to any acid gas
17 generated in the drift environment and how much acid gas
18 will be generated. May be just as the back of the envelope
19 because as I said, we don't expect under normal conditions
20 even to find any salts there. But I'll try and address
21 those issues in the next slide.

22 This is our view of what happens, would happen to
23 an acid gas in the drift environment. Basically, under
24 open system conditions, any HCL gas that is generated will
25 disperse in the drift. And in fact, as I've shown you from

1 the TGA results, normally you'd expect that if it's going
2 to occur to happen at the highest temperatures. That's
3 going to happen, therefore, when you've got the benefit of
4 this vaporization barrier so the entire drift environment
5 is going to be well above boiling. There's no possibility
6 of condensation. What we're arguing is that this is an
7 open system, basically doesn't look anything like a
8 laboratory distillation experiment, and that HCL that's
9 generated is going to migrate out through the drift
10 environment, through these fractures until it encounters
11 liquid water. In the high temperature case, as Bo said,
12 that's going to be five to six meters back. And then,
13 because of the Henry's Law Constant for HCL and all of
14 these acid gasses, it's going to partition quantitatively
15 almost into the aqueous phase that's present. So we're
16 talking here, not just about dispersal, like hydrodynamic
17 dispersion, we're actually talking about very powerful sink
18 term in the aqueous phase that's going to scavenge those
19 acid gasses.

20 And the last point to be made, I'll come back to
21 this, that if you're at a lower temperature region where
22 condensation would occur, the last place you would expect
23 any condensation would be on the waste packages since they
24 are the hottest spots within this overall drift
25 environment.

1 I want to just quickly pursue this issue to try
2 and show our view of these acid gasses with a couple of
3 simulations that have never been shown before, just done
4 fairly recently, but to start with the back of the
5 envelope, calculation of what the HCL gas might be in the
6 drift environment. So, the way we did that, very
7 conservative estimate, was took the measured mass of dust
8 in the tunnels as measured by the USGS, then used the
9 measured chloride content of the dust and then, as you can
10 see again, about 5 milli-equivalents per kilogram of dust,
11 and then assumed, very conservative assumption, all of the
12 chloride volitizes HCL. As I've said, normally that
13 chloride should be bound up with sodium chloride, should be
14 stable, but let's just look and see what happens. We
15 inject it into the drift. Here's the waste package, here's
16 the drift environment. The reddish orange is the rock
17 here. Eject it into the drift under two scenarios, just to
18 quickly look at. One, where the drift wall is just below
19 boiling so we've just had the rewetting front appear here.
20 But we've still got the waste package above boiling, so
21 it's dryer there. So there's no condensation issues.

22 The second one, let's look at condensation where
23 we actually have this scenario. I don't know if this is
24 what was considered by Catholic University where down the
25 line in the drift you've got a hotter waste package boiling

1 away. Humid air comes down towards the somewhat cooler
2 drift, like this one, and what happens? So we'll look at
3 that scenario as well. Both the waste package and the
4 drift wall slightly below boiling.

5 So the first one basically shows that no
6 condensation case. What it shows is after we inject that
7 HCL it disperses rapidly in the drift environment, within
8 about one day due to diffusion, dispersion. Over slightly
9 longer time periods, however, the HCL gas dissolves in the
10 aqueous phase in the rock matrix here, thus lowering its
11 concentration in the drift atmosphere. So you can, by two
12 months we're basically going from about 10^{-6} mol
13 fraction, or volume fraction, down to 10^{-12} .
14 So the point here is that reservoir water, wherever it
15 occurs in the drift environment is going to be a very
16 significant sink for any acid gases that are going to
17 develop and this is going to operate over a fairly short
18 time period.

19 And here's the other case now. With slightly
20 humid air coming from somewhere up the drift, a hotter
21 waste package for example, so we're going to allow for some
22 condensation because you've got both the waste package and
23 the drift wall below boiling.

24 What we see, however, is condensation exclusively
25 on the drift wall because still its temperature is lower

1 and the RH is higher there. We see the condensation of
2 that lower temperature drift wall, initially because you're
3 condensing very small amounts of water after two hours.
4 Its PH is quite low. All of that HCL gas got scavenged
5 into that little bit of liquid water that's developed
6 there. After 12 hours we've condensed more water.
7 Basically now we're diluting the low PH with that given
8 amount of HCL. We do not have a infinite supply of HCL
9 appearing in this model. This is actually the amount that
10 can volatize off that waste package. We can see further
11 dilution, so by one day we're already up to PHs of four to
12 five. So the point again is that with water, if it
13 condenses will not be on the waste package. It will be on
14 the drift wall. That's the last place it's going to go.
15 Secondly, is that it will tend to scavenge any acid gases
16 that are present. If we followed this longer, we would see
17 this PH signal move over the longer time periods into the
18 water, into the rock, and even somewhat longer time periods
19 we get mineral buffering that was described by Don
20 Langmuir, which is that you cannot maintain the low PH
21 plume anywhere in this environment.

22 So the conclusions, sort of a summary here is in
23 the unlikely event that calcium chloride or magnesium
24 chloride area present, the HCL gas could be generated
25 during the above boiling period. If this occurs, however,

1 it would be expected to be during the period when the
2 entire drift temperature is greater than about 125 simply
3 because, based on the TGA, we see the maximum
4 volatilization at those high temperatures. And in that
5 period there's no condensation anywhere in the drift
6 environment. Simply moves out. Amounts of acid gas
7 possible are small, placed on the mass balances, but even
8 more importantly, any acid gases generated will be
9 dispersed widely in the drift environment and upon
10 dispersal these will be dissolved into liquid water in the
11 rock beyond the drift, pulling down the concentration in
12 the atmosphere. And if condensation of liquid water occurs
13 accompanied by scavenging, that will take place in the
14 coolest parts of the drift, not the waste package.

15 So the last topic is to take another look at salt
16 deliquescence with a focus on these two issues just
17 quickly, how much water is absorbed, just to give you an
18 idea of that. And also what the composition brines can
19 actually develop in this kind of multi-component system.

20 And the salts present in the dust are expected to
21 contain both nitrate and chloride. We have reversed multi-
22 component deliquescence experiments that are used to
23 validate a geochemical model that we've been using to
24 describe this deliquescence and evaporation process. I'll
25 show you one of those. That's all new data. And this, as

1 I said, point out the mass of water absorbed by these
2 deliquescent salts is very, very small. And finally,
3 return to the issue there of high temperature and lower RH.
4 Eutectic composition has a high nitrate chloride ratio due
5 to the thermodynamics of deliquescence.

6 And this is some of the experiments done recently
7 at Lawrence Livermore Lab at 120 degrees. Sodium chloride,
8 potassium nitrate system. Here's the deliquescence of
9 sodium chloride. The deliquescence point appears.
10 Potassium nitrate, you can see the experimental data here.
11 The red represents experiments that originally started as
12 solid dust and you basically raised the RH, and
13 deliquescence occurred, and then you measure the solution
14 composition. The black initially dissolved the totally
15 aqueous system where you actually evaporated some of it.
16 And, so you're approaching from the other direction.

17 And so these are reversals of these experiments.
18 You can see the close agreement and also the time it took
19 to get that was on the order of 48 hours, indicating quite
20 rapid reaction rates here. So this is some of our
21 validation data of the geochemical model, which include the
22 Pitzer database that's to high temperature and also high
23 ionic strength.

24 This is the point I was trying to make earlier
25 about, while concentrated brines can develop due to

1 deliquescence, we're not talking about big oceans of water.
2 We're talking about extremely small volumes. In fact, for
3 a salt mass of .35 grams we're talking about something on
4 the order of 10 to 100 micrograms, or microliters of water
5 actually absorbed. So we're not even up to a drop or, you
6 know, milliliter sort of volume of drop, which would be up
7 there. To get up to that point, you've got to be all the
8 way up to 95. So the point here is that we really don't
9 have enough water mass, for example, to generate flow.
10 You're just going to be holding that moisture within the
11 capillarity of any dust that you have on the surface.

12 And then back to this thermodynamic control.
13 You've seen this already, but the point is between the
14 totally dry conditions of RH and totally aqueous
15 solubilized conditions at a higher RH, the solution
16 composition is going to be controlled by this so-called
17 eutectic diagram with migration along the solvus. The
18 point here really is that if you've got a bulk composition
19 of nitrate, say at 0.5, the thermodynamics in this system
20 is always going to give you actually higher nitrate
21 chloride ratios. So it's really only when you climb way up
22 in relative humidity that you can get out these bulk
23 values, and those are shown in the next slide.

24 I've been holding this off. These are the actual
25 data from USGS showing the nitrate-chloride ratios in the

1 solvus. They are actually pretty much favorable anyways
2 for the whole corrosion scenario. You can see that almost
3 all of them are above 0.5, but the point is that in this
4 system these ratios actually represent minimum values
5 because at lower TH, the thermodynamics of the system drive
6 the solution to even higher nitrate-chloride ratio.

7 And this observation is bundled a little bit in
8 the next two slides. The first one, sort of a schematic
9 that shows possible fields and relative humidity,
10 temperature. This is an inaccessible region where the
11 pressure of water would have to exceed atmospheric. You
12 can't reach this because of the pressure unless you run an
13 autoclave experiment.

14 Here, below this deliquescence point, the system
15 should be totally dry. We don't obviously have calcium
16 chloride salts in this system. We're considering this
17 system. But the point is that there's this region here
18 where nitrate-chloride ratios are always going to be
19 greater than 0.5 and that's because of the thermodynamics,
20 just not the bulk salt concentration. It's only once you
21 get up to the 70 percent that you have a possibility of
22 even moving below that value.

23 And so, on the next slide, if we look at the
24 characteristic temperature RH, first for the repository,
25 let's focus on the blue one. That's the most common. This

1 is kind of the hot one. That's a much colder one. Focus
2 on the blue one, you can see that drift wall gets to 96
3 degrees in about 750 years. In fact, that waste package in
4 the drift environment spent its whole period above boiling
5 in this region, either under totally dry conditions or if
6 deliquescence occurs, and we're talking now about sodium
7 chloride, not--calcium chloride is long gone and was never
8 there, basically. You're always going to have those
9 favorable nitrate-chloride ratios. But we don't see that
10 an aggressive corrosive brine can develop at all during
11 this above-boiling period basically based on that.

12 And so in conclusion, due to lack of seepage, as
13 we've said, the chief issue is the deliquescent salts.
14 Calcium chloride, magnesium chloride salts are extremely
15 unlikely to be present as we discussed in the repository.
16 But in any case, if present, they would rapidly transform
17 to non-deliquescent phases due to their instability at
18 temperature, at least as thin dust films here. Any acid
19 gases generated due to salt deliquescence will be dispersed
20 in the drift atmosphere at environment and then dissolve
21 into the water in the rock. If condensation of liquid
22 water occurs accompanied by scavenging of acid gases, it
23 will take place in the coolest parts of the drift, not in
24 any case on the waste packages.

25 Only nitrate-dominant brines will form during the

1 above boiling period due to the thermodynamics of
2 deliquescence in this particular system. This is over and
3 above the natural variability of nitrate-chloride ratios in
4 the dust which as we've shown as quite favorable generally
5 above .5.

6 And lastly, the mass of water we're talking about
7 here is very, very small, on the order of microliters. 10s
8 of microliters. And, so that concludes the main part.

9 This next part is kind of a bonus track on the
10 Catholic University distillation experiments. Their
11 experiment involved extensive boiling of calcium magnesium
12 chloride nitrate water and showed condensation of a low PH
13 water leaving to metal corrosion. I don't want to go into
14 this too much, but the key point I want to ask is this
15 experiment relative to the drift environment.

16 And, this is sort of contrasted over on this
17 side, the drift environment, our conceptual model for it in
18 this experiment. Features of distillation experiment that
19 do not apply, in our opinion, to the drift environment at
20 Yucca Mountain. First and most important is the highly
21 localized condensation due to the closed system behavior of
22 this experiment. In fact, then later on after they take
23 this part off and add the Soxhlet cuff, they actually have
24 the refluxing of condensed acids, and I think Bo gave a
25 pretty good explanation of why we do not expect refluxing

1 in this heat pipe behavior to occur. In any case would
2 require a very large quantity of water to humidify the
3 environment. We don't see any evidence for that kind of
4 seepage occurring.

5 A second point is that their experiments, the
6 corroding metal coupons are held at lower temperature than
7 the boiling brine. So obviously they'd become the locusts
8 of condensations of those acid gases. Well, the situation
9 in the drift is the waste package is the hottest spot in
10 the overall environment there, even if you're talking about
11 longitudinal transport down the drift, even then when it
12 gets there, you're still going to find a waste package
13 that's hotter than the surrounding drift wall in other
14 environment.

15 Another point to be made, perhaps, is that
16 there's something inherently unrealistic about an
17 experiment that involves the equivalent of about 14,000
18 liters of dilute seepage water in order to conduct that
19 experiment. There would be very much smaller masses of
20 water that would even be there, and therefore, the amount
21 of HCL that could be generated very much smaller. And very
22 large temperature gradients also are not the same as in the
23 drift environment. This of course is partly what focuses
24 this condensation all in one spot.

25 And so, our argument is that the Catholic

1 University distillation experiment is irrelevant to the
2 drift environment at Yucca Mountain.

3 DUQUETTE: Thank you. Thank you for being early. Go
4 ahead Ron.

5 LATANISION: Latanision, Board. If you could go back
6 to the previous slide where you started with the Catholic,
7 just one I think. Oh, Latanision, Board. Thank you.
8 Could you go back one. I guess it's No. 50 actually.
9 That's the one, yeah.

10 I take your point in terms of the conversation
11 regarding Catholic University experiments that you're
12 asking is the experiment relevant to the drifts
13 environment. And, I think I would have to ask the same
14 question. Of the tests that have been done by both the
15 project and by CNWRA on magnesium and calcium chloride
16 brines, why are those experiments relevant? Why have we
17 seen so much data? You may not be the right person to
18 answer this question.

19 STEEFEL: No, I--maybe somebody else can answer. Are
20 you referring to the corrosion tests?

21 LATANISION: Yes.

22 STEEFEL: Involving liquid, or are you talking about
23 the TGA now?

24 LATANISION: No, I'm talking about the tests that have
25 been performed in concentrated brines over the, you know,

1 this is the data that led to our concern in terms of the
2 Board's expression, both in terms of the letter and the
3 report, so I'm just trying to put in perspective, given all
4 that you've told us, if magnesium and calcium chloride dust
5 is not likely to be present, what was the point of all that
6 experimentation?

7 STEEFEL: I'll let Greg answer that. I could give an
8 answer, but--

9 GDOWSKI: I think we have been evolving in what we--

10 DUQUETTE: Please identify yourself for the record.

11 GDOWSKI: I'm sorry. Greg Gdowski, Lawrence
12 Livermore. I believe that we are evolving into what we
13 believe that the environment is and now that we're getting
14 a better characterization of the environment, the systems
15 that we were testing at one time don't seem as relevant.

16 STEEFEL: Obviously, the sodium chloride and things
17 like that are still relevant because the--

18 LATANISION: Latanision, Board. That would be my
19 second comment. If we could go back to, one of your slides
20 shows that transient--temperature time transient--I'm not
21 sure which number it is.

22 STEEFEL: Do you mean way in the beginning or--

23 LATANISION: Yeah, way in the beginning. What I'm
24 interested in is--

25 STEEFEL: Probably about 7 or 8, or--

1 LATANISION: What I'm interested in is having a sense
2 of over what temperature range we will get back and what
3 time period you would expect sodium chloride or the
4 eutectic mix of sodium--of chlorides, nitrates to be
5 present.

6 STEEFEL: One more there. Can we go back--

7 LATANISION: Yeah, that's probably it.

8 STEEFEL: Okay, that's good. The--

9 LATANISION: Didn't have a number. That's why I was
10 confused.

11 STEEFEL: Sodium chloride would be in the high
12 temperature period, of course. The second talk focuses
13 much more on that issue. Sodium chloride in the below-
14 boiling period and that's probably the key player there.
15 But in the above-boiling period, it's basically at these
16 low RHs, sodium chloride can be totally dry, so it's
17 basically only when you get the deliquescence point of that
18 mixture of those nitrate and sodium chloride salts that the
19 RH that's going to come into play, I forget exactly where
20 that is, but that's going to be somewhere I think about 55
21 percent. So you're really talking about this period from
22 about right there, I think, up to about there, during the
23 above-boiling period. And it might have shown that on that
24 very last slide towards the end that you're talking--

25 LATANISION: That's right.

1 STEEFEL: That period of course then the
2 thermodynamics are giving you back high nitrate to chloride
3 ratios, which are going to be well above the actual sort of
4 point where you get significant corrosion occurring.

5 LATANISION: Latanision, Board. That's roughly what I
6 thought in having listened to your comments. So the
7 corollary question then is the project planning to do tests
8 in those environments which I think we're now coming to a
9 sense of are important. Are you planning to do tests--

10 GDOWSKI: Greg Gdowski. We have done the tests and
11 Joe Payer will present them later this afternoon.

12 LATANISION: Great. Thank you.

13 DUQUETTE: Dan Bullen?

14 BULLEN: Bullen, Board. Could we go to slide 21,
15 please? The bottom point says that the remainder of the
16 four percent don't satisfy this condition. The first
17 condition was that the dust fails to satisfy condition 1.
18 Is there a heterogeneity in the dust throughout the
19 repository and so do you get variations in the types of
20 dust, or is this just a conglomeration that all the dust,
21 you know, doesn't meet this 96 percent requirement?

22 STEEFEL: I'll let Tom Wolery, he's done the most work
23 on that. He's got a whole MR on that.

24 WOLERY: Okay, the data referred to here again from
25 the tunnel dust, leachates, and basically these are

1 processed through EQ3/6 calculations simulating
2 evaporation. We then looked at all of the salt minerals
3 that were predicted to form in these, and then tried to
4 sort these things out in terms of what would control, for
5 example, the initial deliquescence, and that kind of
6 focused us on sodium chloride plus potassium nitrate for
7 about 66 percent of the cases. For most of the remainder
8 of the cases, the same assemblage plus sodium nitrate, and
9 then in a very small number, range, four percent basically
10 those ended up coming up also with calcium nitrate. And we
11 never saw any calcium chloride come up in these
12 calculations, but we do see a calcium nitrate.

13 STEEFEL: That was true in all of the dusts you looked
14 at so this includes how many samples did you have? 38 or
15 50?

16 WOLERY: There's something like, depending on how you
17 count them, about 50 some samples.

18 BULLEN: Bullen, Board. Were these samples--I know
19 that they were taken at various parts of the repository.
20 Could you tie the sample to the type of geologic strata
21 that you were in? Is there a different characteristic of
22 the dust in the lower lith versus the middle non-lith,
23 versus the upper lith?

24 WOLERY: I can't really answer that question, but I
25 don't think so.

1 BULLEN: Bullen, Board. Do you think that's just
2 because the dust was ubiquitous or because there is no
3 difference between those two, or those three strata?

4 WOLERY: There may be, but, you know, I might defer
5 some of the answer to that question to Zell Peterman who
6 actually took and analyzed the samples, but I know that a
7 big part of the answer is we know that most of the dust in
8 the tunnels is actually rock dust. That contributes
9 particularly strongly to overall composition, but
10 particularly the insoluble composition, but anyway, Zell,
11 do you want to take it from there?

12 PETERMAN: Yeah, there's a lot of variability--

13 DUQUETTE: Please identify yourself.

14 (The comments from Zell Peterman were made away from
15 the microphone. The following is the audible portion of
16 that comment:)

17 PETERMAN: Zell Peterman, USGS. There's a lot of
18 variability in the overall dust composition (inaudible)
19 elements and traces. Some of it seems to be related to how
20 close you want to (inaudible). So there's probably a
21 component of experiments of film dust coming in there.
22 Within the main, the lith main drift (inaudible) and the
23 rock (inaudible). (Inaudible) and the total (inaudible).
24 No significant gradient of (inaudible) within all the
25 different zones, the lithophysal or non-lithophysal zones.

1 So that component which is, you know, 98-plus percent of
2 the dust is (inaudible) composition.

3 BULLEN: Thank you, Zell. Bullen, Board. I just had
4 a couple more questions. Can we go to slide 38, quickly.
5 I was very intrigued by interpretation of where the acid
6 gas is going to condense and how it would be diluted,
7 except where I see in your model is that you're missing
8 some structure here. You're missing the drip shield,
9 you're missing the internal construction components of the
10 ground support and so the question that I have is, if there
11 were condensation under the drip shield, would you expect
12 the acid gas to then be focused to an area where there may
13 actually be, and again, variability, along the drift and
14 may end up with a cool spot where I've got condensation
15 under the drip shield and so instead of getting the acid
16 out into the rock, I produce the acid solution even in my
17 new quantities at the surface of the drip shield and
18 actually either cause failure to the drip shield or failure
19 to the waste package because what I've done is essentially
20 concentrate all the acid gas into the area that is
21 systemic. I have a perspective as to why I ask this
22 question. Years ago, Rich Attebury at Livemore took a look
23 at radiolysis effects and found that the nitrates that were
24 produced in accelerator environments ended up on condensate
25 water on copper piping and corroded the daylights out of

1 it. And so, this condensation of gas is actually a key
2 issue that if you are actually making it and it condenses
3 in the wrong place, not in the rock, but on the drip
4 shield, could that pose a problem?

5 STEEFEL: I think that, first of all, of course, that
6 we expect if there's any volatilization it's going to occur
7 at the highest temperatures when the drip shield would be
8 well above the boiling point so condensation isn't going to
9 occur. But just to follow this scenario out, it's true
10 then that first of all that the drift wall is still going
11 to be a lower temperature than the drip shield. So if that
12 gas can get out it's basically going to migrate out to that
13 zone condensed air and then work its way into the water
14 actually held within the rock mass. Now, if you had a
15 tight, for example, a tight drip shield, then you're going
16 to have to rely on basically longitudinal drip transport to
17 go down through the system and get out of the system there,
18 but again, the drip shield is really not, you know the
19 design is a quantitative thing that's going to capture
20 anything there. It's still going to move longitudinally
21 along the axis of the drift and of course, that's--isn't
22 actually shown there.

23 BULLEN: Bullen, Board. Just one last quick question.
24 Do you produce acid gas above the boiling point?

25 STEEFEL: Of what? Boiling point?

1 BULLEN: At the repository horizon. Do you produce
2 the acid gas about that?

3 STEEFEL: What do you mean above--you're talking about
4 the TGA, you see, you don't see it at 100 degrees. You see
5 it at 125, so it's only the deliquescing ones there.

6 BULLEN: Bullen, Board. Then one would ask the
7 question, why would one want to go above the boiling point?

8 STEEFEL: Because you've rendered these--you've
9 rendered all these slats benign by getting rid of the HCL.

10 DUQUETTE: Let me take the Chair's prerogative for a
11 minute and say, and pick up on a theme that Ron Latanision
12 picked up on this morning. You indicated that the water is
13 not going to get in there through seepage, it's not going
14 to be stable for corrosion processes on the canister wall.
15 Why on earth do you need the drip shields?

16 STEEFEL: Yeah, that came up before. The drip shield
17 really plays a role in the lower boiling period. And
18 you'll see when I get into that why the drip shield is
19 useful. I'm not sure that you need it during this stage at
20 all.

21 DUQUETTE: Terry, you have a question?

22 CERLING: Yeah, I have a couple of questions. One--
23 Cerling, Board. One question, you've showed us how
24 hydrochloric acid is generated in this. In any of your
25 work with the nitrate compound, did you ever get any

1 generation of nitric acid?

2 STEEFEL: Yeah, I'll let Greg--Greg has done--

3 GDOWSKI: Greg Gdowski, Lawrence Livermore. We've
4 only done a few experiments with mixtures of chloride and
5 nitrate. And, calcium chloride is actually less
6 deliquescent than calcium chloride, so what we saw while we
7 were--

8 CERLING: Nitrate. Nitrate.

9 STEEFEL: Calcium nitrate.

10 GDOWSKI: --is less deliquescent in calcium chloride.
11 So what we saw was when we evolved the ACL gas from that
12 mixed solution, we saw precipitation of calcium nitrate and
13 this insoluble calcium hydroxide chloride. We haven't
14 actually done it at higher RHs. But it might still remain
15 soluble with the calcium nitrate.

16 CERLING: And then, if we could drag Zell Peterman
17 back. The question that I wanted to follow up on was the
18 one earlier about the inhomogeneity of the salts and
19 obviously one of the sources of salts is whatever
20 construction activity there is, and the other has to do
21 with whatever is really contributed by the rock. And so, I
22 was wondering if in your collection of dust samples if in
23 areas where seepage was more likely to be involved in the
24 contribution, is there a difference in the chemistry that
25 you could attribute to sort of the rock end member versus

1 the anthropogenic end member, and--

2 PETERMAN: Zell Peterman, USGS. No, we haven't seen
3 that. The, you know, if we use the calcite (inaudible).
4 Okay, is that better?

5 The area where we would see the greatest seepage
6 was is under the--under drill hole (inaudible). That's
7 where the greatest abundance of calcite deposits occurred.
8 No, we did not see any corresponding variation in the
9 dust, and I guess what I'm hearing was once you're in the
10 main drift and then, you know, ventilation system, things
11 getting pretty well mixed up, that's sort of the goal when
12 they are collecting dust and raising dust and they see it
13 dispersed and moving down, you know, mixing, and you can
14 see that. The other component, well, we think the
15 components are construction water. We can tell that by
16 looking at the bromine, by natural pore water salt that
17 form on the tunnel walls and then there's, you know, other
18 things, like ground--conveyor belt. You can see a lot of
19 black specks, which are carbon. I'm sure (inaudible) lot
20 of different components, but once you get away from the
21 North Portal, things are relatively intertwined. The dust
22 composition. Both the solubles and the (inaudible) both
23 dust compositions. I don't know if I answered, responded
24 to your question properly.

25 CERLING: Pretty close. I guess following on that, do

1 you think that you could come up with perhaps a few and
2 perhaps only one, sort of end member composition that is
3 contributed by the natural system? Is that possible? Or
4 how many dust samples would it take to be able to calculate
5 that end member value?

6 PETERMAN: No, I think we can. The silica rhyolites
7 predominant rock in the tunnel and whether it's the
8 Topopahans that got a little bit riled at it, at the T
9 results of that rhyolite. Now, at the upper part of each
10 of those units there's of course latite, and that has a
11 different composition than the rhyolite. Some key
12 elements, you know. It's higher than titanium, higher and
13 higher. It's still got, you know, 73, 72 percent SiO₂
14 compared to a 76 percent for the rhyolite. So it's not a
15 really big difference, but we can pick those sort of things
16 up. Because our paper, I think it was the high-level waste
17 last Spring, a year ago, and just, you know, using these
18 prior diagrams could compare with things you can see what's
19 enriched in the dust relative to say the rhyolite.

20 CERLING: Yeah, I was thinking mainly in terms of the
21 soluble component. Cerling, Board. I think thinking more
22 of the soluble component rather than the insoluble--silica
23 and so on.

24 PETERMAN: Okay. As I say, it's sort of a random--in
25 the soluble there's sort of a random variation. Once you

1 get away from the immediate effects of the North Portal.

2 CERLING: Okay. Thanks. I've got one follow-on
3 because I can't resist. I have to ask a Bullen-Board
4 question. So this is Cerling, Board asking a Bullen, Board
5 question.

6 From your slide 6, you might be able to make the
7 argument that perhaps a higher temperature is actually
8 better in terms of the corrosion issue because it gives you
9 sort of a protective period, So in asking that I would say
10 ask the anti-Bullen, Board question. Is a higher
11 temperature design in this particular corrosion question,
12 is it actually better than a low temperature design?

13 STEEFEL: The only reason I--I mean you said that was
14 a nice try, but the only reason I agree with you on that
15 was that I don't expect calcium chloride and magnesium
16 chloride salts to be there. So that volatization issue is
17 probably a non-issue from the beginning. But the
18 additional benefit, of course, is that extended
19 vaporization period where you have nitrate and chloride
20 ratios at favorable. In any case, I don't see big
21 objections to it. It seems like these issues, they don't
22 make it worse. You may not get a big benefit out of it.

23 PARIZEK: Parizek, Board. On the amount of acid that,
24 gases that could be produced, I didn't get a sense of
25 volumes or whatever, but if it heads for the wall early in

1 the placement of waste packages, it sees pore water and
2 ends good. It disappears in there. What does that do to
3 the chemistry of that water? Does that chew away on the
4 rocks and so, you know, we heard from Bo how nice the water
5 chemistry could be, but is it likely to become normalized
6 if in fact acid is produced or how much acid is it? I mean
7 it's going to get neutralized, as you pointed out, but--

8 STEEFEL: I mean obviously, somebody could go out and
9 design an experiment where they took, you know, huge
10 quantities of HCL and dissolved small amounts of rock and
11 you could then produce a very concentrated. The issue is
12 that you're talking about a small amount of HCL that have
13 been dissolved in a fair amount of water with even more
14 rock out there. And then basically the scenario I think
15 is, as Don Langmuir described yesterday, at that stage the
16 HCL becomes a dilute, fairly dilute weak acid that reacts
17 with just like weathering with the minerals and the rock.
18 And then there's more than enough of that material there to
19 buffer the PH and bring it out. When we actually did those
20 earlier ones, all we did was take the HCL and put it into
21 the water. Even there we saw only a shift of PH of a few
22 hints, you know, to have the PH in something like that.
23 You're talking about small amounts that the natural system
24 shouldn't have any problem dealing with, but I don't know
25 if, Eric, you want any comments to add to that. He has

1 worked on the drip scale and the whole business of the
2 reactivity of the system and--

3 SONNENTHAL: Eric Sonnenthal, Lawrence Berkeley Lab.
4 Yes, actually, the PH shift is virtually not noticeable in
5 this case. The heating of the flow waters that's coming
6 down to the drift is actually devolatizing CO2 and
7 increasing the PH slightly in those figures and so you
8 can't even see the PH shift of the HCL. You have so much
9 rock area where that gas is going through fractures and is
10 dissolving the rock, there probably are some shifts in the
11 reactions, but it's going to be not too noticeable.

12 PARIZEK: Thank you. That's trivial, sounds like,
13 then. And, the other question about the Catholic
14 University, all their making is to create things other than
15 dust and that's dripping water, which then evaporates and
16 leaves some scale on the waste packages. Now really, in
17 the placement of the waste package underground before
18 boiling temperatures occur in the rock wall, you've got a
19 lot of water in there, and now you could have dripping
20 because of this redistribution of moisture in that short
21 time period. You folks discount then this dripping water
22 and the possibility of developing scale, as we heard
23 yesterday from Catholic University?

24 STEEFEL: This is during the heat-up period?

25 PARIZEK: Right. Just early in the heat-up period. I

1 mean you're getting into the point where you don't get half
2 this boiling rock vapor barrier thing that both says will
3 exist that you need very protected. But to get to that
4 point you've got water in rock early on.

5 STEEFEL: Bo could answer that, but I mean the
6 capillary barrier is still in place there, so you're, you
7 know, and you're talking about the present regime with low,
8 you know, the climate is such that the most we're getting
9 basically for waste package in the extreme case would be
10 about, you know, a kilogram of water or something per year.
11 And that doesn't even take into account the small
12 percentage that's going to actually seep, which is
13 somewhere, forget what it was, three to five percent. So
14 you still have a capillary barrier.

15 Secondly, is that, you know, you're not going to
16 get those concentrated brines then. You're talking about
17 before heat-up. You're basically going to heat up that
18 drift wall within, say a few years, assuming the waste
19 packages are hot so you've got a very limited time to do
20 any seepage, and actually evaporate something on the
21 surface of the package.

22 PARIZEK: Parizek, Board. Again, if we look at the
23 heater, big block heater experiment rather, there was free
24 water outside of the shielding, but you couldn't go in
25 after the experiment mode so you could get water because it

1 seems to be possible, really, in these experiments. So
2 even though you have a capillary barrier, you still had
3 free water in at least two locations of the experiments
4 that we saw in the field.

5 SONNENTHAL: Eric Sonnenthal, Lawrence Berkeley Lab.

6 We only saw water out in those backed-off
7 hydrology boreholes when the temperature was very close to
8 boiling and the vapor, the water mass fraction in the gas
9 is extremely high. So you have a very short period of time
10 way out in the rock, and that's the only time we ever
11 collected water and it was only out in the rock.

12 PARIZEK: Parizek, Board. Was there not water on the
13 floor just entering up to look into the gauge of whatever
14 that heater experiment was conducted before?

15 SONNENTHAL: Not in the drift. We've only seen water
16 that condensed on the outside of the bulkhead.

17 PARIZEK: That's the water I have in mind. The
18 bulkhead was not totally sealed.

19 SONNENTHAL: Right. In the drift we've never found
20 water.

21 BODVARSSON: Bo Bodvarsson, Livermore Berkeley Lab.
22 Just to clarify, that's water outside which is condensation
23 of steam that went through the bulkhead. So it had nothing
24 to do with, really, the canister of water or seepage.

25 ABKOWITZ: Abkowitz, Board. I'd like to take this

1 discussion to new heights, namely 50,000 feet since I'm not
2 a member of the Yucca Mountain underground, but I do think
3 I can contribute at that level.

4 What I think is that we have a situation here
5 where corrosion has been expressed as a concern by the
6 Board for quite some time, more than 10 years. It has
7 survived many different transitions and board members and
8 different political administrations and so forth. And, the
9 Board has been sending a message for a while that this is a
10 concern and it sort of put an exclamation point on that
11 message last Fall. What I had subsequently heard from the
12 conversation today is that the environment under which
13 tests have been conducted for many years, expending many
14 millions of dollars, is not an environment that's
15 plausible. And that this is something that has just been
16 learned over the last few months and is being presented to
17 us today, and so basically the concerns of the Board are,
18 in DOE's eyes, a non-starter.

19 As someone who has kind of, at least for this
20 Board, a mantra of taking the time to do things right, it
21 seems to me that this new information and new conclusions
22 is a, you know, rather sudden set of accomplishments, and
23 the project at this complex, when that pace of learning is
24 occurring at such a high rate, it tells me there's probably
25 a whole lot more learning that needs to go on in this area

1 or other areas. And so, I want to, you know, I want to go
2 on the record as expressing a concern that if we're still
3 learning these types of things at this point in time, you
4 know, I wonder whether or not we should be at a point where
5 the repository design is always so well defined and ready
6 to go. So I just express that concern and I invite anyone
7 from the agency to respond.

8 ANDREWS: Yeah, this is Bob Andrews. Let me try to
9 respond a little bit. It is true that some of the testing
10 from corrosion perspective was initially conducted in
11 calcium chloride type brines with varying amounts of
12 nitrate. You'll see some recent data collected over the
13 last six to nine month in sodium chloride type brines and
14 other brines including sulfate--in fact, I don't think
15 we're going to show the sulfate data this afternoon. You
16 saw some sulfate data yesterday from NRC. So the testing,
17 types of environments tested, the range of temperatures and
18 range of chemistries has evolved in continuing testing of a
19 range of environments.

20 However, I think the point we're trying to make,
21 especially in Carl's talk, is the Board put some pieces of
22 information together based on the presentations last May
23 that were in fact in correct. That although we do observe
24 calcium and we do observe chloride, we don't observe
25 calcium chloride in the dusts, in the salts, present at

1 Yucca Mountain. There's no evidence for that. In fact,
2 even if it were present somewhere in the southwest, and
3 there have been sporadic, I think as Carl pointed out,
4 observances of calcium chloride dusts in the High Sierras,
5 I believe. They are not stable.

6 So, for those two reasons alone, let alone going
7 to the volatilization at higher temperatures, the Board's
8 premise in their November 25th report is not correct. You
9 know, we apologize for the Board having come to that
10 conclusion, but it was based on information, I guess the
11 Board put together and the fact that we did not, as I said
12 in my introduction, talk specifically about what were in
13 those salts when we presented the information last May.
14 That is recent information. You're absolutely correct.
15 So, yeah, you're right. The Board had some inferences
16 derived from some information, not the complete story, and
17 we're trying to provide that complete story today.

18 ARTHUR: Also, John Arthur, Department of Energy, and
19 I must respond also. I think if anything, many of the
20 comments which you suggested are made by previous boards,
21 but if anything, I think we try to be responsive to the
22 letter and present our case today which is many of us tried
23 to do. As far as the issue raised about designs
24 (inaudible) we've been continuing to (inaudible) of this
25 design and I feel it is optimized now. I feel that a self-

1 service (inaudible) presented yesterday. We're making very
2 good progress and we have something (inaudible) to the
3 Regulatory Commission. And the ball is in our Court, so I
4 (inaudible) come up with --set of science today.

5 PAYER: All right, Joe Payer. (Inaudible) the other
6 end of that and that is the corrosion strategy throughout
7 the years as somebody who has been involved in peer panels
8 a little bit, DOE has worked in this area over a number of
9 years. And over the last year and a half, had the charge
10 from the director to look at the corrosion program strategy
11 and the way it's laid out. A basic foundation of that
12 strategy is to identify the types of environments that may
13 pertain at Yucca Mountain and those that won't pertain at
14 Yucca Mountain. And that has been the focus of Carl's
15 first talk here, and we'll continue after lunch.

16 The other basic premise is to identify the
17 corrosion behavior of Alloy 22 in a range of environments
18 so you're trying to match the realistic environments to the
19 realistic corrosion behavior, and you want to go beyond
20 that. The project has chosen not to go as far beyond that
21 as the State of Nevada into boiling barite chloride and
22 some other elements that we believe just don't need to be
23 tested, but you know, to look at the calcium chloride
24 environments is very relevant because some of you have
25 asked and others as well, well, maybe we don't believe, or

1 what if something happens where both--what would happen if
2 Alloy 22 was exposed to these environments? That's why
3 we're doing the tests, and we'll talk about that later this
4 afternoon.

5 So, the other part of it is that Carl's talk here
6 is talk when the thermal barrier is still in place and this
7 afternoon he'll talk about when we can have dripping and
8 seepage conditions. And that's a whole different ball game
9 at that point. And so, the corrosion becomes more of an
10 issue, we believe, in that case.

11 SHETTEL: Don Shettel from the State of Nevada. I
12 have several comments. I had a comment on the drip shield,
13 but I think I can drop that now.

14 Sepiolite, we would agree that in certain
15 environments, certainly you can get magnesium removal, such
16 as seawater running through Ocean Ridge, the salts. But
17 the environment at Yucca Mountain is totally different.

18 Regarding HCL, this also has something to do with
19 the drip shield. But if you recall one of my last slides
20 where I had the C-22 in the boiling HCL, and we got the
21 part that was exposed above the liquid was almost totally
22 gone. Now, I believe if the HCL is being--is reacting with
23 the C-22, we're not talking about diffusing way off into
24 wall rots. It's reacting right next to where it's boiling
25 and that's the chemical sink for it, doesn't have to

1 diffuse away from the canister, and doesn't require cooler
2 temperatures or anything else.

3 Regarding the comments on the Catholic University
4 experiments, I think Dr. Staley covered the similarities
5 there between the experiments and the drift. I also want
6 to say that we don't have to concentrate these waters
7 before they hit the drift. I mean the canisters. They
8 have experimented. We started out, certainly, with
9 concentrated experiments and some other things like lead,
10 but recent experiments were very, starting with very low
11 and essentially 1X pore water. It is possible to get
12 corrosion with just 1X pore water, so these large
13 quantities of water that you're referring to are not
14 necessarily required. And, I think one of the main
15 differences between what you're talking about, which is
16 deliquescence of dust without any addition of seepage water
17 and what we're considering, which is the possibility of
18 getting seepage water through the so-called vaporization
19 barrier during the thermal pulse is very likely because you
20 have episodic flow of water and pulse in fractures and
21 therefore it is a possibility. We're not saying that
22 everywhere you get this, unlike what you are saying that
23 everywhere you have very dilutant benign waters.

24 I think that's all unless you want to make a comment.

25 STEEFEL: Let's see what would be--oh, the one on

1 sepiolite, I don't have much to say there. I mean at Mid-
2 Ocean Ridge at Marvin was just thrown out as an example,
3 but it's actually precipitation of magnesium silicate he
4 has observed in the--

5 SHETTEL: Oh, yeah, yeah. I want to comment on that.
6 The precipitation of magnesium and other clays, for
7 instance, require aluminum and you really don't have much
8 of that in the unsaturated zone pore water that's at other
9 repository levels. So without aluminum, you really are
10 quite limited in magnesium removal methods there.

11 STEEFEL: Yeah, that's required in the--but I am still
12 not convinced that there's no sepiolite developed because
13 if you've got aluminum that's presumably why, one of the
14 reasons why sepiolite didn't form. Just simply you had a
15 more stable magnesium clay you could form with an abundance
16 of aluminum present in solution. So--

17 SHETTEL: It still has to be shown experimentally
18 other than just modeling that you can get such a phase.

19 STEEFEL: If it's observed in other, you know, I've
20 seen it--I haven't done a thorough literature search, but
21 I'm certainly seen it in the opalinus clay experiments
22 where sepiolite was identified via x-ray. Now, that's a
23 hyper alkaline.

24 SHETTEL: I was going to say, how relevant is that to
25 Yucca Mountain?

1 STEEFEL: It might be and might not be. But you're
2 saying that it has never been observed, so-- And what was
3 your second thing?

4 SHETTEL: Also, Gdowski, you did find some magnesium
5 smectite in his experiments.

6 STEEFEL: Well, that's similar to the magnesium clay
7 that's found by Carroll and Gdowski.

8 SHETTEL: That was an experiment that had tuff added
9 to it. We're talking about the evaporation of pore water--

10 DUQUETTE: I'm going to have to--you know, if we're
11 going to have any lunch at all, I have to stop this
12 discussion. Now, there will be more time for discussion
13 later on. I'm going to take two quick questions, one from
14 my colleague, Dr. Latanision and the other from Carl
15 DiBella.

16 LATANISION: Carl, you want to go first? Go ahead.

17 DIBELLA: Could I have your conclusion slide again?
18 And I'm going to try to be very quick. You had two
19 conclusion slides. This is Carl Dibella, Board Staff.
20 And maybe the second one first and I'm going to try to work
21 backwards, very quickly through them. It's like No. 42 or
22 43. No, it wasn't that. Okay, let's do the next one,
23 we'll just work backwards. Can I have the next slide,
24 please, 49. I'm going to work backwards.

25 The mass of H₂O taken up in the salts is very

1 small. I think everyone knows this. I would hope maybe
2 when Joe talks this can be translated into, if there is
3 corrosion, how many holes or what's the size of the holes
4 or how deep are the holes or something of that sort, what's
5 the relevance of that? We tried to, at least I tried to,
6 think of what is the lower limit of corrosive material that
7 would not be of concern, and I don't know what it is, but
8 maybe the project does. So maybe Joe can do that.

9 Working backwards, this conclusion is, a
10 conclusion I think is we can all agree with. But it's for
11 a very different system than the system that the Board was
12 concerned about and it's paper. The system the Board was
13 concerned about was the calcium magnesium chloride
14 deliquescence. This is sodium, potassium chloride, nitrate
15 deliquescence that is simply another issue. And
16 furthermore, as you showed, the sodium nitrate has a much
17 lower deliquescence point than sodium chloride and so its
18 behavior is nothing like the calcium chloride, calcium
19 nitrate, magnesium chloride, magnesium nitrate systems. So
20 I don't see the relevance of that conclusion to the Board's
21 paper of last Fall.

22 Could we move backwards again? One slide
23 backwards, 48. Condensation, scavenging of acid gases
24 absolutely will take place in the coolest parts of the
25 drift, not the waste packages. But that's not an issue

1 that the Board brought up in its paper. We are not
2 suggesting that the acid gas reacts with the paper, with
3 the package in the paper. We're suggesting that the acid
4 gas needs to be removed in order for--if the acid gas is
5 not removed the calcium chloride stays where. That's
6 simple thermodynamics. And, if the calcium chloride stays
7 there, the project has shown us data that there is
8 corrosion. So the question is does it stay there? The
9 data shown to the Board which we put up yesterday with a
10 thermogravimetric experience, experiments, where the
11 hydrogen chloride was swept away by the movement of gas
12 through the system. And therefore, it had to be
13 continually replenished by decomposition of calcium
14 chloride. If it's not swept away, of course, the calcium
15 chloride stays there. So the question in the Board's paper
16 was, please show us how the system, the condition in the
17 hydro--thermogravimetric apparatus are the same as the
18 conditions in the repository?

19 STEEFEL: Another aspect of the thermogravimetric
20 apparatus is that it was actually operated in a relative
21 humidity above the deliquescence relative humidity so it
22 was forcing the reaction to the right with that point of
23 view also, so there may well be an explanation. But we
24 haven't received it to date. The acid gas will disperse.
25 There's no question.

1 DIBELLA: The question is how fast does that happen?
2 If we're going to disperse by the convective forces in the
3 repository, how do they relate to the thermogravimetric
4 apparatus, number one. They are going to disperse by plain
5 old ordinary diffusion. How fast is that going to be? If
6 it's very rapid, fine, if it's not rapid, we might have a
7 problem.

8 STEEFEL: I'm not sure I didn't show that. That was
9 the point of those simulations obviously. Those were
10 preliminary in nature, but they basically showed the
11 dispersal of that HCL gas in the drift environment using
12 the model that's been used to describe gas migration,
13 obviously focused on CO2 in the mountain and in all the
14 drift scale tests. So if it, you know, I didn't present a
15 detailed one-for-one table, but there's certainly some
16 presentation of the transport of HCL away from that waste
17 package.

18 DiBELLA: That kind of thing was fine. I think it was
19 120 degrees and--but that sort of simulation is a very good
20 idea and I did notice that the time frame for dispersion
21 was much higher, much more time is required than the
22 gravimetric experiments. It only took like 20 hours.

23 Let's see, Point No. 2, the rapidly transformed
24 and non-deliquescent phases, do they--yes, they are
25 unstable, but again you have to remove the HCL where they

1 become stable. And, how fast does the HCL move is a real
2 question.

3 Now I get to your first point which was are the
4 salts there in the first place? And I certainly think if
5 they are not there, we don't have an issue. And so it's
6 very worthwhile looking at this, but the technique you're
7 using of dissolving the salts and then re-evaporating them
8 assumes equilibrium of the salts, and one has to say, why
9 equilibrium is a good assumption. And I could make an
10 argument for why it might be a good assumption. If those
11 salts had been exposed to a lot of rainfall before they
12 came into the repository, fine, but you didn't make that
13 argument.

14 STEEFEL: And that's--can I make a comment? That's
15 where in that switching skipped over that slide. Can I go
16 to about slide 24?

17 DeBILLA; It is 24 and you very specifically mentioned
18 disequilibrium as being a possibility.

19 STEEFEL: Yeah, so that--no, I skipped over this. The
20 point here was that, yes, you could have, if these things
21 blew in from somewhere, they would initially be expected to
22 be a mechanical mixture with no aqueous phase there. The
23 argument here is that, as soon as initial deliquescence
24 occurs, you're basically going to expect to get a
25 transformation, for example, via some reaction like this

1 one, calcium chloride plus the sodium sulfate goes to a
2 more stable phase. The experiments that have been done so
3 far indicate quite rapid action time so there doesn't seem
4 to be a huge kinetic barrier. And secondly, the reaction
5 products have a higher deliquescence RH and that's what
6 causes them to dry out. But this is the argument, the
7 secondary argument has to do with transport from any
8 particular site or--

9 DIBELLA: That didn't seem to be one of your
10 conclusions, but nevertheless, we're probably--the
11 thermodynamics, I absolutely agree with. But the--we're
12 dealing with solution of calcium chloride, more like
13 calcium chloride in other stuff that is completely
14 saturated thermodynamically. How is that reaction going
15 to, all those things going to get together for that
16 reaction to take place? If they do get together I agree
17 the reaction will take place. And, you need to explain
18 that.

19 Now, one last thing and that is that we didn't
20 have the data, although the data were available, we didn't
21 have the data on the composition. Well, the data weren't
22 available. This is new data for me on the composition of
23 the salts. But we did have one key piece of data and that
24 is this experiment that was done largely in our laboratory
25 on pore water. It was a synthetic pore water, but it was

1 based on measured pore water where they evaporated it, not
2 in the presents of tuff, and came up with tachyhidrite.
3 Yes. That's a calcium, magnesium, chloride salt. That is
4 very worrisome. You can't--you didn't mention that piece
5 of data. Is it raw? Is that maybe only one percent of the
6 pore water, did they not put the synthetic pore water
7 together correctly? I don't know what the answer might be,
8 but if that--that's a piece of data that just can't be
9 important.

10 STEEFEL: Well, that was evaporation experiments of
11 the subject of the second talk, but maybe--Greg, can you
12 comment on--

13 GDOWSKI: Eric has a comment.

14 SONNENTHAL: Eric Sonnenthal, Lawrence Berkeley Lab.
15 I think that one pore water that Rosenberg et al paper used
16 was not an actual pore water composition. There were
17 several values in that report, and that happened to be just
18 a hypothetical case. So more in the middle of the report.
19 It's unlike other compositions.

20 DiBELLA: It was based on measured pore water.
21 Absolutely. Now, whether it was based properly on measured
22 pore water--

23 STEEFEL: My understanding was that it was something
24 of a synthetic pore water, but that there were some general
25 samples, not from the repository horizon, but above the

1 repository horizon that had that general signature. I don't
2 remember exactly what, for example, silica concentration
3 they used there. It's still--there's still a question,
4 given such, you know, evaporation experiment that you can
5 often form transient phases that may not be applicable over
6 the somewhat longer time frame of interest in terms of
7 corrosion. I mean that's the argument. Any time you apply
8 an equilibrium analysis, it assumes some time frame and so
9 the question is is that evaporation experiment the same as
10 the relevant time frame within the drift environment, which
11 normally I would expect to be longer. So, that would be my
12 main point about that.

13 PYE: Pye, Board staff. It's our recommendation of
14 the Board--excuse me the project showed that in the in-
15 drift environment the drip shield and the invert coupled
16 very closely. Indicia cited for condensation under the
17 drip shield was the drip shield was cooler than the invert
18 and that condition seemed to be fairly prevalent. I guess
19 my question is, since I've looked at slide 38, the other
20 piece of the EBS that's missing is the invert. So my
21 question is, what recent assessments have been made to
22 assess the potential floor condensation in the in-drift
23 environment on the wall, on the drip shield and the waste
24 package and is there an AMR you could direct us to?

25 STEEFEL: I can't do that, but maybe Eric can.

1 SONNENTHAL: Eric Sonnenthal, LBL. Regarding the
2 first part of your question, we're plotting here the PH in
3 the water phase. There actually is an invert in this
4 model. But it's--you can actually see part of it is wet,
5 down below. I think I have to leave the second part of the
6 question--I'll take that--

7 ANDREWS: Yeah, John, this is Bob Andrews, BSC. There
8 are three AMRs in fact that hit various elements of
9 condensation and convection in the drift. One specifically
10 is devoted totally to that subject called In-Drift
11 Convection and Condensation Model and Analyses. Two other
12 AMRs hit on it. The Thermal Seepage AMR and the
13 Thermalhydrology AMR discuss the concepts of lateral flow
14 and invection down the drift, but the actual results being
15 used are from the first one I mentioned. In-Drift
16 Convection and Condensation Model. As I said at the very
17 beginning, we didn't think we had adequate time today to go
18 into the details in the in-drift convection and
19 condensation. It is being included in the total system
20 performance assessment, and we'll be happy to talk about
21 that next time.

22 DUQUETTE: I'm going to cut the meeting off here since
23 we're well into the lunch hour. Let's convene in exactly
24 an hour.

25 (Whereupon, the luncheon recess was taken.)

1

2

3

4 A F T E R N O O N S E S S I O N

5 LATANISION: Let's take our seats, please. We have a
6 pretty full afternoon, and so if everyone could be seated.

7 When we began yesterday, I made the comment that I
8 had as a personal goal providing an opportunity for a full
9 and objective hearing of the concerns that the Board had
10 expressed regarding the Project's corrosion studies. And I
11 want to thank everybody who's been a part of the
12 conversations over this past day from the State of Nevada,
13 from EPRI, from the NRC. I think--and, of course, from the
14 Project. I think we've had that kind of conversation. I'm
15 really very pleased by that. So, I do want to thank everyone
16 for the spirit in which we've had these conversations during
17 the past day. And I hope that we'll continue this afternoon.

18 We have two speakers. We'll continue with Carl
19 Steefel who will talk about thermal chemistry and evaporative
20 concentration evolution, and then we'll hear from Joe Payer.
21 Carl?

22 STEEFEL: So, hopefully this talk will be a natural
23 follow-on to the preceding one. We might even revisit some
24 of these issues. But, as I say, as I said in the beginning,
25 I think there's a natural division between some of the issues

1 during the below-boiling period and the above-boiling period.

2 Can we get the next slide, please?

3 The acknowledgements here, a similar cast of
4 characters with talk preparation by Dave Sassani, Nic
5 Spycher; the pore waters, Zell Peterman and Nic Spycher at
6 Berkeley Lab; in-drift chemical environment, the same cast we
7 had earlier; and then at least some discussion of the THC
8 evolution where Nic Spycher and Eric Sonnenthal gave me some
9 help. I don't know if Eric is still here. He had to--well,
10 we'll see. If we could get the next slide?

11 I want to start with some of the Board's comments
12 on seepage chemistry that provides some motivation partly for
13 what I'm going to talk about. They said the DOE's analyses
14 of water chemistries and their corrosive potential are
15 extremely complex and suffer from empirical and theoretical
16 weaknesses. Thus, the Board does not have a high degree of
17 confidence in DOE's conclusion that any seepage water would
18 be dilute or noncorrosive. This is from the Executive
19 Summary.

20 And in response to the Board, we are presenting
21 here an overview of the processes affecting seepage water and
22 evaporated brine chemistry and provide a high-level
23 description of how these processes are addressed. I don't
24 think I'm going to be able to explain everything of what's
25 done there, but hopefully enough to get people started so if

1 they want to pursue the issues, they can actually go to the
2 individual technical documents. Next slide, please.

3 And so, as an overview, a brief definition of the
4 below-boiling period. What processes then we want to
5 consider, what processes affect the chemistry of solutions
6 that could contact the waste package, and what are the sum
7 total of processes? One of these is what the natural
8 variability of ambient pore fluid compositions is and how
9 will this variability affect in-drift chemistry. And another
10 important question to be considered, how does the thermal-
11 hydrologic-chemical evolution, we call that the THC
12 evolution, affect the composition of potential seepage water?
13 And, lastly and importantly, how does evaporation in the
14 drift affect the chemistry of solutions that could contact
15 the waste package?

16 And then we want to kind of, at least, make a
17 preliminary attempt at rolling all this up and say something
18 about then how this chemistry, which we're going to be
19 talking about here, is coupled to the Time-Temperature-RH
20 histories of the emplacement drift. So, we start to get an
21 image then of how chemistry seen by a particular waste
22 package evolves through time and have some conclusions at the
23 end. Next slide, please.

24 And, of course, the purpose here in evaluating the
25 chemical evolution of fluids is that aqueous solution types

1 affect Alloy 22 waste package corrosion differently. This is
2 a kind of bubble diagram you might have seen before with
3 decreasing RH, increasing evaporation this direction. You
4 start with some kind of dilute water, obviously, and
5 depending on what kind of reactions take place, concentration
6 mechanisms, you can form different kinds of brines. And, of
7 course, these brines will have very different affects on the
8 corrosion of the waste package. So, that's why we need to
9 look at this issue. Next slide.

10 Before I go on, though, I want to make one point
11 about in which cases will the chemistry of seepage water be
12 relevant. This is really a perspective slide here. Say the
13 chemistry's really only going to be relevant when seepage can
14 occur. Seepage can only occur when the drip shield fails.
15 And even in the absence of a drip shield, seepage can only
16 occur in a limited number of waste packages because of the
17 efficiency of the capillary barrier. The point here is, if
18 you let a geochemist get up and talk about geochemistry,
19 they'll talk until the cows come home, but we have need to
20 keep this kind of thing in perspective that we're talking
21 about various scenarios that may, in fact, either not come
22 into play at all or only come into play in a limited set of
23 conditions.

24 And so back to this slide here now, the definition
25 of below-boiling period, now we're looking at the period

1 where boiling at the drift wall ends somewhere around, for an
2 average waste package, 750 years or so. How far out here you
3 take it depends on your point of view. Joe Payer is going to
4 be showing some evidence in the next talk that really below
5 about 90 degrees Centigrade, corrosion is not a significant
6 issue. So you can--if you chose that, then really the window
7 that we're looking at here is somewhat narrower. But,
8 obviously, it corresponds to this kind of period where the RH
9 now is going from about 65 percent, in this case, close to--
10 yeah, about 65 percent up to as much as about 80 to 90
11 percent. So that's the temperature RH window that we're
12 going to be looking at during this period. Next slide,
13 please.

14 And so the processes that affect chemistry of the
15 solutions in drift environment include the initial pore water
16 chemistry and also the thermal-hydrologic-chemical processes
17 in the rock. I want to make this point, hopefully, quite
18 clearly in the presentation that it's not necessarily a
19 simple evaporation of pore water chemistry. There's
20 modifications to the water that we can document through these
21 THC processes, and they have to be considered. And then,
22 finally, the evaporative processes inside the drift. Next
23 slide. And so to start with, let's look at the variability
24 of pore water chemistry. Next slide.

25 What is the natural variability? Well, we've--we,

1 I say the Project, has collected samples of pore fluids,
2 collected and analyzed them from all potential repository
3 units now. I'll be showing you some new data. I don't know
4 if I know every last data point of what's new and what you
5 might have seen before. I know at least some of it. But
6 these pore waters show a substantial range of major cation
7 proportions, especially calcium, sodium, and important
8 anions, chloride, nitrate, sulfate, and carbonate. So,
9 there's definitely a range involved here. But observe, for
10 example, is that calcium generally becomes less abundant with
11 depth due to calcite precipitation and, to a lesser extent,
12 ion exchange with sodium. There is a depth trend there.

13 Nitrate/chloride ratios, which are of course
14 important for metal corrosion, are quite variable here. So,
15 what we want to do is take those natural pore water
16 compositions, basically use them--I'm starting to talk about
17 some of the procedure here--use them as boundary/initial
18 conditions for the THC simulations such that they span the
19 range of the entire ambient system. Next slide.

20 And this is one of these ternary diagrams,
21 quadrilateral diagrams, that you've probably seen quite a bit
22 of here. If you focus on the cations, this actually
23 represents all the pore water samples from the actual
24 repository horizons; the upper lith, the middle non-lith, the
25 lower lith, and the lower non-lith. Color coded and, this

1 way, you can see focusing, for example, on the cations that
2 you get the middle non-lith and the upper lith clustered
3 quite nicely but still showing some evidence for a distinct
4 trend in terms of exchange with sodium such that when you get
5 to the lower stratigraphic horizons, the lower lith, we've
6 actually got significantly higher sodium in the pore waters
7 and then even some samples from the lower non-lith that fall
8 down here with essentially no magnesium in there at all. So,
9 there is some evidence here of a trend to this, this sort of
10 --this array of calcium and sodium numbers. Here, also,
11 trends in terms of bicarbonate versus chloride, which is the
12 dominate cation.

13 Now here, up here, portrayed as the same data, of
14 course, projected onto this quadrilateral, this is where
15 we've shown the compositions that are actually chosen for THC
16 model input; chosen hopefully such that they span the range,
17 encompass the range of variability observed in the natural
18 system. We can see one of our samples. W-0 quite closely
19 approximates some HD perm waters that were collected in the
20 past.

21 Some of these waters here in the middle non-lith
22 are actually new analyses. I don't think all of them are,
23 but some of these are new. They actually cluster quite
24 nicely here and define this set of samples as a bona fide
25 type of water within the mountain there, but we've also

1 selected compositions that cover the remainder of the range.
2 About the only part of the range we haven't covered
3 significantly here are some of these yellow samples from the
4 lower non-lith. I should point out those are about three
5 percent of the repository, so they're not all that
6 significant. They're close, pretty close, to underneath the
7 repository. The rest of these are not underneath it.
8 They're well within the repository horizons. But you can
9 see, in fact, those are sodium-rich analyses.

10 One of the points about this, in fact, is that
11 these new samples which cluster quite nicely here--in fact,
12 it's not shown on this diagram, the nitrate numbers--but, in
13 fact, a lot of these or all of these new analyses have quite
14 a high nitrate with very consistent values ranging between
15 about 35 and 44 ppm. So, whether that suggests that, in
16 fact, most of these higher chloride values should have higher
17 nitrate, we still haven't established that. That shows up in
18 the next slide.

19 As I said, quite a variable range here of
20 nitrate/chloride ratios, but some of those I was referring to
21 in the blue actually cluster quite nicely with significantly
22 higher nitrate values even though their chloride is high
23 there. So this is a natural variability in nitrate chloride
24 along with all those other chemistry that we want to take and
25 propagate through the natural system.

1 Now, this does bring up the issue of whether
2 nitrate could be reduced or degraded in the natural system.
3 I think it's possible that some of these reactions might
4 occur at higher temperature as long as there's not complete
5 dry-out. But the question is, we don't see any reason why
6 there should be more nitrate degradation, microbial
7 reduction, at higher temperature than we basically--than we
8 observe now in the ambient system. In other words, I think
9 the ambient system is probably capturing whatever degradation
10 is going on there.

11 It should be pointed out in general that the
12 nitrate reduction is not going to be favored in this kind of
13 environment because of the presence of abundance oxygen.
14 Basically, any electron donors of which organic carbon would
15 be normally the most important are going to follow aerobic
16 respiration as a preferred pathway. They're going to use
17 oxygen. It's really usually only nitrate reduction is
18 observed when you get a depletion of oxygen as occurs, for
19 example, in organic-rich sediments or some environment like
20 that. So, it doesn't seem to be a significant issue beyond
21 what sort of levels we're observing today. Next slide.

22 So now we'll look at the effect of THC processes on
23 seepage chemistry. Next slide.

24 The purpose here is looking specifically at
25 fracture fluids because they're the ones that can seep,

1 potentially seep, into the drifts. The pore water chemistry
2 are actually only indirectly relevant because it's not
3 necessarily driven out of those pores. Purpose is basically
4 to propagate that range of ambient pore water compositions
5 through the THC processes to determine the chemistry of
6 potential seepage. So, again, rather than evaporating
7 directly, we're processing those pore waters through the THC
8 system.

9 Conceptual approach: Capture coupled effects of
10 solution-mineral-gas reaction, gas-liquid transport, and heat
11 transport in the mountain. And we validate it. I keep
12 saying we, I didn't do much of this myself, but this is the
13 royal "we." The validation is principally through the drift-
14 scale test, and I can show you a little bit of that again,
15 but also laboratory experiments. Next slide.

16 And the conceptual model for THC is, of course,
17 this is mostly the period above-boiling, but that affects to
18 some extent what we see later on. You get a boiling zone
19 with CO₂ evolving along with a water vapor, recondensation of
20 that water in the CO₂ above, so you get a CO₂ depleted zone.
21 Of course, the boiling does lead to a zone of active silica
22 precipitation, a certain amount of calcite precipitation, and
23 very small amounts of salts are dumped out, much of it
24 actually in the pores in the matrix, the rock matrix, where
25 it's not readily accessible, but a certain amount does get

1 formed in the fractures.

2 The key limit, as Bo was discussing earlier, is
3 that you've got a fairly dilute fluid and your boiling front
4 doesn't sit there refluxing. It basically moves back out.
5 So, the amount of salt that you can dump out there is
6 basically whatever is present initially in the water, which
7 is quite a small amount, minus what's being left actually in
8 the rock matrix. So, the concentrations of salts are
9 somewhat limited. But this is a kind of conceptual model,
10 and so what we're going to do is look specifically at the
11 period where the THC now has tracked the wetting front, or we
12 call it the rewetting front, as it comes down to the drift
13 wall where seepage now has a chance of occurring, and see
14 what kind of compositions emerge from that.

15 For that I'd--next slide--look at some of the
16 validation experiments. You've seen this one before, the
17 drift-scale test, which heated for four years to 200 degrees
18 in the drift environment and now over two years of cool down;
19 a lot of geophysical characterization and hydrologic, but
20 also a certain amount of chemistry I'll be showing. You can
21 see this looks like a pin cushion here. And in the next
22 slide, I'll show you some of the results.

23 So, this has been used as it's used for thermal
24 hydrologic validation, also for chemical validation, focused
25 mainly here just because the limits of time on the CO₂, but

1 it shows some aqueous chemistry. This, for example, shows a
2 modeling of the CO₂ around the drift-scale test. And we can
3 see actually in the orange-ish colors a depletion zone I
4 mentioned earlier. And then when you get out to this region
5 which would--blue here--correspond to the condensation zone
6 is an enrichment in the CO₂. So, you get this kind of trend
7 developed.

8 This is captured quite well in the modeling shown
9 in blue here versus actual data points. This is CO₂ versus
10 test duration. So, you can see a good--do a good job of
11 capturing the evolution of these acid gases as they move out
12 from the boiling front. And this is partly why we were
13 saying in the earlier talk that of all the aspects, I think--
14 Eric could correct me if he disagrees with it--but I think of
15 all the aspects of the chemical portion of the DST that's
16 been validated, probably the gas chemistry has been done the
17 best. So, when we make comments, I think, about what acid
18 gases are going to do, it's based at least on some modeling
19 and some reality as captured in this test.

20 In addition, though, we do have samples of waters
21 here showing calcium starting at about 100 ppm, and this is
22 primarily the results of dilution in this condensation zone
23 here. This was touched on a little bit by Bo as well. So,
24 we are getting dilution in addition to some reactions going
25 on. Next slide.

1 We also have validation in the form of laboratory
2 experiments. Here is a two-part laboratory experiment
3 starting with distilled water with a fixed PCO_2 in the
4 column, pumped through a tough column of pressed-tuff to
5 measure effluent chemistry and try and match that effluent
6 chemistry and make sure you know what you're doing with that
7 part of the stage. And then the second part is, basically,
8 take what's come out of that column, put it in a reservoir,
9 and pump it through this fracture system with a temperature
10 gradient from 80 to 130 degrees such that you're going to get
11 a sub-boiling region, a boiling region, and a super-heated
12 region. So, that's this fluid coming through there. This is
13 the kind of results you actually see. Here, a slab showing
14 from 80 to 120 degrees. You can see right about 100 degrees
15 the appearance of this silica precipitation front as the
16 water gets boiled away and you re-precipitate these.
17 Amorphous silica is the major phase there. Next slide.

18 And that's captured pretty well in the modeling
19 here. The effluent chemistry is captured in the modeling
20 quite well. And, in addition, the modeling captures in
21 general this propagation of the fracture ceiling mechanism,
22 this dumping out of this silica from solution. Next slide.

23 And so really all this validation was to provide
24 some basis for believing what I'm going to show now, which is
25 the THC model predictions, which then provide our potential

1 seepage compositions. So, this is what I'm going to present
2 in terms of conceptual understanding. In fact, it's what--
3 the way it's actually done in the TSPA, just to give you an
4 idea what's being done there. And so what you see now--so
5 we're focusing now, basically, in the crown of the drift.
6 Right above there is a function of time and how that
7 chemistry is predicted to look.

8 You see, for example, focusing on chloride and
9 fractures, that basically we pick up the variation of the
10 natural pore water chemistry reflecting those different water
11 chemistries. This would be that so-called W-0 water that's
12 more chloride-rich. No seepage here, of course, during the
13 boiling phase. That's why it's blank. There would actually,
14 of course, be some evolution, but that's all back up in the
15 rock. And then once boiling stops, we do see the rewetting
16 front appear. We do see a kick in the chloride
17 concentrations, a short-lived kick in the chloride
18 concentration.

19 This basically represents that rewetting front
20 dissolving those salts that were dumped out in the initial
21 portion of the system when the boiling front receded from the
22 drift. So, this is a quite short-lived front basically
23 because of the limitations of the amount of salt that was
24 actually left behind there. And then, basically, hopefully
25 to answer Thure Cerling's question, we then in this case

1 returned quite quickly to the ambient concentrations. Don't
2 look very much different.

3 You see a little bit different story with the more
4 reactive constituents: calcium bicarbonate, which of course
5 is important in terms of this calcite divide. Generally
6 we're well below the divide again except for a short-lived
7 peak during rewetting here and then some gradual rebound to
8 the ambient values.

9 Nitrate chloride in this panel here basically
10 showing very little affect, if at all. And these are
11 basically because these constituents behave largely
12 conservatively in the overall system. In other words, when
13 you get enough water to actually rewet and seep the system,
14 you've already got enough water to dilute the system and
15 dissolve all the halite and dissolve all the nitrate
16 minerals. If you were ever down at the period where you got
17 just the nitrate minerals in solution, the volume of water
18 would be so minuscule you'd never drive flow there.

19 The CO₂ in the fracture is showing and, of course,
20 evolution that's continuous through time, the depleted zone
21 during boiling, and then the rebound once the rewetting comes
22 back up. So, again, these are feeds to the evaporative in-
23 drift chemical models that we're going to look at now next.
24 Next slide.

25 In-drift chemical processes. So what processes are

1 important there? Temperature difference probably is the key
2 one between the drift wall and the waste package because it
3 creates a gradient in the RH. Where seepage occurs,
4 basically the drift wall, RH is about 100 percent, but then
5 these drips move to lower RH inside the drift environment
6 driving evaporation and concentration of the seepage water.
7 And how that initial solution composition along with a
8 temperature and RH will determine the actual reaction path
9 that this solution follows once it starts evaporating.

10 It's important to point out that concentration of
11 fluids not only leads to simple concentration, conservative
12 concentration of constituents, it eventually leads in most
13 cases to mineral precipitation and thereby depletion of
14 solution in components. So it's not very easy, for example,
15 to develop extremely high fluoride concentrations in a system
16 which has a natural water that has calcium simply because you
17 supersaturate with respect to fluoride, and you start pulling
18 that fluoride out of solution. So, both of these processes
19 are going on. Next slide.

20 And what we're basically building into this in-
21 drift evaporative model, this is just a schematic of it. In
22 fact, it's basically EQ3Q6 calculating all of the system
23 including the activity of water as a function of temperature
24 and relative humidity, that is the activity of water. But
25 built into this is the kind of thing that's shown here, that

1 the reaction path is governed by this kind of chemical divide
2 theory where you start with a dilute water and, for example,
3 a mineral precipitates. These don't all concentrate equally.
4 You pull these constituents out of solution.

5 In one case, for example, a carbonate less in
6 calcium, you could develop a sodium calcium brine in this, a
7 chloride brine in this way. Or if you've got carbonate in
8 excess of calcium, generally you deplete the system of
9 calcium right away, and you end up with basically a sodium
10 chloride system with mostly carbonate, excess carbonate, in
11 solution. But this kind of process that we call the chemical
12 divide process is captured in those geochemical models, but
13 is done with all the minerals that could form in the system.
14 Next slide.

15 And so our approach here to evaluating the chemical
16 evolution is really a two-part one. It includes experimental
17 investigations with detail evaporation studies of solutions,
18 literature data on salt solubilities and deliquescence, and
19 also heterogeneous studies of multi-phase salt systems. I
20 think both these bullets all involve new data that the Board
21 hasn't seen. You can correct me if I'm wrong. And combined
22 with that, it's not called new data, but some of it is quite
23 new. We also have new modeling that involves an updated
24 thermochemical model, EQ3Q6, that's adapted from multi-
25 component salt-brine systems. It has a state of the art

1 Pitzer database to deal with activity corrections at high
2 ionic strength. And we're going to be showing at least some
3 comparisons between the model and the data just to show that
4 we're on the right track, that there's some validation. Next
5 slide.

6 One of the--so this is the section on experimental
7 studies. I'll just review this, hopefully, briefly. Next
8 slide shows one of the apparatuses. This is basically a
9 series of follow-on experiments to what Rosenberg had all did
10 a few years ago. The key difference, from my understanding,
11 is that there's a much better control on the gas chemistry
12 over the top of the evaporating solution. This was a little
13 bit hazy in the earlier one. So very careful gas and RH
14 control along with the ability to sample the gas chemistry.
15 Next slide.

16 And so this shows some of the results for a
17 sulfate-type water and a carbonate-type water. You can see
18 the model results are the lines, whereas the data are
19 actually these points here. You can see models of a fairly
20 simple one here, potassium nitrate going up conservatively.
21 There's no precipitation even though you've come up to a
22 concentration factor greater than 1,000. However, in the
23 case of sodium chloride, you can see once we get up to this
24 point that the chloride and the sodium level off. We
25 basically started precipitating sodium chloride there,

1 captured calcium and sulfate, as well.

2 Magnesium, we never really get up to very high
3 concentrations of magnesium. Basically, millimolar level,
4 there's just tens of millimolar, but we're picking up at
5 least a little bit of a decline, it looks like, in magnesium
6 here. One of these experiments was the one we mentioned that
7 actually they found magnesium--this may have been later in
8 the series--found magnesium sheet silicate developing in
9 solution. Here's some of the modeling results comparing
10 carbonate waters. So these are new data that are meant to
11 corroborate, validate the validation, to corroborate the
12 modeling that's being done here. Next slide.

13 Here's just a comparison of the model against
14 solubility data from the literature. Literature being
15 basically Chemistry Handbook Solubilities here, 25 and 100
16 degrees, so at temperature range, but also a very significant
17 concentration range. You can see about five orders of
18 magnitude. The model was able to capture those solubilities.
19 Quite importantly, significantly, at 100 degrees doing quite
20 well at even high concentrations of these salts here,
21 clustered around there. So, the model is able to capture
22 this. Also, I'm focusing on individual salts. We can see we
23 capture both the solubility here and the deliquescence RH of
24 the sodium chloride system, magnesium chloride as well,
25 captured quite well except for that minor discrepancy right

1 there. Next slide.

2 And the last experimental component I want to
3 mention is just these. I've already presented at least some
4 results on it. And these reverse deliquescence experiments
5 involve reversal in environmental chambers where the RH and
6 the temperature is controlled. Reversal, basically, involves
7 starting with a solid and raising the RH and letting water
8 absorb and then measuring the chemistry. And then the
9 reverse, of course, evaporating, measuring the chemistry in
10 both cases, monitoring where you are in RH space. Some of
11 those results are shown in the next slide.

12 Two of the results, a sodium-chloride-potassium-
13 nitrate system and sodium-chloride-sodium-nitrate. You can
14 see here, again, the initially solid ones are red, initially
15 dissolved are black. And the Pitzer model, the so-called
16 Yucca Mountain thermal-chemical model, is the lines here. We
17 have some discrepancy here, but we capture the eutectic point
18 quite well in terms of RH and the mole fraction sodium. The
19 potassium you see here would be the deliquescence point for
20 sodium chloride.

21 Similarly in this system here, deliquescence of
22 sodium chloride here, sodium nitrate down here. Some
23 discrepancy between the eutectic point, but really only a few
24 percent in terms of RH, and a few percent in terms of the
25 actual mole fraction of nitrate. So, these are all reversed

1 experiments that demonstrate we're on the right track in
2 terms of the thermochemical model at quite high
3 concentrations. Next slide.

4 So now, that was the validation, basically, the
5 chemistry. Some I want to present, some of the key results,
6 in terms of the in-drift chemistry analyses in the next
7 slide. Just to summarize in advance, the main results that
8 we want to pick out here, is that, first of all, calcium-
9 chloride brines are very unlikely to form during the below-
10 boiling period. And this, basically, because of dilution and
11 mineral reaction associated with THC processes, but also then
12 further reduction of the calcium concentration by
13 evaporation. I'll come back to more discussion of that.

14 Evaporation, the second point, is that evaporation
15 of seepage water leads to very large decreases in fluid mass.
16 This is, again, one of those points in terms of perspective
17 talking about fluxes that you have to keep in mind. We're
18 not talking about big beakers of water or anything like that
19 or oceans floating up in the drift. We're talking about
20 quite small amounts of brine that develop, but I'll try and
21 quantify that.

22 And then finally, I want to look briefly at a time-
23 temperature-RH history for the drift and couple that to the
24 evaporative chemical evolution. This is just one example.
25 In fact, this is kind of a snapshot of what's actually done

1 in the TSPA. Next slide.

2 And so this key point: The calcium chloride
3 seepage brines are unlikely to form during the below-boiling
4 period. In fact, our analysis shows that you can form
5 calcium chloride to some extent in the above-boiling period,
6 but basically up in the rock and also to some extent in the
7 invert where you basically do something more like direct
8 evaporation pore water. But I think a key reason that these
9 brines do not form in our analyses and I think in a reality,
10 as well, is that we need to take into account these THC
11 processes which are acting to reduce the calcium in the
12 potential seepage fluid basically due to a combination of
13 dilution and mineral precipitation.

14 Minerals precipitating in that stage are mostly
15 calcite in fractures, but also a certain amount of
16 stellerite, zeolite in fractures. Both of those minerals are
17 actually observed at Yucca Mountain. But some of that is
18 captured, I think, the dilution especially is captured,
19 again, in showing this Borehole 59 result which shows that
20 you're reducing calcium concentration to these dilution
21 effects that I think Bo was touching on previously. That, of
22 course, becomes the potential seepage water.

23 We get further decrease in calcium and solution due
24 to mineral precipitation. In the drift, especially, the key
25 players that we see are calcite and fluorite evaporation.

1 Basically, it drops the calcium out to nothing. So, from our
2 analyses is that these seepage brines, despite the appearance
3 of some of these chemical divide plots, is that they actually
4 don't form. It's a little bit misleading. And I think it
5 has to do with the fact that those generally consider direct
6 evaporation of pore water, whereas the THC is important in
7 modifying some of these concentrations. Next slide.

8 And the second point I want to make is basically
9 that evaporation vastly reduces the fluid mass. Perhaps
10 that's self-evident, but I think it's still useful to get
11 some perspective here. If you focus now back up in the drift
12 wall, we've got potential seepage water, quite dilute,
13 millimolar level. It's at a 100 percent RH. If this just
14 came in, there'd be no problem; it's benign, it's dilute, but
15 obviously it's going to concentrate. But you need to keep in
16 mind what happens to those potential seepage fluxes. For
17 example, here during the monsoon and glacial transition
18 period, the seepage flux would actually be 1400 and 3100
19 times respectively the width of this bar graph, which then
20 shows flux and kilograms per year per waste package. So,
21 it's somewhere in the 10 to 30 kilogram per year that might
22 actually be sitting up above you.

23 If we were to focus, for example, now on this
24 period, the potential seepage flux, it's still a low
25 probability because of capillary barrier. We're talking

1 basically about one to two kilograms of water in the rock
2 that might seep on us. That's something on the order of this
3 volume of water that's sitting up there in the drift that has
4 a potential to seep over one waste package over the span of a
5 year. However, if you start looking at the volume of
6 evaporated brine that can develop, you need basically a
7 medicine dropper to represent the amount that could contact
8 that waste package over the space of a year. And that's
9 basically what's shown here.

10 Once we get down to this level of evaporation, in
11 terms of the RH, which is going to be the conditions in the
12 drift, that's what's driving it, we're going to get, at the
13 most, seepage fluxes on the order of tens of milliliters per
14 year develop there. So, we're talking about very small
15 amounts of water that actually have the potential to
16 accumulate there. And I think in the next slide that's
17 reinforced with looking at actually what this evaporation
18 does to the fluid flux through time.

19 Here the procedure is basically to calculate the
20 evaporative fluid mass reduction using the actual waste
21 package history through time. And what we see then is that
22 the RH really is the dominant control. Of course, there's
23 some temperature. But it's really the RH that determines the
24 extent of evaporation. And so here's a typical waste package
25 through time. What you'd see is that those seepage fluxes,

1 if we--fluids, if we follow them through time, those are
2 shown through--shown here.

3 This is basically what Bo showed earlier, the mean
4 seepage flux starts quite low at about two kilograms per
5 year. This is just what could seep again. It doesn't mean
6 that we're going to get--all the packages are going to see
7 that. And then we get the monsoonal and then the glacial
8 transition. That translates basically to an evaporated brine
9 flux that's three to four orders of magnitude smaller,
10 somewhere around, as I say, milliliter to tens of milliliters
11 flux rate accumulation potentially on the waste package. One
12 to a hundred grams of brine, basically, per year per waste
13 package.

14 So, I was trying to make the point is that--well,
15 I'll make that better, I think, in the next slide--is that
16 when you follow out this time-temperature-RH history, and
17 here's where we're going to try and wrap it all together, and
18 look at the RH evolution. Of course, that corresponds to a
19 seepage evolution and also an evaporative brine flux, but
20 very small. So you do get obviously concentration of those
21 seepage fluids here in the seepage compositions. I'd say 650
22 years, you've got chloride and nitrate in the millimolar
23 level, quite dilute. You could drink this stuff with the
24 nitrate chloride ratio of something like that.

25 You do get brine compositions then or, basically,

1 much higher chloride at or close to saturation with halite
2 and nitrate somewhat below saturation of any of the nitrate
3 phases. We do get some improvement in the nitrate/chloride
4 ratios due to the fact that a certain amount of chloride
5 actually precipitates out. So this kind of tries to couple
6 the time evolution together. You can see that there's
7 periods where the waste package potentially can see high
8 chloride/nitrate ratios, mostly sodium chloride is going to
9 be--but that's associated with very, very small amounts of
10 fluid actually collected on the waste packages. Next slide.

11 And so to try and wrap it up, this is that slide we
12 showed earlier. Basically here now we're focusing on this
13 period starting with that yellow triangle and on up to say
14 wherever corrosion of the waste package becomes
15 insignificant, but basically considering this part of the
16 trajectory. So, we are spending most of that time in the
17 region where we're not getting a thermodynamic control on the
18 nitrate/chloride ratios. In other words, those brines, if
19 seepage brines do make it through, are going to basically
20 reflect the ambient nitrate/chloride ratios in the ambient
21 system. And a few packages, like the hotter ones, will still
22 see some thermodynamic control, but most of them will not.

23 This is kind of the field that we end up in during
24 this below-boiling period. Eventually we get a high enough
25 RH, the sulfate minerals become soluble, and sulfate becomes

1 another potential inhibiting anion. Next slide.

2 And so in conclusion, although the evolution of the
3 seepage water chemistry is complex, there's no question about
4 that, DOE has developed a scientifically defensible,
5 integrated approach that couples the chemistry to the time-
6 temperature-RH history of the drifts. This approach
7 considers both the natural variability of pore water
8 chemistry, capturing the range observed in the repository
9 horizons, but also modifications to the pore and fracture
10 water chemistry as a result of the THC processes. And then
11 finally links that to the evaporative concentration resulting
12 mineral precipitation where seepage actually occurs. And
13 this approach then is implemented through a combination of
14 experimentation and modeling. Next slide. This should be
15 the last, I believe.

16 Conclusions is that the seepage will not result in
17 calcium chloride brines during the below-boiling period
18 because of the precipitation of calcium mineral phases both
19 during the THC stage in the rock, in other words, and in the
20 drift. In hotter waste packages during the below-boiling
21 period, thermodynamic controls do result in a favorable
22 nitrate/chloride ratio for those hot packages, but most will
23 not really see much of an improvement in those ratios.

24 Evaporated brine fluxes are on the order of 1 to
25 100 milliliters per waste package per year as a maximum,

1 again assuming that the capillary barrier was not operating.
2 And, in fact, that leads me again--we've gone down this long
3 road, I want to make this comment one last time. In the
4 expected case where very little seepage on waste packages
5 occurs due to the effectiveness of drip shields and the
6 capillary barrier, the foregoing discussion on seepage
7 chemistry, is irrelevant. And this is, I think, where the
8 drip shield comes back in and potentially is important in
9 shielding the waste package from some of these solutions.

10 Thank you.

11 LATANISION: Carl, thank you very much. You're right on
12 time. We have about a 20-minute period for questions. Let
13 me actually begin.

14 Now, this is Latanision, Board. Can we turn to
15 number 36? Carl, in your conversation you describe the
16 nitrate-to-chloride ratio as being favorable, and I think in
17 your concluding statement, comment is made as a favorable
18 ratio. But is the issue of it being a favorable ratio based
19 on something other than the tests that were done in
20 magnesium/chloride salts? How do we know it's favorable
21 under these conditions?

22 STEEFEL: Yeah, I should make a few points. One is, I
23 don't know if that was the right choice of word. It was
24 mainly to say that they, at least in this slide, that the
25 nitrate/chloride ratio had improved a bit relative to what's

1 observed in, say, the seepage water which is going to reflect
2 ambient. So, in certain cases because of the precipitation
3 of halite, you get an improvement in that. My understanding
4 that, overall, the issue of nitrate/chloride ratios has been
5 evaluated in the whole series of experiments involving
6 different corrosion tests, but that's going to be what Joe is
7 going to talk about in the next--the next talk.

8 LATANISION: Latanision, Board.

9 Are we on? I'm--you know, I agree. I'm prepared
10 to wait for Joe's comments, but this is an issue in my mind.
11 My recollection is that the data that showed the inhibiting
12 effect of nitrates was based on either magnesium or calcium
13 chloride brines. And I don't know that there's data that
14 shows the--maybe I'm incorrect. Greg looks like he wants to
15 make a comment.

16 GDOWSKI: Greg Gdowski, Lawrence Livermore.

17 Joe Payer will actually show some corrosion studies
18 that were done in sodium and potassium containing solutions
19 of chloride and nitrate.

20 LATANISION: Okay, these must be more recent tests; is
21 that correct?

22 GDOWSKI: Within the last year, yeah.

23 LATANISION: Okay. Then I'll reserve my question until
24 we get to that point. Thank you.

25 Any other questions? Dan Bullen.

1 CERLING: Cerling, Board.

2 Could we go to slide 11? What I'm wondering about
3 in this figure here, that one of the key issues in the
4 chemical divide concept has to do with anions down--the anion
5 triangle down there in the lower right. And I was just
6 wondering, in the middle non-lith, the purple zone, there
7 seems to be two sorts of chemistries that seem to fall out of
8 that zone; the red dots and the green dots all seem to have a
9 pretty uniform composition. Could you or somebody in the
10 Project explain to me why there are two, sort of, clusters of
11 the purple dots?

12 STEEFEL: Probably the best one to answer that would be
13 Eric. I don't know--

14 SONNENTHAL: Eric Sonnenthal, Lawrence Berkeley Lab.

15 I can probably answer part of that. Maybe Zell
16 Peterman can add more because they collected the data.

17 The first set of water HD perm, which was in the
18 upper group collected several years ago, we don't really know
19 if there really are two groups of waters. I don't know if we
20 have enough data to say that the middle non- doesn't span
21 into that other regime. So, I'm not sure if--I mean,
22 obviously, it does look like there are two, but there are
23 also differences in spatial. There's spatial differences,
24 which also result in different depths to the surface and
25 different infiltration rates. We know that the sample

1 collected at HD perm is in the eastern part of the
2 repository, right at the edge, where infiltration rates are
3 lower than in the western part under the--in the main part of
4 the repository.

5 CERLING: I guess. And then I'd actually like you to
6 comment on your backup slides if you could?

7 STEEFEL: Okay, which--which one is that?

8 CERLING: Cerling, Board.

9 Starting with 41, the--your backup slides has some
10 discussions of flow separation which certainly Catholic
11 University has brought up before.

12 STEEFEL: We took these out of here. Yeah, the issue
13 here was we figured we wouldn't focus on this in the main
14 talk just because of lack of time, so I put them in the
15 backup, but the issue there is that it might have a good--
16 probably should have a good conceptual diagram--but that in
17 the last stages of evaporation because the nitrate minerals
18 are more soluble than the chloride minerals, if you've
19 actually got flow on some surface developed, in principle,
20 you could then leave behind the chloride-rich minerals as the
21 solution continues to move down whatever surface is involved
22 there, and that you'd basically get a separation of your
23 nitrate and chloride in solution.

24 Then you would basically leave behind chloride
25 minerals which would now at this low RH, such that--you have

1 to have a low RH or you wouldn't evaporate it to that extent
2 --you'd basically have a non-deliquescent chloride mineral
3 with the nitrate moving on. Perhaps later, as the RH climbs
4 up, you'd then get deliquescence of a more chloride-rich
5 solution there. So this, actually, this process is
6 incorporated into the TSPA, that to some extent it is going
7 to occur, some flow separation will occur.

8 The major argument, I think, against it is simply,
9 again, you have to keep in mind the fluid volumes here that
10 this separation of nitrate and chloride, and I showed that in
11 one of the validation slides, basically occurs at
12 concentration factors well over 1,000. So, you're talking
13 about fairly small amounts of seepage that come in and then
14 dry out. The question is, do you have enough volume there to
15 maintain actually a drip that can now continue to propagate
16 down a surface, given that the surface presumably has some
17 natural roughness, capillarity, whatever, that's going to
18 tend to keep that moisture there.

19 So, I'm not sure we can make an ironclad statement.
20 In fact, that statement isn't made. It is incorporated in
21 TSPA, but I think there's a--I don't think it is a really
22 significant effect unless seepage was much greater amounts
23 than is presently observed. Again, because you're cutting
24 those seepage fluxes by a factor of 1,000 to 10,000, you
25 don't have the hydrologic driving force to continue to

1 propagate that drift.

2 LATANISION: Dan Bullen.

3 BULLEN: Bullen, Board.

4 Could we put figure 20 on this slide and figure 37
5 on that slide? One of the--yeah, perfect.

6 I had a question basically with respect to timing.
7 As I look at figure 37 over here, I see the sort of light
8 blue region where the nitrate-to-chloride ratio is less than
9 .5 possible as being an area that we'd kind of like to avoid.
10 And I'm trying to get a handle on the time frame in which
11 we're going to be in that regime. And so when I go to figure
12 20 and I take a look at the time steps for the concentrations
13 that you see for potential seepage compositions, I see that
14 there's sort of an instantaneous, as I go out of the boiling
15 regime, you know, kind of one time-step that I'm away from
16 it, but how long in actuality would I be within the region
17 where I don't want to be, which is the nitrate-to-chloride
18 ratio of less than .5?

19 STEEFEL: I don't know if--I don't know if this is the
20 best one to compare that. Those represent different waste
21 packages with temperature-RH histories. But, basically,
22 you're asking what period of time you'd be in the
23 nitrate/chloride ratio less than .5?

24 BULLEN: Exactly. Those--

25 STEEFEL: You wouldn't necessarily be less than .5. It

1 just means you get back out your ambient pore water
2 compositions. It just means there's no thermodynamic
3 control. So, basically, I think the best one to look at is
4 over there in this slide on this side. Basically, in this
5 case, from about 700, a little bit before--well, the boiling
6 period starts--ends at about 750 years, so you'd be there up
7 to--I've forgotten. Actually, we should look at the other
8 slide. Could we go to slide 4 or 5 over here? That's the
9 one that maps to this scenario most closely. I think it's in
10 5 or 6. Next one. There we go.

11 That would correspond to a period, basically, all
12 the way up to where you hit 80 percent RH. This is where the
13 sulfate minerals kick in. It doesn't really modify the
14 nitrate chloride. Otherwise, it would be over the entire
15 period, below-boiling period, until waste packages dropped
16 below 90 or whatever best figure there is for where corrosion
17 is insignificant. So, most of the below-boiling period is
18 going to be spent in this period, in this area, where you're
19 basically not getting thermodynamic control on those ratios
20 except for those hotter waste packages. And, again, this is
21 all bundled into TSPA. In other words, TSPA samples this
22 entire distribution.

23 BULLEN: Bullen, Board.

24 So, just to follow up, I guess figure 7 is a better
25 representation, but as I look at that, it's what? Maybe 700

1 or 800 years?

2 STEEFEL: Right--

3 BULLEN: And the cooling time that--

4 STEEFEL: --I believe so. The 750 to about 1500, yeah.

5 BULLEN: Okay, thank you.

6 DIODATO: Diodato, Staff. Diodato, Staff. Am I on?

7 Okay.

8 Yeah, Slide 35 is of interest to me. This is maybe
9 just a small point, but looking at the mean seepage flux
10 number you have there, I mean, the mean is good to have a
11 handle on, but with 10,000 or 11,000 waste packages, it's
12 also nice to have an idea of the range, the variance on that,
13 about that mean because I suspect that sample data set is
14 dominated by zeros for the most part. So, what you'd really
15 like to know is, you know, what are the maximum and how many
16 waste packages are exposed to these higher seepage fluxes?
17 So, I don't know if you have a handle on that or--

18 STEEFEL: I'm not sure I'm the best person, but actually
19 my understanding of it was that this is not the actual number
20 of packages that are going to see that seepage. There's a
21 much smaller percentage of packages that can actually see
22 that mean seepage flux. And within any one period, it's
23 somewhere, I think, in this period on the order of, say, five
24 percent. Then it goes up to 15, and I don't think it ever
25 gets to 30. So, that's the overall mean seepage flux that

1 any one package might see if the capillary barrier failed.

2 So, the number that actually see that is
3 considerably less than that. But you're right. Basically,
4 there's a significant distribution there. We just tried to
5 pull that out, you know, mostly for a sort of almost
6 pedagogical purposes to make this kind of argument. But
7 there is a significant range and, in fact, again, that's the
8 kind of thing that would be sampled in the TSPA.

9 DIODATO: Thank you.

10 STEEFEL: But if that was incorrect, I think Bo can come
11 up and correct me. But I'm pretty sure that this doesn't
12 mean that all those waste packages are going to see it. You
13 apply then an additional factor related to the capillary
14 barrier which reduces that by a significant amount of
15 something like 5 to 10 percent.

16 DIODATO: Well, if you redistribute the mass flux to a
17 smaller number of packages, then that particular flux for a
18 particular package should be larger; right?

19 STEEFEL: Not necessarily because a lot of it just goes
20 past and sheds off the system. So, that's the flux that it
21 would see if--this is my understanding--the flux that it
22 would see if the capillary barrier didn't work, but otherwise
23 somewhere else. You're not just diverting that and getting a
24 larger mass of water on those that seep. You're getting some
25 of your waters diverting around those packages.

1 DIODATO: Thanks for your explanation.

2 LATANISION: Do we have any questions from the audience?

3 SHETTEL: Don Shettel from the State of Nevada.

4 Can we have slide--Slide 26? This experiment looks
5 like a closed-system experiment. Did you have a stir in the
6 bottom? Is that correct?

7 STEEFEL: I believe it is because you've got a
8 condenser, at least. Greg is the one who worked mostly on
9 that.

10 GDOWSKI: Yes, Greg Gdowski, Livermore.

11 No, it's actually a flow-through system. There's a
12 constant stream of air flowing over the top of the fluid.

13 SHETTEL: I'm not referring to the gas system. I'm
14 referring to the liquid system.

15 GDOWSKI: We've run them both ways. We've run tests
16 where we keep the water-level constant. And also we've run a
17 test where we evaporate down the water. So, both--both cases
18 have been run.

19 SHETTEL: Yes, but what I'm referring to, there are two
20 ways to model in geochemistry. One is a closed system where
21 you allow all the mineral precipitates to remain in
22 equilibrium with the solution. And the other one is where
23 you remove the mineral system so it's essentially a flow-
24 through system.

25 GDOWSKI: It's a closed system in that sense, yes.

1 SHETTEL: Okay, is that the most conservative approach?
2 Or would an open system be a more conservative approach?

3 GDOWSKI: It depends what you're trying to understand.
4 The point of these--

5 SHETTEL: Well, this--

6 GDOWSKI: The point of these experiments was to validate
7 the EQ3/6 model and to understand the initial chemical divide
8 theory as it applies to these waters.

9 SHETTEL: Yeah, but EQ3/6 can be run both ways.

10 STEEFEL: Well, the issue, I think, was that it's meant
11 to capture also one case where you basically drip a small
12 amount of water on a waste package and then it sits there.
13 So, there is one end-member case. Whether you call it
14 conservative or not, I don't know, but it certainly realistic
15 where you can actually have a closed system developed on the
16 waste package. As I discussed with the flow-separation,
17 there's certain scenarios where it might run off actually.

18 GDOWSKI: Exactly.

19 SHETTEL: Well, I'm not calling it conservative--

20 STEEFEL: Now, one point to be made is that if you're
21 talking about in the rock, actually that's a full reactive
22 transport calculation. Those salts get left behind when the
23 fluid moves and this and that. So, it's really only an issue
24 on the waste package. And, you're right, this is an
25 experiment that's the closest and the--

1 SHETTEL: Well, some of the salts could precipitate in
2 the rock and before it hits the waste package. And--

3 STEEFEL: And that's captured in the model as a
4 transport and flow phenomenon.

5 SHETTEL: Well, you show on one of these diagrams that
6 the salt totally concentrates in the rock before it hits the
7 waste package, I believe. I'm not sure which slide it is.

8 STEEFEL: I don't know if I'd use that wording, but I'll
9 reword it. The way I said it is there's a small amount of
10 salt precipitated out of a very dilute water as the boiling
11 front recedes. And so, obviously, as that boiling front
12 collapses back down, rewetting occurs. Water is going to
13 start going into those fractures and seeing that amount of
14 salt that's been left there. And so, yes, there is going to
15 be some re-dissolution of the small amount of salts in the
16 original pore waters. But what we were contesting originally
17 was this business of refluxing.

18 Go ahead, if that was--is that your question?

19 SHETTEL: No. My question is, I mean, you can evaporate
20 the water in the rock partially or you can evaporate it on
21 the canister. If you evaporate it on the canister, you can
22 have--you don't need such small volumes to hit the canister.
23 The water--since it's a curved surface, it's not very likely
24 that the water stays in one spot. As it evaporates, it's
25 going to run down the curved surface.

1 STEEFEL: No, but my--this is--my point was is that
2 this--if--are you talking about chloride/nitrate separation?

3 The issue of chloride/nitrate separation, if that's
4 what you're talking about, only occurs in the very last
5 stages of evaporation. So, even if your original seepage
6 flux is a good quantity of water like this, this container
7 here, you're really only going to get that separation kicking
8 in when you concentrate it a thousand times. Now, you could
9 have the rest of that scenario, it's true, develop, like
10 leaving calcite behind. You could leave calcite and other
11 things behind, but that--

12 SHETTEL: Okay, so--

13 STEEFEL: The chloride/nitrate separation is only in,
14 you know, when your brine fluxes are smaller.

15 SHETTEL: Are you saying that if you separate the
16 chloride and the nitrate that that is a good thing for
17 corrosion?

18 STEEFEL: No, I didn't say that. I didn't say that. I
19 said that I--it could potentially--

20 SHETTEL: You said it could occur, yes.

21 STEEFEL: Yeah, I said it could occur. And then, in
22 fact, it could be potentially deleterious because the nitrate
23 then moves on, leaves a chloride salt behind initially.
24 That's going to dry out because it--if it was--the reason
25 it's left behind is because it precipitated. But then as the

1 RH climbs back up, that could then deliquesce, and you could
2 get a more chloride-rich solution. That's deleterious, yes.
3 That's--

4 SHETTEL: Does that separated nitrate solution have any
5 affect on corrosion?

6 STEEFEL: Joe may have some experiments on that. I
7 don't think so. Chloride, I think, is the major issue that's
8 of concern there.

9 This, in fact, this experiment is quite similar
10 to--except for the control of the PCO_2 --is actually similar
11 to the Rosenberg experiment I was talking to Greg Gdowski--in
12 fact, that issue we brought up before about tachyhydrite,
13 that evaporation is basically occurring in the space of about
14 a day. So, it's a very rapid evaporation. The question--you
15 know, the problem is that when you're talking about magnesium
16 and how that reacts with silica, that does take longer
17 periods of time, generally more than a day. Silicate rates
18 are known to be slower.

19 But, again, we're back to that question: What's
20 the relevant time period? I would say it's--the time period
21 is where you have a chance to generate in corrosion. In
22 other words, if within two weeks you can react that magnesium
23 with a silica in that local environment, then that's still
24 good enough. That's pulling the magnesium out of the system,
25 out of solution. I guess I should have--

1 SHETTEL: Well, that depends where things precipitate
2 and how solutions flow whether you pull the magnesium out or
3 not. If you have a flow-through system, it's less likely.
4 Usually what we see in experiments is the silica precipitates
5 out; therefore, there's not much left to pull in magnesium or
6 pull out magnesium.

7 With regards to tachyhydrite, I believe you said
8 before that might be an unstable-type phase or something.

9 STEEFEL: That's what I'm arguing, basically.

10 SHETTEL: Well, I think the very fact that it has a name
11 and is a mineral means that it does have some stability and
12 is found in nature somewhere. So, I don't think you could
13 say that it's exactly an unstable phase.

14 STEEFEL: Well, I think you could say it. It is--it's
15 an unstable phase. I mean, the same argument about
16 antarcticite. When you're talking about, you know, people
17 discover new minerals, they want to publish them in the
18 journals, but that doesn't mean they have any widespread
19 thermodynamic stability. Certainly, tachyhydrite is not a
20 stable phase.

21 SHETTEL: Well, there--well, I would disagree with that.
22 It's found in nature, so therefore it must be--have some
23 stability in a certain environment.

24 STEEFEL: Plus we find it in our experiments as well.

25 LATANISION: All right, any other questions from the

1 floor?

2 (No audible response.)

3 LATANISION: I just want, before you finish, Carl, I
4 want--there was a question that I wanted to ask this morning
5 that I didn't have an opportunity to ask given the timing.
6 And we do have five more minutes in terms of my schedule
7 here. So, I'd like to return to your figure 18 from this
8 morning.

9 (Pause.)

10 LATANISION: Yeah. We had a discussion about this at
11 lunch, and then I--I don't think any of the Board members
12 that I spoke with understood the reason why we were not
13 seeing nitrate, but were seeing ammonia in this x-ray
14 analysis. Now, I understand you did analyze the water
15 chemistry and you found nitrates, but could you just restate
16 or comment again on the appearance of ammonia? The ammonium
17 article.

18 STEEFEL: Yeah, maybe Zell can give the best answer. I
19 did talk to him about this, as well, and there is ammonia
20 dissolved in the actual leachate that showed up. So, it
21 makes sense that some of it reappeared there. But, as I
22 understood it, there was nitrate in the solution, as well.
23 So what happened to it is not clear.

24 PETERMAN: Yeah, Zell Peterman, USGS.

25 That is correct, Carl. As you said earlier, we

1 don't understand why we're not getting nitrates here. I
2 suspect the detection limit, you know, is several percent,
3 maybe 5 to 10 percent. If it's less than that, we probably
4 wouldn't see it on this. It's a pretty routine XRD work. We
5 were surprised by the ammonia salts. We hadn't analyzed the
6 leachates for ammonia. When we got these, we went back to
7 the raw samples, leached them again, and did ammonia. And,
8 in fact, they do have ammonia. That sample one, as I recall,
9 has about 60 milligrams per liter ammonia. So, that's kind
10 of interesting. I don't know where it comes from. Maybe
11 it's coming from the underground use of dynamite or something
12 like that.

13 The others had much smaller amounts by an order of
14 magnitude, a few milligrams per liter. That's about all we
15 know at the present time. This was a pretty simple
16 experiment. The evaporation was sub-boiling evaporation. It
17 was done in a beaker with a heat lamp. We didn't necessarily
18 control the temperature, but it's certainly less than 100. I
19 would guess, you know, 50 to 70 degrees, something like that.
20 So, you know, this is all--all this has all happened in the
21 last two or three weeks. So we've got a ways to go yet.

22 STEEFEL: Yeah, this is definitely recent data.

23 LATANISION: Well, let me ask the obvious question. Are
24 you confident that nitrates are present?

25 PETERMAN: Oh, yes. We--

1 LATANISION: You're absolutely certain about that?

2 PETERMAN: Absolutely certain.

3 LATANISION: I mean, this doesn't--okay.

4 PETERMAN: 100 percent certain that there are nitrates
5 present at about the level given in Carl's mean value there
6 on that one chart. I forget what it was, 10, 15 milligrams
7 per--or equivalence, milli-equivalence.

8 LATANISION: Thank you.

9 PETERMAN: So, we were surprised to see the ammonia
10 salts, but there seems to be ammonia there also.

11 SONNENTHAL: I can add--

12 LATANISION: Thank you.

13 SONNENTHAL: Eric Sonnenthal--

14 LATANISION: Go ahead, Eric.

15 SONNENTHAL: --Lawrence Berkeley Lab.

16 There's some other data we haven't shown yet, and
17 that's on the nitrogen and oxygen isotopes of some leachates
18 from the dust from the tunnel. And they show that some of
19 them are nitrate derived from typical pore waters in the
20 rock. And some are also derived from other sources, possibly
21 in-tunnel things that--and one of them, at least one of them,
22 showed some ammonia-derived nitrate.

23 LATANISION: Thank you. We're ready to move on and I
24 would like now to call on Professor Joe Payer. He is
25 somewhere in the room, I suspect. He is. It will take us a

1 minute to get the panel readjusted.

2 (Pause.)

3 PAYER: All right, thank you, Ron, the Members of the
4 Board.

5 I have the privilege and opportunity to make this
6 presentation on Corrosion Resistance of Alloy 22. There's
7 some folks over here that are much more involved in the day-
8 to-day testing and a lot of the analyses that's been done
9 here. Up on the panel up here is Dave Shoesmith, who's a
10 professor at Western Ontario? Southwestern Ontario? South--
11 just Western Ontario. He has done a lot of corrosion
12 testing, corrosion modeling, and has also worked closely with
13 the Project on several of these topics we're going to talk
14 about.

15 Next to him is Pasu Pasupathi. Pasu has about 30
16 years, almost 30 years, of experience in materials
17 performance and testing and evaluation in nuclear systems,
18 nuclear reactions.

19 Next to Pasu is Tammy Summers, and Tammy is a
20 manager of the corrosion testing activities at Lawrence
21 Livermore Lab. She's been primarily the--she's one of the
22 principals in the issues of metallurgy and materials aging
23 issues, that type of thing.

24 Next to Tammy is Raul Rebak. Raul, from Argentina,
25 had some industrial experience down there, came to the

1 states, did a Ph.D. at Ohio State, then worked in industry
2 doing material selection for chemical process plants and
3 other opportunities of that sort, and then joined the
4 Livermore team here in the area of materials testing and
5 evaluations, that type of thing. Raul's been one of the
6 driving forces behind the different methods to measure
7 localized corrosion, comparing and analyzing, and just seeing
8 what all those tests mean.

9 Greg Gdowski's getting a little bit of a break.
10 He's rejoined the audience out there, but Greg has been very
11 involved in the evolution of environments on waste packages.
12 And then these people are represented by a larger number of
13 folks behind. Next slide.

14 And this just lists some of that. In the evolution
15 environment area, Greg's been assisted significantly by Susan
16 Carroll and Tom Wolery, who was on the prior panel. In the
17 corrosion testing/analysis area, Tammy and Raul are
18 represented here. Back getting more data, I guess, are
19 Gabriel and--sorry, Gabriel and Lian, and Chris Orme. In the
20 materials testing area, Bechtel SAIC, Pasupathi heads that
21 area up, and he's had significant assistance by Gerry Gordon.
22 Next slide. Well, I guess the next slide is shown on both
23 sides now.

24 This is an outline of talk we want to spend a
25 little bit of time here talking about, documenting, and

1 reminding you folks of the high corrosion resistance of Alloy
2 22 in a lot of different environments. The talk about Yucca
3 Mountain, we've heard a lot about it today, but what I'd like
4 to do is put it in perspective of what is it, what are the
5 features and attributes of Yucca Mountain that are
6 significant and important from a corrosion perspective?

7 We'll talk about the corrosion rate of passive
8 metals, which is a very significant issue. If passive metals
9 remain passive, their corrosion rates are extremely low. The
10 issue then becomes, will they remain passive? And that
11 brings us into talking about some corrosion conditions,
12 corrosion background, and corrosion conditions at key time
13 periods. Carl showed you some of that, the folks from the
14 Center, NRC showed you some of their ways of breaking up the
15 time periods. We'll focus on localized corrosion because
16 that remains the biggest issue, I think, the biggest threat
17 and the biggest issue to determining the life of waste
18 packages. There are going to be the localized corrosion
19 processes.

20 And we'll finish that up talking about this Period
21 IV that after the cool--after the thermal barrier and while
22 the package is higher than temperatures, the corrosion can
23 still exist. So, that's the road map. I think we'll leave
24 the road map up on that side, and hopefully that will help
25 you follow along where we're at. Next slide.

1 Alloy 22 is an extremely corrosion resistant
2 material. In any corrosion application, the corrosion that
3 we observe is a combination of the corrosion resistance of
4 the material and the corrosivity of the environment that that
5 material is exposed to. There are environments that will
6 attack any material. So, there's no material we have that's
7 immune to all environmental conditions one could imagine.

8 The challenge is and the trick is, to win, is to
9 match up a material with proper corrosion resistance in
10 realistic environments. Alloy 22 and titanium for waste
11 packages and drip shields are highly corrosion resistant
12 material in oxidizing environments such as Yucca Mountain.

13 We've mentioned before, it's been mentioned several
14 times today, the ambient conditions at Yucca Mountain are
15 benign. These are dilute waters. They tend to be mildly
16 alkaline waters. But even the non-alkaline waters in the
17 dilute form are benign and noncorrosive, basically. However,
18 as we've heard from Carl and others, these waters can become
19 highly concentrated when they're exposed to high temperatures
20 and we evaporate, or in the very early stages of
21 deliquescence, and so that's where the focus is.

22 The issue is to determine a corrosion resistance of
23 Alloy 22 when it's exposed to these realistic environments.
24 Next slide.

25 Alloy 22 really belongs to a family of corrosion

1 resistance alloys that are of the form nickel-chrome-
2 molybdenum, are the primary alloying constituents. And the
3 nickel-chrome-molybdenum and in Alloy 22, there's some small
4 amounts of tungsten that are added, work in a synergy to
5 provide corrosion protection over a wide range of
6 environments. These alloys depend upon the formation and the
7 tenacity of a very thin oxide film, chromium-oxide type of a
8 film, on the surface for their corrosion resistance. We
9 refer to that as a passive corrosion layer. It forms
10 spontaneously and it's quite tenacious.

11 There's a lot of large equipment that's been made
12 of Alloy 22. One of its attractions, it's a very tough
13 material. It has significant elongation when you try to
14 deform it. It has significant toughness if it's impacted.
15 It doesn't crack and break like a glass plate would. You can
16 form it. You can weld it. You can fabricate it. All these
17 things are important issues when you're selecting material
18 for an important engineering application. It can be
19 fabricated in several large structures and components. And
20 I'll show you some examples of that in the next slide. Well,
21 no, I won't.

22 I'll talk to you about some of the corrosion
23 resistance now. These are laboratory tests that are
24 typically done to provide material selection people with a
25 ranking of materials in various aggressive environments. The

1 particular data here is for an environment that's
2 affectionately called "Green Death" because it's extremely
3 aggressive. It's a concentrated sulfuric acid, hydrochloric
4 acid, highly oxidizing by the addition of ferric and chloride
5 ion, and it's a solution that alloy producers will typically
6 run their materials through so they get a relative ranking.

7 Two things plotted here. The corrosion rate, low
8 is good. And the critical pitting potential, high is good.
9 And what we're showing here is a series of alloys. This is
10 316-Stainless Steel, Alloy 600, and then down over here are
11 the alloys of the Alloy 22 class of families, and Alloy 22 is
12 this particular one. It's down where the corrosion rates
13 here are not measurable on the scale. We've heard some about
14 Alloy 600 and pressurized water reactors, so just call it out
15 here that there's a significant difference in the corrosion
16 resistance of these two alloys. We're not talking about the
17 same class of resistance at all.

18 The critical pitting temperature is measured in the
19 laboratory as the temperature below which pitting will not
20 occur. So, if you're below that temperature in this
21 particular environment, pitting corrosion is not an issue.
22 And so high is good here. And Alloy 22, here again, is this
23 alloy. It's at 120 degrees or higher, the solution breaks
24 down at 120 degrees. So, the pitting corrosion potential of
25 Alloy 22 in this environment is greater than 120 degrees.

1 These are highly acidic, highly oxidizing environments. Next
2 slide.

3 This is just a couple slides to show that large
4 engineering structures have been made and function well out
5 of Alloy 22. Here's a fellow standing next to a component
6 out of a pulp and paper bleach plant. This was made back in
7 the late '80s of Alloy 22. There's a lot of welds in this
8 structure. There's a lot of forming in this structure.
9 It's been exposed to oxidizing chlorine dioxide, highly
10 oxidizing chloride containing environments, and it's
11 performed very well. The alloy has been used in incinerators
12 and other conditions where you can get condensation and dry,
13 wet and dry, and so forth. Next slide.

14 We think one of the very relevant pieces of
15 experience, in addition to being a very large structure, this
16 is a flue gas desulfurizer. Flue gas scrubbers are the units
17 that are on fossil-fired power plants. After the coal is
18 burned or the oil is burned, there can be sulfur compounds
19 and nitrogen compounds in the gases. Before those are
20 released to the atmosphere, the power companies, if they're
21 good citizens, run through a scrubber--and most of them are--
22 run through a scrubber and it's a counterflow. The corrosive
23 gases are coming up through the scrubber. Water solutions
24 are coming down. And so you're leaching out or pulling out
25 of the air solution the sulfur containing gases and the

1 nitrogen containing gases.

2 Coal has a lot of sulfur and chloride in it. The
3 temperatures in this unit are from 80 to 130 Centigrade.
4 Concentrated chlorides and Alloy 22 has provided admirable
5 service in this environment over a large number of years.
6 So, large structures, large high-corrosion resistance, can be
7 obtained with these alloys. Next slide.

8 Let's revisit Yucca Mountain from a corrosion
9 perspective. Some of these slides are familiar, but I'd just
10 like point out a few things. We're talking about a
11 repository that's under some 300 meters of rock from the
12 surface. Another 300 meters or so down to the water table.
13 The alloys sit up in air at atmospheric pressure. The
14 relative humidity, depending upon the time/temperature, can
15 range from very low values up to saturation. The ambient
16 waters in the mountain are dilute; however, those ambient
17 waters can be modified and become concentrated by the thermal
18 hydrological chemical processes that we've heard about
19 earlier today and yesterday. Next slide.

20 There's some interesting features here. Compared
21 to almost any other engineering application that I'm aware
22 of, this is one long, slow cycle. There's no start up and
23 shut down. There's no--it's a very slow heat-up, years, and
24 then a very slow cool-down, thousands, tens of hundreds of
25 years, thousands of years.

1 The waste packages sit up in air. They're
2 supported by pallets. There's no feasible likelihood that
3 they're ever going to be fully immersed in an environment, in
4 a solution of water. That's a big difference. There's no
5 rapid heat--there's low heat fluxes. It is a hot surface,
6 but the heat fluxes are low. There's a slow heating and
7 cooling and relatively modest thermal gradients. You've seen
8 this behavior. This is a typical package plotting
9 temperature and relative humidity and what we're showing is
10 over a time on a log scale. This is 10 years, 100 years,
11 1,000, 10,000, and so forth out to very long time periods.

12 When the repository is closed after 50 years,
13 there's a heat-up and then a very long, slow cool-down. On
14 this plot, we're showing both the temperature of the waste
15 package and the temperature of the drift wall. There's a
16 matching drop in relative humidity as a heat-up period, and
17 then it comes back very slowly, as well. There's a limited
18 amount of water moving through the rock, and there's a
19 limited amount of salts and minerals available to the
20 packages. Next slide.

21 We've talked quite a bit about relevance of
22 corrosion test methods. This is just to reiterate that
23 point. Within the drifts, the waste package drip shield,
24 there are natural convection currents both in this dimension
25 and also along the waste package, so there is air movement in

1 here. The thermogravimetric analysis experiment that's been
2 run at Livermore is run in this sort of matter. It's an open
3 system, air circulation, controlled temperature, controlled
4 relative humidity, and you can follow a process through that,
5 as opposed to a distillation and reflux condenser where the
6 materials are boiled and captured and then can be carried
7 over into another experiment.

8 A closed system, refluxing, 100 percent relative
9 humidity, we believe this is much more representative and
10 relevant to these conditions. This is interesting to create
11 solutions and some horror pictures of corrosion, but we think
12 it's not very relevant to Yucca Mountain. Next slide.

13 One of the major challenges in Yucca Mountain is
14 this extremely long time frame. That's what's unprecedented
15 in this particular application, trying to predict behavior of
16 materials over thousands of years and 10,000 years and
17 beyond. And one of the things that's very important though,
18 and hopefully one of the take-away messages for all the folks
19 here today, is that it's important to recognize what the
20 temperature/relative humidity chemistry solutions are at
21 different time periods in that repository. We have a
22 tendency to do a test in a beaker, and if it comes out good
23 or bad, whatever the results are, to mentally adopt that over
24 a 10,000-year period. Well, it's very unlikely that those
25 conditions in that teacup are going to exist over that time

1 period. And so we'll show you some of that.

2 There's five relevant periods here. Show you the
3 next slide. Well, let me just say that the--this corrosion
4 resistant material, as long as the waste package has no
5 penetrations in it, the radionuclides are completely
6 contained. All right?

7 A passive metal, the passive corrosion rate of a
8 metal, is a micron per year, a millionth of an inch per year
9 or less than that. Measured corrosion rates are on the order
10 of .01 microns per year. The waste package at Yucca Mountain
11 is 12-quarters thick. We're not talking about a thin-walled
12 structure here. This is a thick plate of material. Two
13 centimeters is 12-quarters thick. At this corrosion rate to
14 go through the thickness of one quarter would take a 160,000
15 years. At .1 microns per year to go through the thickness of
16 a quarter would be 16,000 years. So, passive metals that
17 remain passive, talking about extremely long lives, is not
18 unrealistic at all. If they'd have made mummies' noses out
19 of Alloy 22, we would find them nice and shiny, okay? But
20 the Egyptians weren't quite that advanced. Next slide.

21 So, what is the corrosion rate of a passive metal,
22 Alloy 22? Let's show you some laboratory data. Next slide.

23 A lot of testing done in a lot of large equipment
24 and smaller laboratory equipment doing electric chemical
25 tests, a lot of tests done on many samples, different

1 conditions, over long time periods. The long-term test
2 facility has had thousands of specimens run through it in
3 periods of excess of five years. Next slide.

4 The general corrosion rate, the passive corrosion
5 rate, has been measured by various techniques; weight loss
6 measurements, electrochemical measurements. The
7 electrochemical measurements are very valuable and useful
8 because you can look at a wide variety of environments.
9 Also, they're useful because they give you results quickly.
10 One of the features is the electrochemical measurements,
11 typically short-term measurements, give you a higher
12 corrosion rate by a factor of 10 or 100 than what a longer
13 term test would be. But they're still quite useful and
14 valuable. Next slide.

15 Some range of corrosion rates. In a thousand times
16 the dilute waters in the mountain, this particular water had
17 .8 molal chloride, .4 nitrate, at 90 Centigrade, pH 2.8, the
18 short-term corrosion rate was 1.5 microns. After a week,
19 that had dropped down to 0.1, 16,000 years per quarter. In
20 the pH 2 solution, short term, one hour test, 2.1 microns per
21 year. After 30 hours, that dropped down to .2. So, the
22 corrosion rates we measure in these types of environments are
23 extremely low. Next slide.

24 This is just from the long-term test facility. As
25 point of reference, this is that .01 microns per year.

1 That's 160,000 years per quarter. And at 60 degrees and 90
2 degrees in a variety of waters, pH 2.8, pH 10, pH 11 to 13,
3 we see very low corrosion rates after very long times. Next
4 slide.

5 This just shows some more laboratory data. This is
6 electrochemical data so that the rates are going to be a bit
7 higher than they would be after longer times. Here is in
8 nitrate chloride environments and calcium chloride. And what
9 we find is in a wide range of calcium chloride, .05 ratio of
10 nitrate-to-chloride, .15/.5; the corrosion rate is over the
11 range of 100 to 160. This is some of the new data that
12 you've been told about. The nitrates are, in fact, effective
13 inhibitors. The corrosion rates in general corrosion are
14 very low in this.

15 This is sodium chloride brines. And, again, the
16 corrosion rates we're measuring here are extremely low, .4
17 microns per year across here. And it's a function of some of
18 the nitrate-to-chloride ratio. Next slide.

19 This is some new data to the Board. Again, I
20 believe this is data from foils that were exposed in an
21 autoclave, so we could go to higher temperatures than you
22 would be able to attain at Yucca Mountain with these. They
23 would boil off naturally at Yucca Mountain if you tried to do
24 it. Exposure times of 130 and 157 days and, again, the major
25 point here is the corrosion rates are extremely low. There's

1 no significant general corrosion of Alloy 22 in these
2 saturated brines over the range of 120 to 220 degrees in
3 these tests. Next slide.

4 So, the conclusions regarding passive corrosion in
5 a wide range of temperatures to 160 and above using
6 pressurized autoclaves to be able to maintain those
7 environments, the corrosion rates are very low. Short-term
8 tests, 2 microns per year and dropping down into this .1 or
9 .01 range, and less even, after longer time periods.
10 Nitrates show some benefit even. The primary benefit we're
11 going to be discussing with you is in localized corrosion,
12 but we find the nitrates are of some assistance in this
13 passive corrosion as well.

14 All of the different test methods we use, the
15 linear polarization, the coupon studies, the long-term test
16 facility, give the same message. The corrosion rates are
17 very low, and they're very stable over wide ranges of
18 material--of environments. Next slide.

19 Okay, so the point of that was passive metals
20 remaining passive give very long lives, and Alloy 22 is a
21 passive metal under an awful lot of realistic conditions at
22 the environment. So, why don't we, you know, stop and go
23 home? Why do we spend a couple days here and all the
24 wringing of teeth and gnashing--or wringing of hands, I
25 guess. You wring hands and gnash teeth; right? But the

1 point is this localized corrosion, again. Where does the
2 passive film break down? Where are the boundaries? What
3 environments do you have to go to? The State of Nevada has
4 shown us some environments where, no question, Alloy 22
5 behaves more like Alka-Seltzer than it does a structural
6 material.

7 Our argument, our rationale is, those are
8 unrealistic and irrelevant environments. You can put Alloy
9 22 or any other material in some environments that will cause
10 very significant corrosion. The question is will you form
11 those on waste packages, will they persist on waste packages,
12 will they damage the waste packages? The Project has
13 examined localized corrosion of Alloy 22 over a very wide
14 range of aggressive environments, beyond what we believe is
15 the realistic environment, and I'll show you some of that
16 data here now, after we talk about, a little bit about, the
17 corrosion perspective.

18 We've talked about, and several of the speakers
19 have mentioned, the various factors that protect against
20 corrosion. There's a hierarchy of protection here. The
21 thermal barrier stops dripping onto the waste package. The
22 capillary barrier stops dripping onto the waste packages.
23 The drip shield stops dripping on the waste packages. If the
24 thermal barrier was not functioning, the capillary barrier
25 was not functioning, and in a co-location with that the drip

1 shield was not affected, then a drop of water can hit on the
2 waste package. And now that's what we're going to be
3 studying. But keep in mind here that that can only happen
4 when the drip shield, the capillary barrier, and the seepage
5 occurs co-located. Next slide.

6 There's no large accumulation of water that's
7 formed in the repository. We've said this before. The
8 fractures go from a low percentage of saturation to a higher
9 percentage. There's a small fraction of the packages even in
10 the absence of any drip shield that would get dripped on. If
11 they get dripped on, the amount of water that's available is
12 very small. This neglects the thermal barrier. During this
13 time period, the thermal barrier would be in place and this
14 is zero. If the thermal barrier wasn't there, with the
15 infiltration rates during the current climate, it would be
16 about two liters per year. Carl explained to you the
17 rationale for having to reconcentrate that. It would give
18 about two milliliters per year per waste package.

19 After the first climate change, we get about 20
20 milliliters per year of concentrated brine, and then it goes
21 up to 40. Again, just a frame of reference here, 15
22 milliliters per year is a tablespoon of solution on a waste
23 package. Okay, we're not talking about large volumes of
24 solution at all. Next slide.

25 There's two relevant time periods. Carl talked

1 about deliquescence in the morning and dripping and seepage
2 in the afternoon. That's why we broke up the talks that way.
3 What happens during deliquescence and condensation? That's
4 when the dust particles on the package, as the temperature
5 drops, the relative humidity comes up, as the temperature
6 rises, relative humidity moves, we can start forming moisture
7 in those dust layers. And we've talked a lot about that.
8 And then the other issue is what happens on dripping and
9 seepage.

10 The considerations here, and we'll walk you through
11 some of these, are what's the evolution of the environment?
12 The waters on the waste package surface are what's critical
13 here. That's what's going to make or break the corrosion
14 behavior. The evolution of damage, then, underneath that--
15 the evolution of corrosion damage in environments that may
16 cause damage: What's the likelihood? What's the extent,
17 distribution? And, so what? What are the consequences of
18 that corrosion damage? Next slide.

19 Okay, so you've seen the temperature curves for the
20 waste package and the drift wall. There's a temperature
21 difference between those depending upon the particular
22 package. You've seen the relative humidity. Next slide.

23 Carl showed you this slide. But yesterday in one
24 of the Center's presentations and the NRC data, they chose to
25 break the periods up. I think they had four periods. But

1 the rational here is pretty similar, and let me tell you how
2 we define the four periods.

3 The first period is the preclosure, and that goes
4 from the time that waste packages start being put into the
5 mountain to 50 years. So that's the first time period. That
6 lasts 50 years. At 50 years, the repository is closed; the
7 temperature starts to rise. And so we define the second
8 period that goes from a period of on the order of 10 or 15
9 years. So, that would be from 50 to 65 years. That's the
10 heat-up period.

11 We then have a thermal barrier in place. The drift
12 wall is greater than the boiling point, and so no seepage
13 will occur and the package is cool. That's the Period III.
14 In this particular scenario, that lasts from like 65 to 750
15 years. At 750 years, the drift wall is at the boiling point,
16 and so seepage is possible. So, the Period IV here where
17 seepage is possible, dripping on the package could happen,
18 goes from 750. And when the package is at 90 Centigrade,
19 that's what I've defined as the period below which no
20 corrosion of the waste packages will occur.

21 Why 90? There's some data from the Center that was
22 published that said the critical temperature for crevice
23 corrosion of Alloy 22 was 95°C. Below 95, they did not see
24 localized corrosion. In some more aggressive environments,
25 they saw localized corrosion down to 80. Okay? So, where's

1 the right--where's the right number? I showed you critical
2 pitting temperatures for Alloy 22 that are above 120
3 Centigrade. And we will argue, we will tell you, that the
4 conditions on the waste package are some place between that
5 crevice critical temperature and the pitting critical
6 temperature.

7 We do not believe that the critical crevice
8 temperature with laboratory-made type crevices is the--that's
9 an ultra conservative measure of the lower corrosion. We
10 could debate that, okay? But if you pick 90, the things that
11 define these periods are the temperature where the waste
12 package gets to below boiling, 96; when the drift wall is
13 below 96, we can get dripping. In this case, the waste
14 package is 101. There's a five degree difference between the
15 waste package and the drift wall.

16 The critical temperature here we picked is 90°C.
17 So, those are three values you need. You need the time when
18 this occurs, and that temperature, and then you need the
19 time/temperature behavior. Next slide.

20 So what are we--what do we think is going on during
21 these time periods? During this first period, the
22 ventilation is occurring throughout this period. The waste
23 packages are cool. Dust can accumulate on the waste packages
24 and will. That can be dust from the other mining operations
25 and also ingested dust from the insulation. The metal

1 surfaces are dry. There's no corrosion during that first 50
2 years. Next slide.

3 During the heat up period, the drift wall has been
4 dried somewhat from the ventilation period. There's a dry
5 zone from the ventilation. Once we get heated up, we've got
6 the thermal barrier in place. The capillary barrier is in
7 place. We've got a highly corrosion-resistant alloy. No
8 dripping or seepage during this time period. The dust that's
9 on the waste package when the walls are sealed defines the
10 amount of dust available to this. There's no new dust
11 sources from external sources. There could be minor amounts
12 of dust generated if the drift--if the drifts collapsed a
13 bit, but that's a small amount of dust material. So, when
14 you close up the waste package, you've basically got a fixed
15 amount of dust on it, and that's what you have. So, no or
16 none, no negligible, corrosion at that point. Next slide.

17 Period III, thermal barrier is in place. We could
18 get deliquescence. We've gone through the arguments that
19 calcium chloride is a highly unlikely material. If it's
20 there, it's unstable. There's nitrates in the dust. During
21 this period when there can be no dripping on the waste
22 packages, the judgement is no significant corrosion. From
23 750, in this case, to 1325--excuse me, from the 65 years out
24 to 750 years. Next slide.

25 In this case now, the drift wall is down to

1 boiling. Dripping and seepage could occur. We still have
2 those other barriers in place, but it's possible that they
3 could impact the waste package. And there's a time period
4 from that 750 years until 1375 years here when the waste
5 package is at 90°C, and that's what I've chosen as the cutoff
6 for corrosion. If you push that 90°C out to lower
7 temperatures, you extend this period somewhat in a lower
8 temperature environment. Next slide.

9 Period V, the waste package surface is now below a
10 temperature at which any significant corrosion will occur.
11 You go back to the passive corrosion rates. Whatever
12 condition the waste package is at that point, you start
13 corroding. And if that was this .1 micron per year, we're
14 talking about many thousands of years to penetrate the
15 thickness of one quarter. Next slide.

16 Okay. So, summarizing that, in the preclosure
17 period, zero to 50 years, the packages are dry, no corrosion.
18 In the heat up period, no significant corrosion. By no
19 corrosion here, I mean nothing that would be of significance
20 from an engineering standpoint. I don't want to split hairs
21 on do you get a pit in the package or do you get some shallow
22 penetration? There's nothing there that would compromise the
23 waste package in any way. Thermal barrier is in place, no
24 corrosion.

25 The focus then becomes in this Period IV that

1 requires some more analysis. We're talking about a period of
2 on the order of 600 years for that particular scenario. And
3 then you come out of that period after 1375, in this
4 particular scenario, and there's no corrosion again. So, the
5 focus of the analysis is in this area. Next slide.

6 LATANISION: Joe, just to ask a question of information
7 here. Are you referring to the EPRI fault tree?

8 PAYER: No.

9 LATANISION: What are you referring to?

10 PAYER: We have our own.

11 LATANISION: Oh, you do? Okay.

12 PAYER: And I'll show it to you.

13 LATANISION: Thank you.

14 PAYER: We've got two, in fact.

15 LATANISION: Okay.

16 PAYER: Next slide.

17 So, let's talk a little about this localized
18 corrosion process. First, I'm going to talk some about the
19 controlling parameters and what we know about localized
20 corrosion as a process. And then I want to walk you through
21 and talk about some of the experimental measurements. A lot
22 of the experimental data in this is going to be new to the
23 Board from what you've seen in the past. Next slide.

24 This is just some framework here. When we talk
25 about corrosion, again, this gets back to the idea that

1 corrosion is driven by the environments that could occur and
2 by the susceptibility of the material. If there's no overlap
3 between those corrosive environments and the susceptible
4 material, localized corrosion won't occur, okay? If they
5 overlap, then it's only those environments that overlap with
6 the resistance of the material that are potentially--that
7 could cause localized corrosion. We determine those in
8 laboratory tests, typically. We run accelerated laboratory
9 severe-corrosion tests to determine where these regions are.
10 Once you have a region like that, though, there's additional
11 requirements in order for that to occur.

12 At the waste package, you've got to get water in
13 contact, of that solution type, with the waste package. It
14 has to stay in contact with the waste package. The corrosion
15 species have to be present to form that electrolyte. The
16 material is susceptible. And those have to persist over a
17 long enough time to cause damage. Next slide.

18 At a high temperature, the packages are dry. So
19 there is no overlap between there. There's no potential for
20 localized corrosion when the waste packages are dry. When
21 the waste packages--this is lower temperature here,
22 schematically. When the waste packages are below this
23 critical temperature, I picked 90 in the examples I'm showing
24 here, there's no overlap. So, you get below 90, there's no
25 corrosion. You get in the dry area, there's no corrosion.

1 This is just another way to say that the area of interest for
2 analysis that needs a bit more analysis, more analysis, are
3 these intermediate temperatures from the point where you
4 could have wet packages and it's above the critical
5 temperature. Next slide.

6 This is just a set of cartoons that say this family
7 of environments could really be broken up into a subset of
8 families, and those sub-families will have different
9 corrosion corrosivities. Ambient waters would be farthest to
10 the right, the least benign--I mean, the most benign. The
11 more aggressive halide environments move it over in this
12 direction. And so as the environments become more
13 aggressive, you move this direction. But by the same token,
14 the metal, the Alloy 22 or the different alloys, can show
15 different classes of behavior. Next slide.

16 This is just a montage of pictures here. There's a
17 lot known about the chemical, electrochemical, metallurgical
18 processes that go on for localized corrosion. We're not
19 going to go into them in great detail here, but it's a
20 process that's been highly studied and pretty well-known.

21 This just shows that different metals have
22 different susceptibility to corrosion. In this particular
23 oxidizing-acid environment in laboratory tests, Alloy 825 did
24 not fare very well, high corrosion rate. Alloy 22 and
25 titanium showed no corrosion whatsoever. And you've seen

1 some and you'll see some more of these polarization curves
2 which is a laboratory method that can be used to exam
3 susceptibility and behavior to localized corrosion. And from
4 these curves that, in general, will look like this, there's a
5 couple important features.

6 The corrosion potential is the natural potential of
7 the metal in that environment. It's polarized up through the
8 passive zone where the film breaks down. This is the pitting
9 or breakdown potential. We then reverse the potential and
10 look for a hysteresis loop. And where it comes back across
11 here is defined as the repassivation potential.

12 The importance of that is, if the system is
13 operating below this repassivation potential, even if the
14 passive film is broken down by some random event, it will
15 repassivate and reform. The rationale is, if you break the
16 passive film in this region above the repassivation
17 potential, you could see some significant damage before
18 repassivating or you may not see repassivation, at all. And
19 so that's the rationale. We can go in the laboratory and
20 measure these potentials. And that's one of the key features
21 we'll be showing. Next slide.

22 What controls this passive corrosion corrosivity?
23 The chloride concentration, temperature, the oxidizing
24 potential of the metal surface, the severity of the acidity,
25 and the crevice geometry. How tight is the crevice? What's

1 it made of? Fluoride, temperature, and potential. Higher is
2 bad, more corrosive, more likely to start localized
3 corrosion. Lower pHs, more acidic conditions are bad, and
4 tighter crevices are bad. So, in a nominal sense, we know
5 what controls this process. The question is where are we
6 with this alloy in waste packages? Next slide.

7 And this is just a cartoon of a metal. In this
8 case, there's a metal-to-metal crevice formed. This is at
9 high magnification where metal squeezes against metal. What
10 we find is, if the environment back in the crevice can become
11 more corrosive, more conducive to corrosion, and there's a
12 lot of factors that affect that. Next slide.

13 I want to talk a little bit about localized
14 corrosion, the process from initiation, propagation,
15 stifling, and arrest. In order to go, localized corrosion
16 has to start. That's the initiation process. Once it
17 starts, there's a propagation. What's the penetration rate
18 as it starts working it's way through the metal? In many
19 systems we find that the rate is not constant, but, in fact,
20 it slows down with time. And the word, the term, that's used
21 for that is "stifling". The rate gets slower and slower. It
22 stifles. And in some cases, it arrests. Okay? This is both
23 the material and an environment condition. And so it's
24 important for us to look at this localized corrosion. Once
25 it initiates, what's the propagation, stifling, and arrest?

1 And there's several things we want to look at here.
2 We'll talk a little bit about this Logic/Fault Tree, about
3 getting it going in the first place. And then things that
4 affect the propagation and stifling are things like what's
5 the crevice made of, what's the severity of the crevice,
6 what's this critical crevice chemistry that has to be
7 maintained in order to keep the localized corrosion going,
8 and then what sort of growth rates do we typically see for
9 penetration? That's really the bottom line is what's the
10 damage evolution? Next slide.

11 A comment on crevice formers. In the laboratory,
12 we formed the tightest crevices that we know how. And the
13 way that's done is with a piece of Teflon, PTFE, the generic
14 name for it, but you take a piece of this polymeric material
15 and you squeeze it tightly against a metal surface. That
16 forms as tight a crevice as we know how. The liquid still
17 gets back in there. If it didn't, we would have no problem.

18 The liquid is in there. If we try to form that
19 same crevice by squeezing two metals together, because of the
20 surface roughness of the metals, even highly polished metals,
21 we can't form as tight a crevice as we get with these Teflon-
22 type crevices. If you form a rough ceramic, a piece of rock
23 or something, against the surface, you get even a less severe
24 crevice, and that will be reflected in the temperature at
25 which crevice corrosion will occur and also the severity of

1 the environment. And so one of the things that we will argue
2 is that crevices do not exist over the great extent of the
3 waste package surfaces.

4 There are crevices on every package, but we do not
5 believe dust is an effective crevice former. We're not sure
6 that rock is an effective crevice former. The metal-to-metal
7 crevices that can occur are effective crevices, but they're
8 not as severe as our laboratory tests. So, it's an important
9 point to keep in mind. Next slide.

10 Critical crevice chemistry, if you get--these are
11 ranked in more corrosion resistant alloys; a ferritic
12 stainless steel, a couple austenitic stainless steels, 625.
13 As the corrosion resistance of the alloy increases, the
14 solution, the acidity and chloride necessary to drive that
15 localized corrosion process, becomes more and more severe.
16 The acidity has to become greater, reflected as lower pH
17 values, and the chloride concentration has to increase.

18 Alloy 22 is even more corrosion resistant than
19 Alloy 625 here. So, even a more severe solution has to be
20 formed and maintained in that crevice in order to continue
21 localized corrosion. Next slide.

22 In the growth, what do you we see typically in
23 growth of crevice corrosion? The penetration rate, the rate
24 at which we're going through the thickness of this plate, in
25 the case of the waste package, typically follows a behavior

1 where that penetration rate is timed to an exponential power
2 and a pre-exponential term here. This end value tends to be
3 between .1 and .5. And the important significance of that is
4 shown schematically in the next slide.

5 The corrosion rate doesn't start and maintain at
6 these very high rates that we can often see initially. But,
7 in fact, a corrosion rate bends over, and the lower that
8 value of N , the quicker and the lower value at which it
9 starts getting asymptotic here. So, this is just a schematic
10 here where N equals .1, .3, .5, but the main point is we
11 don't maintain these very high initial rates for very long.
12 The corrosion rate decreases. Next slide.

13 Okay. So, localized corrosion--localized corrosion
14 fault tree here, if we have a corrosion-type of water that
15 will cause corrosion, if that water can form and the metal is
16 susceptible to it, and we measure that in our accelerated
17 severe laboratory tests, if conditions A and B are there, is
18 the corrosion rate positive enough to be above that
19 repassivation potential? If the material is susceptible, the
20 solution can maintain localized corrosion, you still need an
21 oxidizing potential above that repassivation potential or
22 else you won't get localized corrosion. We do it in a
23 laboratory with a black box, with an electrical box, a
24 potentiostat, where we force it up into that region.

25 If the corrosion potential is positive enough,

1 you'd need a severe enough crevice on the specimen. In the
2 absence of crevice, you would not get localized corrosion.
3 If you've got A, B, C, and D, then you go to--you can
4 initiate localized corrosion. The question is what's the
5 damage evolution? How long will it go? What sort of
6 stifling and arrest might you exhibit?

7 So, the questions we have here are, the
8 requirements for damage are, do the conditions exist, will
9 corrosion occur, will it persist, and what damage might be
10 the result? And we want to look at those at the five
11 different periods in the repository to determine under which
12 of these localized corrosion might be an issue. Next slide.

13 Okay, let's talk about some experimental
14 measurements now. Next slide. This, again, is just a
15 picture of a laboratory at Lawrence Livermore where a lot of
16 the testing is done. The specimens are metal specimens.
17 Here's the crevice formers. These things are bolted
18 together. The tight Teflon-seal against the metal is then
19 put into an electrochemical test. Several different tests
20 are used. This shows data for a typical cyclic polarization
21 which has been used extensively by the Project.

22 There's a Tsujikawa--there's this guy, THE
23 experiment. I have to get Raul to say that at every one of
24 our review sessions here. But that's a more severe test
25 where you break down the passive film and then you step the

1 potential back to see where it arrests. Okay? But
2 essentially the kind of ranking and the kind of behavior you
3 get are very similar in the two results. The THE test is
4 somewhat more severe. Next slide.

5 Carl mentioned to you the different categories of
6 water, and what I'd like to do now is go back and we'll talk
7 about the localized corrosion behavior in these different
8 types of water. The source of the different waters are the
9 chemical divide theory and other processes that Carl
10 summarized for you. The ambient waters are dilute, multi-
11 species. They're near neutral, but as you go through those
12 dilute waters and they become more concentrated, you can go
13 into carbonate brines, sulfate, and so forth. And so the
14 question here is what sort of corrosion behavior do we
15 observe in that? Next slide.

16 So, let's talk about the dilute waters and the
17 carbonate waters. And the picture here is pretty boring from
18 a corrosion standpoint. These are not corrosive waters.
19 Alloy 22 is benign in those environments. If you were
20 selecting a material for an industrial application and these
21 were the waters, you would never select Alloy 22. You don't
22 need that high a corrosion resistance. If we were assured
23 that the waters in Yucca Mountain were always in this
24 environment, we wouldn't be talking about Alloy 22 packages.
25 So, these environments are noncorrosive, the dilute waters

1 and the carbonate waters, no localized corrosion. And this
2 just shows one of the polarization curves. You go up.
3 There's no hysteresis. Not very exciting. Next slide. We
4 don't want to be exciting, particularly, but that's the deal.

5 Okay. What happens, we're going to talk about the
6 family of waters that are--this family of waters, the sulfate
7 brines and the sodium-potassium-chloride-nitrate brines.
8 Major distinction here is can some calcium magnesium be
9 present or so forth? But these are the waters we're talking
10 about. In these waters, the summary is that we find that the
11 waters with modest amounts of nitrate, we see no localized
12 corrosion. Not observed. It's not observed on welded
13 specimens in the long-term test facility and it's also not
14 predicted by our rapid electrochemical forward and reverse
15 tests.

16 Waters that have low nitrate levels can have the
17 possibility of initiating crevice corrosion when they're
18 polarized into this susceptible zone. One of the things I'll
19 show you on some of the specimens when we do that, when we
20 initiate crevice corrosion artificially by polarizing into
21 that region, that the initial high current penetration rate
22 drops off markedly so we do see stifling under some
23 conditions. Next slide.

24 LATANISION: Joe, just to get another point of
25 information, are you referring to experiments in which you've

1 got a artificial crevice present or--

2 PAYER: These are laboratory, the cyclic polarization
3 with the crevice formers on the specimens, the standard
4 tests. And some of these have been backed up with the THE
5 method. So, there's been a collaboration between them. Next
6 slide.

7 Just an issue on some of the solution chemistry,
8 again. You've seen a lot of this already. Just the straight
9 time/relative humidity, there's inaccessible regions here.
10 So, this whole region can be taken out as possible
11 temperature conditions at Yucca Mountain. Solutions won't
12 exist up there. It's above-boiling. We talked about the
13 eutectics here and that has a big affect on the nitrate
14 chloride. We've talked about the deliquescent points of the
15 various salts, and what that led to is this diagram that Carl
16 showed you that said, okay, for sodium-potassium-nitrate-
17 chloride-type brines, any condition below this line, any
18 temperature/relative humidity are going to be dry salts, no
19 corrosion.

20 Any condition out here is going to be inaccessible
21 from temperature/relative humidity. The waste packages will
22 be dry. And so the question is, and if we're in this region,
23 the nitrate-to-chloride ratio will be greater than .5 because
24 of this type of behavior. Up here, we can get into the lower
25 nitrate/chloride type brines, and then sulfates come in here.

1 So there's a rationale for where we exist on time/
2 temperature--next slide--for these solution chemistries.

3 Let's talk about the nitrate inhibition of--these
4 are samples that contain welds. The specimen was a plate
5 specimen that had a section of weld through it. And then the
6 crevice formers were formed so that some of the crevice feet
7 were over weld material and some of them were on base plate.
8 So, it was a heterogeneous specimen from that standpoint.

9 And what comes out of this, this is an eyeball
10 test, but you can see the data in your handouts. The message
11 that comes out of this, and this is data at 80 degrees and
12 100 degrees, if the nitrate-to-chloride ratio is greater than
13 .5 at 100 Centigrade, we saw no localized corrosion. If the
14 nitrate-to-chloride ratio was greater than .15 at 80°C, we
15 saw no localized corrosion. Okay? So, that puts a boundary
16 on the nitrate-to-chloride ratio. You need less nitrate at
17 lower temperatures, it's less severe. Next slide.

18 This just shows that, in a cartoon here, this is
19 the repassivation potentials versus the nitrate-to-chloride
20 at 100 Centigrade. When we get up to this .5 ratio, we get a
21 very positive repassivation potential. That's good. At
22 lower nitrates, it's down around where the corrosion
23 potential could be, and we could have conditions that would
24 promote localized corrosion. At 80 Centigrade, at the .15
25 value, we've already transposed--moved into this high

1 repassivation potential. The data at 1 molar, 3.5 molar, 6
2 molar chloride are all basically the same. The chloride in
3 these tests didn't have a significant affect on the behavior.

4 Long-term corrosion potentials start reaching the
5 Ecrit in these low nitrate-to-chloride. Sulfate can be
6 beneficial under some circumstances. Next slide.

7 This compares--a bit of a busy slide, but the
8 couple points here--as you go up in chloride concentration,
9 the repassivation potential comes down. And so from a--
10 that's not a good thing. Okay? The more it comes down, the
11 more--the easier it is to get up into that region. So,
12 again, it takes high chloride to do that.

13 The other point here though is these triangles.
14 These are data from the Center, NRC's laboratory folks in San
15 Antonio. And you'll see that they're consistently higher,
16 their repassivation potentials, than what's been measured by
17 the Livermore folks at DOE labs by both these methods; the
18 cyclic polarization and this Tsujikawa method. Tsujikawa is
19 a bit more severe, but they're about the same. And one of
20 the ways of rationalizing this is the test procedure that
21 Livermore uses forms a tighter, more severe crevice than
22 what's formed by the Center. And so we think there's a
23 logical rational reason for seeing this offset here. It's a
24 bit of a secondary issue, but it does get back to this point
25 that it's important about what makes the crevice. Next

1 slide.

2 Okay, so now we're going to talk about these waters
3 here, and we're talking now about the high nitrate chloride
4 brines, the more concentrated brines. They're restricted
5 into these types of environments. And what we find is that
6 when there's high nitrates, we see no localized corrosion.
7 This 115 Centigrade, this test here where we do the
8 polarization curve, and we see no evidence of susceptibility
9 to localized corrosion, that's at 115 C in a concentrated
10 fluoride/nitrate environment. That's as concentrated as you
11 can get and still have moisture, okay? So that represents
12 the very first sort of deliquescence in those environments or
13 it represents the very last dry-out drop. And the point is,
14 if the nitrate levels are up, we don't see corrosion,
15 localized corrosion susceptibility. Next slide.

16 This is a case where we do, in fact, see a
17 hysteresis loop. This is a concentrated chloride nitrate at
18 100 C. In this case, the corrosion potential is well below
19 the repassivation potential. In a long-term static corrosion
20 test, we would not expect localized corrosion because the
21 corrosion potential is below the repassivation. If we, with
22 a laboratory instrument, polarize up to 100 millivolts to
23 force localized corrosion to start, we measure the current as
24 a function of time and currents going up is not a good thing.
25 Currents going up means the alloy is corroding. And so what

1 we find is when we polarize up into this region with our
2 potentiostats, the current increases, but then with time it
3 drops off significantly in the presence of nitrate. And so
4 in this particular set of environments, nitrate is not only
5 effective at higher levels of preventing localized corrosion
6 from starting, but it's showing a stifling or an inhibiting
7 effect.

8 This process of stifling and initiation is really
9 an area of active research and active needs and getting
10 better descriptions of just when that occurs. But in this
11 case, certainly in these types of environments, we see
12 evidence in this example of stifling occurring. Next slide.

13 Gets us to the calcium-magnesium-chloride-nitrate
14 brines. We spent a lot of time talking about that. Ron
15 wonders why, now. We didn't know why when we started into
16 those tests and all, and so it was important to establish the
17 behavior. We've beat on this all day long, so you know the
18 message here. You can choose acceptance of it, but the
19 chemistry is pretty clear. Calcium-magnesium-chloride-
20 nitrate brines are highly unlikely in the repository. If you
21 don't believe that or if you just want to know what would
22 happen if they did exist, these experiments were done. Next
23 slide.

24 In concentrated calcium chloride brines, the
25 nitrate-to-chloride ratio, again, is effective at high

1 temperatures. This is 160 degree data. These are the highly
2 concentrated, first deliquescent-type brines, calcium
3 chloride, if it were to exist. And at high nitrate values,
4 it's still effective at stopping localized corrosion. At low
5 nitrate, you could have some corrosion occurring if those
6 environments could persist. Next slide.

7 And this just--this is passive corrosion rates
8 here, but I just want to go back and remind you that nitrate
9 is very effective at temperature ranges between 100 and 160:
10 low, passive corrosion rates. Next slide.

11 Okay. The focus is on this Period IV that we're
12 calling it. When the waste package--when the drift wall is
13 below the boiling point, it's possible to get dripping
14 seepage from the drift wall if the waste--if the drip shield
15 is not there, capillary barrier is not there, if it hit a
16 waste package, what would happen? Several considerations
17 during that period. The first is, is the capillary barrier
18 or drip shield, are they effective? If they're not
19 effective, then over what area will seepage and distribution
20 occur? What's the composition of waters during that time
21 period, both the composition and concentration of those
22 waters? How does Alloy 22 behave in that? And we go through
23 this, what we'll call, the local corrosion fault tree, and
24 then come down into talking about damage evolution here.
25 Next slide.

1 We've talked a lot about this medium temperature
2 package. And this represents a realization of a
3 temperature/time curve, the waste package temperature.
4 Here's the matching drift wall temperature. And here's the
5 relative humidity. This is the hotter package, and this is
6 the colder package. For this mid-waste package--medium,
7 moderate waste package, it enters this Period IV after 750
8 years and the waste package surface temperature is 101
9 Centigrade. Relative humidity is 65 percent. It leaves that
10 period into a range of no corrosion, defined here by 90 C in
11 1375. So it's in this region for about 600 years.

12 The hot package enters that region at 1900. The
13 waste package is at 99 degrees Centigrade, relative humidity
14 56, and it leaves that period in 3,000 years. So, from the
15 period of 1900 to 3,000 or in this range temperature of waste
16 package continues to decrease over that time period until it
17 exits at 90.

18 For the cool package, we get into that region at
19 112 years. The waste package surface is 102 degrees,
20 relative humidity 72, and you would come out of that in 175.
21 So, depending upon the particular waste package that you
22 select and its thermal load and history, you can follow these
23 trajectories. Next slide.

24 We can take that information, and that's what Carl
25 did, to take that time/temperature history during this

1 critical period. We know the temperature at 750 years, we
2 know the relative humidity, and that picks a point over here.
3 So, at 750, this waste package is at 101 degrees, and the
4 relative humidity is 65. That's that point on this diagram.
5 So, you see what we're doing is we're matching the chemistry
6 constraints to the behavior of the waste package, and then we
7 can follow that trajectory of possible waters throughout that
8 time period. And then we can relate that back to our
9 expected corrosion behavior. So this particular package at
10 750 starts at this point. And then it continues to cool,
11 moving this direction in temperature. And the relative
12 humidity continues to rise, so it follows this trajectory.
13 And this is the point when it's at 90 Centigrade, that's at
14 1375. Okay?

15 So, these are the trajectory of temperature and
16 relative humidity. You can't just pick any temperature, any
17 relative humidity you want. It's fixed. Now the question is
18 what will the salts do, what will the environment do under
19 those conditions? And the damage that can occur is damage
20 over that 600 year period. You don't have 10,000 years for
21 damage. You've got this finite amount of time. Six hundred
22 years is a long time, okay? But it gets much better closer
23 to what corrosion engineers are sort of dealing with all the
24 time. Next slide.

25 So, here's our crevice corrosion decision tree. I

1 didn't talk to Mick before the conference. I didn't know he
2 was going to make a pitch for decision trees, but we decided
3 it would be useful also. This means no localized corrosion.
4 If there's a thermal barrier in place, no localized
5 corrosion. We've talked to you already about the
6 noncorrosive nature of the dust particles on the surface in
7 the absence of dripping. You don't get enough water, you've
8 got high nitrates, you're not going to form calcium
9 chlorides. Corrosion under those deliquescent conditions and
10 the absence of dripping are not an issue. They're an issue,
11 but they're not a corrosion problem, okay?

12 So, it's the dripping conditions that we need to
13 consider. If the thermal barrier is working, no corrosion.
14 If the thermal barrier doesn't work or we're beyond that
15 period, the capillary barrier, if it's effective, no
16 corrosion. If the capillary barrier and the thermal barrier
17 break down, and in that same area where seepage occurs, the
18 drip shield is not effective--or is effective, no corrosion.
19 If you defeat or have simultaneous co-located breakdown of
20 those three barriers, you could have seepage onto the waste
21 package. If the seepage on the waste package is a dilute
22 water, a carbonate water, a moderate nitrate water of the
23 sodium/potassium mixtures, they won't support localized
24 corrosion.

25 So, the only way you can get through this whole

1 line is for breakdown, breakdown, breakdown, seepage
2 occurring at that location and forming a low nitrate/sulfate
3 brine, and then you can have, you can initiate crevice
4 corrosion. Will you? Is the corrosion potential positive
5 enough? Are the crevices severe enough? If they aren't, no
6 corrosion. If they are, you look at evaluation of
7 initiation, propagation, stifling, and arrest, and you
8 determine the evolution of damage. That's the fault tree
9 that we believe makes sense to go through. Next slide.

10 So, in this critical period, this time period where
11 dripping could occur, seepage is possible, and you're at a
12 high enough temperature that Alloy 22 still is susceptible to
13 corrosion, you follow the corrosion logic fault tree, you use
14 the temperature and relative humidity, the package, to follow
15 trajectory of the types of environments. There are
16 thermodynamic solution constraints on the aqueous phase. The
17 amounts of salt and water and mass balances--you just can't
18 make up and hope you've got as much chloride as you want or
19 need. It has to be an amassed balance, somehow, in the water
20 that's coming into there. The same with the nitrate. The
21 mass balances have to fit. You determine the number of
22 noncorrosive solutions. There are a number of those. There
23 are some solutions that aren't.

24 When we go through that logic, the conclusion is
25 that massive large amounts of localized corrosion causing

1 penetrations of waste packages is not going to happen. We
2 just can't see that number and those conditions persisting
3 over a wide number of packages, wide amount of damage.
4 Isolated packages may be affected. Okay? We can't totally
5 take that off the table, but we do believe that that's going
6 to be a small number, a small amount. The question then is
7 where and how much? And that's some more analyses, but it's
8 an isolated number. Next slide.

9 Okay, some conclusions. Next slide. They're sort
10 of matching a bit here. At least I thought they might match.
11 In summary, Alloy 22 is a highly corrosion resistant metal.
12 That's confirmed in laboratory experiments and very harsh
13 environments. It's also verified and validated by industrial
14 experience with large engineering structures that are welded,
15 that are moved around, that are fabricated, put into place,
16 and at multi-species solutions, oxidizing. This sounds like
17 Yucca Mountain, harsh environments.

18 Yucca Mountain repository conditions, the waste
19 packages sit in air. The ambient solutions are dilute,
20 noncorrosive, but we've got to deal with these concentrating
21 factors. Where will they go? What sort of solutions will
22 they form? Next slide. Okay, we're going to change that
23 one, too, John.

24 Alloy 22 is a highly corrosion resistant material.
25 And these passive metals, coming back to here, we're talking

1 about a thick structure. It's a plate, 12-quarters thick.
2 That's a lot of metal. A quarter of that at passive
3 corrosion rates will last 16,000 years at .1 microns per
4 year. So, if it's passive and it remains passive, we win
5 hands down, no question, from a corrosion standpoint. The
6 question then is what about localized processes? Next slide.

7 There's a hierarchy of factors that prevent
8 corrosion. There's a thermal barrier, capillary barrier,
9 drip shield, and this highly corrosion resistant material
10 where no drips form on the package. We've got deliquescent
11 corrosion conditions that pertain and the conclusion is no
12 significant corrosion damage will occur under those
13 environments. Limited amount of water, noncorrosive
14 environments, high nitrates, not a problem. Where dripping
15 can occur, then you've got to evaluate the types of waters
16 that would pertain in there, and then you have to apply that
17 to the relevant times periods over which they can occur. You
18 don't have a choice of just saying they'll be there forever,
19 or they'll be whatever. They're going to be driven by the
20 temperature/relative humidity behavior. Next slide.

21 We have analyzed this in terms of five relevant
22 time periods, and we focused down to determining that the
23 Period IV when the drift wall is below boiling, the package
24 is above the critical temperature, and when the capillary
25 barrier/drip shield are not operative in that area, then we

1 have to analyze the behavior in that. And when we go through
2 that analysis in our logic/fault tree and so forth, we
3 conclude that there will be a minimum amount of corrosion.
4 Next slide.

5 No significant corrosion outside of Period IV.
6 Environments during Period IV will show a range of
7 corrosivity. There is a subset of those environments that
8 could support localized corrosion if there were crevices and
9 other conditions met. Alloy 22 is highly corrosion resistant
10 in many of those waters. The localized corrosion is
11 restricted in that time/temperature range. There are several
12 factors that, in fact, could impede the corrosion rate once
13 it's started. So, our overall conclusion is large areas, no
14 significant corrosion, isolated packages may be excepted.

15 Always/everywhere we believe is unrealistic and
16 just not supportable. Never/anywhere is closer to being what
17 we believe is the case, but we can't say that absolutely.
18 And so, sometimes in isolated spots, we may, in fact, get
19 that.

20 Okay, thank you very much. I appreciate your time.

21 LATANISION: Thank you, Joe. We began by saying we
22 wanted to have a very full and objective hearing of the
23 issues that were of concern to the Board, and you've
24 certainly given us a very full package here. In fact, so
25 full that I'm sure it's going to take some time for us to

1 digest all of the information that's present. But I do have
2 a couple of questions, and I think I'll exercise my
3 prerogative as Chair to begin. I see these other hands over
4 here, but I--

5 UNIDENTIFIED SPEAKER: No, you don't.

6 LATANISION: No, I don't. I do want to compliment the
7 Project for really very fully responding to the concerns we
8 raised. You folks have obviously done a lot of work over the
9 last six or nine months, or whatever. And I do want to
10 compliment you and the management of the Project for
11 following up.

12 Yeah, right. I mean, there is always a "but", but
13 this slide is useful in the sense that--maybe it was the
14 previous one, actually. I wanted to focus on the Period IV
15 segment of the histories. Was it a previous conclusion?

16 PAYER: It was this, maybe. John will find it. John's
17 a magician.

18 LATANISION: Yeah.

19 PAYER: Will this one work, Ron, or do you want the--

20 LATANISION: Well, actually it'll work. And it's in the
21 following sentence. You're basing a lot of your comments on
22 a critical temperature for localized corrosion of 90 degrees.

23 PAYER: Yeah, in this example, that's what we're using.
24 And I gave you a case for why that is.

25 LATANISION: Right.

1 PAYER: But that's--that's right now more Payer's--

2 LATANISION: No, that--

3 PAYER: --example case. But, you know, I--there is a
4 rationale for that. The Project has not selected an absolute
5 value.

6 LATANISION: Okay.

7 PAYER: And so that is a debatable point, but--

8 LATANISION: And that is the point I want to raise.

9 PAYER: Okay.

10 LATANISION: I mean, we saw some data yesterday from the
11 Project--sorry, from CNWRA that indicated that localized
12 corrosion could occur at temperatures as low as 60 degrees.

13 PAYER: And the consequences of that--

14 LATANISION: Right.

15 PAYER: --were it to be true, would be to move this
16 boundary out to 60. It would extend the time period and it
17 would extend this trajectory along that. And so, again,
18 you'd have to then consider do the environments stay in a
19 corrosive environment or not?

20 LATANISION: Right.

21 PAYER: And, you know, the stifling, arrest, all those--
22 all those sorts of things.

23 LATANISION: Right.

24 PAYER: But that's--you're right.

25 LATANISION: The question really has to do with the

1 uncertainty in your choice of a number. And I think in a
2 sense you've already answered that. It is at this point
3 still an evolving discussion, as I understand your response.

4 PAYER: I think so. I don't know that the Project has
5 decided to use that cutoff particularly.

6 LATANISION: Yeah.

7 PAYER: Bob can get more into that issue about how they
8 actually work it into TSPA now. But certainly from a
9 corrosion science and behavior standpoint, it's a real
10 concept.

11 The other, Ron, as you well know, these
12 environments aren't just a material property. Taking a
13 nitrate-to-chloride ratio at 100 Centigrade, the nitrate-to-
14 chloride ratio we measure that you need is .5. At 80
15 Centigrade, that's dropped down to .15. And so less nitrates
16 will, you know, will still save you at that condition. And
17 so, the issue is where are you in these realistic type
18 environments?

19 LATANISION: I'll buy that. Let me ask one other
20 question. I'd like to go to Slide 51.

21 In the cyclic polarization diagram that you show
22 there, the repassivation potential would normally, if it were
23 a true repassivation potential--I want to understand what I'm
24 looking at exactly--when you have achieved the repassivation
25 potential and you drive the potential in a more reducing

1 direction, you--I would have expected to trace out the
2 passive current density, and yet you show what looks like a
3 cathodic current density there.

4 PAYER: Well, I think you do. You start here at the
5 corrosion--well, the way these tests are run is you--Raul,
6 tell us exactly how to test a run. I mean, but you get a
7 cathodic branch passive current and then so forth, but--

8 REBAK: This is Raul from Livermore.

9 And, yeah, they--we start the cyclic polarizations
10 at the potential below the corrosion potential--

11 LATANISION: Right.

12 REBAK: --instantaneous corrosion potential. We go
13 until a--you know, you go up until a breakdown happens, and
14 then by ASTM standard G-61, we reverse that to five million
15 per square centimeter, and goes down--

16 LATANISION: This is in a crevice geometry; right?

17 REBAK: This is--all are crevice specimens, yes.

18 PAYER: --this, yeah.

19 REBAK: We have a specimen with 24 crevice spots on each
20 one.

21 LATANISION: Okay. Okay.

22 REBAK: So, and then you reverse and then whenever that
23 --the reverse current, it cuts the upright current, we call
24 that the--the repassivation potential or the crossover
25 potential. And this is the data that the Project is using

1 for repassivation potential.

2 PAYER: You're probably used to seeing these people stop
3 plotting it right here.

4 LATANISION: No, I'm just curious--

5 PAYER: But if you keep doing that, that keeps running
6 over onto the cathodic side.

7 REBAK: Exactly. Exactly.

8 LATANISION: I'm really curious about the fact that
9 you're--if you suppress the potential more to a value that is
10 more reducing--

11 REBAK: Yes.

12 LATANISION: --you're actually see a higher cathodic
13 current density, and so--

14 REBAK: Yes.

15 LATANISION: --therefore you're plotting a cathodic
16 current density.

17 REBAK: Yeah, exactly.

18 LATANISION: That suggests there's a pretty markable
19 shift in the open circuit potential.

20 REBAK: Yes.

21 LATANISION: Which surprises me. That's a pretty
22 dramatic shift.

23 REBAK: Yeah, but this is how this technique is done,
24 and, you know, you always have--when you have that crossover
25 is because you are achieving what people call the second

1 corrosion potential--

2 LATANISION: No, Raul, to be really clear on this, my
3 experience is that if you find that the anodic current
4 density remains typical of the passive current density,
5 you're likely to track out the remainder of the anodic
6 polarization diagram. If you have a very high--a very high
7 rate cathodic process, then you begin to see that. And it--
8 what I'm seeing here is a really dramatic shift in the open
9 circuit potential, far more than I would have imagined. And
10 given the nitrates or oxidizers, maybe I should have
11 imagined.

12 PAYER: Dave--

13 LATANISION: But I'm surprised by that.

14 PAYER: Dave Shoesmith?

15 SHOESMITH: Dave Shoesmith, University of Western
16 Ontario.

17 When you take in the polarization tests, when you
18 take the potential so positive--

19 LATANISION: Yeah.

20 SHOESMITH: --you're actually probably hitting the
21 transpassive region, which means you are inducing a whole
22 series of defects in the general passive area at the same
23 time that you are initiating the localized site. And on the
24 recovery, most of the passive area, the corrosion potential
25 has gotten much more positive. And, therefore, you see that

1 effect, stop the repassivation potential, but you also see
2 the very defective passive film that you have induced by
3 going very close to transpassivity. I think that's what we--

4 LATANISION: I hear what you're saying, and I don't want
5 to prolong this. I'm going to need to think a lot more about
6 this because that surprises me.

7 David?

8 DUQUETTE: Just point of clarification. Duquette,
9 Board, a point of clarification on that.

10 It's the nature of the test, having done several
11 thousands of these for the Navy not too long ago. The
12 problem is that the test is done rapidly enough so that you
13 don't really repassivate the inside of the crevice. And so
14 you've--that's your new corrosion potential, which is way up
15 in that area. And so it's because the--you still have the
16 acidic. If you stop the test for awhile, as we sometimes
17 have done, let it come back to some steady state, you will
18 retrace the passive--

19 LATANISION: Okay. .

20 DUQUETTE: --passive current again.

21 LATANISION: All right. I'll take--

22 PAYER: We're getting a little detail here--

23 LATANISION: Yeah, but that's--

24 PAYER: You generalists in the audience, we
25 electrochemists get really excited about all the (inaudible)

1 on these curves. I mean, they all are like, you know, like
2 our children here. So, we have to--

3 DUQUETTE: Yeah.

4 LATANISION: Go ahead.

5 DUQUETTE: Duquette, Board, again.

6 Could you go to Slide 48? I want to clarify
7 something in corrosion science here. Okay, when you have N
8 equals 0.5, that's a parabolic equation that's usually
9 controlled by diffusion through some kind of a film.

10 PAYER: That's one of the ways it can be--

11 DUQUETTE: You--you--

12 PAYER: --or diffusion out of a crevice.

13 DUQUETTE: Fine. But you and I both know that if the
14 situation is acid enough, that you can get an N equal to 1,
15 where your reaction-rate controlled rather than diffusion
16 controlled. And so this assumes that you get a diffusion
17 driven process. I don't think you do, inside a crevice
18 that's very acid, if the crevice becomes very acid. In fact,
19 we've got some experimental data that indicates that's not
20 true. What typically happens is somewhat the reverse of
21 that, although for artificial reasons.

22 During the initiation period, the corrosion rate
23 starts out slow until the solution inside the crevice reaches
24 steady state and--or reaches a kind of steady state. And
25 then it takes off on a linear basis because there's nothing

1 to cause diffusion in that case. It depends on the shape of
2 the crevice and a whole bunch of other things.

3 PAYER: If it does that--

4 DUQUETTE: But corrosion rates don't always go down in
5 crevices. In fact, quite often they go up from the time the
6 crevice corrosion initiates, and they do reach a constant
7 value rather than--reach a constant value and then
8 decreasing.

9 PAYER: Yeah, well, let me just pass it on to Dave
10 Shoemith because he's done some of--a lot of this analysis,
11 but--

12 SHOESMITH: Well, Dave is quite correct in--Dave
13 Shoemith, University of Western Ontario.

14 He's quite correct that the current will go up when
15 you first initiate. That's generally related to the fact
16 that you're activating a wider area of the crevice, so it
17 spreads. It will, in fact, the current will go up. But if
18 you hit any kind of IR or diffusion control, which you have
19 to hit eventually in a narrow geometry, the current has to
20 turn over the top. And the only way I've ever seen or know
21 of in the literature where you can get above .5 is if you
22 have an intergranular attack in a sensitized material. I
23 just don't see how you propagate it for long periods at a
24 linear rate or any rate beyond an exponent of N equal to .5.

25 DUQUETTE: We--

1 SHOESMITH: I don't know of one in the literature other
2 than intergranular attacked--intergranular sensitized sites
3 that do that.

4 PAYER: Dave, are you talking about crevices being
5 driven with a potentiostat where you're maintaining all the
6 cathodic current you need?

7 DUQUETTE: No, actually these are crevices driven by a
8 very strong oxidizer, ozone in that particular case.

9 PAYER: Okay, fair enough. Fair enough. This a cartoon
10 of that crevice. And I guess the point here is that what
11 we're talking about is diffusion in and out of this crevice
12 as a potential reason for why these bend over. We see the
13 same kind of behavior in some pit growth. But there's other
14 processes that can go here. That can. We're not saying
15 universally, but that can affect arrest, stifling, and so
16 forth. And, again, it's going to be a function of the
17 corrosivity of the environment. But we will say that in a
18 wide number of stainless steel passive metals that this type
19 of behavior is seen and reported. We're not saying it's
20 universal.

21 DUQUETTE: Duquette, Board, again.

22 Again, I don't want to discuss all the science
23 here, but the fact of the matter is it depends on the time
24 scale and how rapidly the crevice sets itself up. I mean,
25 obviously David Shoemith is correct. Eventually there's

1 going to be some IR considerations or some diffusion
2 considerations, but they can take very long periods of time,
3 depending on how long it takes for the crevice to reach some
4 kind of steady state.

5 PAYER: Fair enough.

6 DUQUETTE: Now, we're talking about samples that are
7 going to be in place for very long times.

8 PAYER: Fair enough. The--let me also just reiterate
9 that this whole issue of stifling, arrest, initiation,
10 propagation, what are the rates is an area of active research
11 in the Project, and I anticipate it will continue.

12 DUQUETTE: Can we go to slide 22, please? Now, these
13 corrosion rates aren't very high, but a great deal of issue
14 has been made about the nitrate-to-chloride ratio. And if I
15 take a look at the data at 140, and I understand that those
16 can't exist at Yucca Mountain, but I just want to point out
17 that the data aren't always as neat as they could be because
18 if I look at the nitrate-to-chloride ratio for the bottom
19 one, which is 6.7, I have a much higher corrosion rate at the
20 same temperature and presumably the same environment than I
21 do with a ratio of .05. And so there, that seems to be a
22 reversal of trend. Even though those rates are low, there is
23 some confusion, I think, in that--I wouldn't say confusion,
24 but, at any rate, the nitrate isn't always an inhibitor.

25 PAYER: Greg Gdowski, is this environment--that's very

1 close to saturation; right? It's 6.7 nitrate-to-chloride
2 total molality of 9.6 at 120--140.

3 GDOWSKI: No, I think, it's--

4 LATANISION: Greg Gdowski?

5 GDOWSKI: Oh, it's Greg Gdowski.

6 No, I don't think that's quite the--

7 PAYER: Okay, fair enough. Oh, well.

8 (Pause.)

9 DUQUETTE: Okay. I think I'll pass for right now. I
10 want to think about some more of my questions.

11 LATANISION: Okay. Dan Bullen.

12 BULLEN: Bullen, Board.

13 Can we just go to figure 26? Just a quick question
14 here. As you take a look at the seepage water per year per
15 waste package for the time periods where you take a look at,
16 you know, the 2 liter, 20 liter, 40 liter, that assumes no
17 diversion of water from a hotter to a colder waste package or
18 any lateral diversion along the drift?

19 PAYER: Bo? The question was does this take account for
20 any lateral diversion from a hotter to a colder package or
21 along a drift? Is that--did I catch that, Dan?

22 BULLEN: That's correct.

23 BODVARSSON: Bo Bodvarsson, Lawrence Berkeley Lab.

24 It does not take that into account. This is just
25 directly seepage.

1 BULLEN: Thank you. Can we go to figure 67?

2 Just a quick question. As you track these
3 trajectories with respect to time, are these trajectories
4 identified for, say, a mill-annealed type material, or do you
5 have--would you expect a change for cold-worked or welded or
6 fabricated materials, or do you think everything would be
7 almost exactly the same?

8 PAYER: The trajectory would be exactly the same. Those
9 wouldn't change, I don't think, the local temperature/
10 relative humidity.

11 BULLEN: Okay. How about performance--

12 PAYER: The corrosion--the corrosion behavior that you
13 then get out of this would--that's a second step. I mean,
14 this tells you the temperature/relative humidity, and you've
15 got to go to what the starting composition is to see where
16 that change is. So, that's not accounted for in here, but it
17 wouldn't change this trajectory.

18 BULLEN: Bullen, Board.

19 Would you expect it to change performance
20 significantly?

21 PAYER: It may. There are cases if you, you know, if
22 you age Alloy 22 at high temperatures, the Center's done this
23 on a few occasions where they heated to--well, let me--I'll
24 pass the baton to Tammy here. She can tell you more
25 specifically, but if you artificially age them at high

1 temperatures, you can cause deleterious phases. What we've
2 found in lot of these localized corrosion experiments that
3 contained welds is the welds, if anything, were a bit more
4 corrosion resistant than. But, Tammy, you want to reiterate
5 the--the question was when we're following these
6 trajectories, what would we say about performance of welds or
7 mill-annealed or--

8 SUMMERS: Summers, Lawrence Livermore.

9 Following those trajectories, the performance that
10 you saw today, for one, all that data was weld data. So,
11 that is the behavior you would expect for welds. For aging,
12 I think, you know, I could pass the baton. We don't--because
13 Raul knows better the corrosion behavior or the response to
14 aging. But we don't predict any aging. When you look at the
15 Center's data, the 8-70 for--five minutes. That--that is a
16 higher temperature phase. That is not--we don't predict to
17 be stable at the lower temperatures.

18 BULLEN: Bullen, Board.

19 Maybe I wasn't as explicit as I thought. I guess
20 the question is would you expect the range for which the
21 corrosion would be a potential problem with respect to
22 chloride/nitrate ratio to change? You mentioned the
23 temperature change--

24 PAYER: Oh, I see. I see where you're going. I guess
25 what we say for the crevice corrosion, the nitrate/chloride

1 ratio, as Tammy suggested and Raul mentioned, those contained
2 welds. I mean, so there was a weld, there was a heat-
3 affected zone there, and they were covered. Some of the
4 crevice feet were on base metal, some were on weld metal, and
5 some were, you know, just across that. So, based on that set
6 of tests, anyway, there wasn't any high susceptibility of
7 those welds.

8 Now, if you went through other types of thermal
9 treatment or heat-affected-zone-type treatment, you could
10 affect this cutoff temperature. I could imagine a critical
11 temperature decreasing if you increase the susceptibility of
12 the material somehow. We've not seen that, but, you know, it
13 could happen.

14 BULLEN: Bullen, Board.

15 That was actually the question I was trying to get
16 at--

17 PAYER: Okay, so then that--yeah, that would--and what
18 that would do is you would just track this further. You
19 would stay on this same trajectory. You would just go
20 further.

21 BULLEN: Okay.

22 PAYER: Because it's defined. That cutoff point there
23 is defined by 90 C.

24 BULLEN: Okay.

25 PAYER: So if you said 50 C, you'd follow that

1 trajectory out to here.

2 BULLEN: Okay. Bullen, Board.

3 Last question, and this was an obvious one that I
4 have to ask. Is the certainty of waste package performance
5 greater or lesser if you completely avoid Region IV? And
6 I'll point to figure 75, which is your last conclusion, which
7 I really liked, which says "never/anywhere".

8 PAYER: Okay, repeat your statement again--

9 BULLEN: Is--is--

10 PAYER: I want to make sure before I say yes or no, I
11 want to make sure I hear the wording because--

12 BULLEN: Okay, I did not say uncertainty. I said is the
13 certainty of waste package performance greater or lesser if
14 you avoid area--or Region IV?

15 PAYER: I think if you could completely--I guess my
16 quick answer to that would be yes. It would be more certain,
17 if you could avoid Area IV because that's the only area that
18 we see where the dripping can affect the chemistry and so
19 forth. You either have the thermal barrier and--

20 BULLEN: Thank you.

21 PAYER: Fair enough.

22 LATANISION: Norm?

23 CHRISTENSEN: Joe, I want to go back to a point you made
24 that I just could maybe pick up on, and it's the question of
25 what is a--what is a crevice? And, being completely outside

1 this area, I guess the--is the issue that the EPRI folks
2 brought up yesterday, that is the diffusion of oxygen, for
3 example, the limiting factor that determines a crevice? Is
4 that--try to tie those two things together. Is that the
5 issue? And then maybe to ask your opinion of their approach
6 to looking at, particularly, the issue of oxygen diffusion
7 rates.

8 PAYER: Answer the last part first. I'm a real fan of
9 that approach. I think the whole area of corrosion science
10 can benefit from more of that. And in my mind, the Yucca
11 Mountain Project could really take a leadership role in the
12 community of--I think it's important to Yucca Mountain. I
13 think it's important to the whole community.

14 You could refer to this a bit. What sets up the
15 localized corrosion is this area within the crevice becomes
16 active, and it stays passive out in here. In a phenomena-
17 logical standpoint, what happens inside that crevice--first
18 of all, when you start off, the solution in the crevice is
19 exactly the same as out here, but inside--and so you've got
20 little local anodes and cathodes going on. You've got some
21 dissolution of the passive film. You've got some reduction
22 of oxygen in the environment that's going on. That's
23 happening outside the crevice on the surface and inside the
24 crevice. As a feature of that, you use up the oxygen in the
25 crevice. It's consumed. And it can only be replenished then

1 by a transport process, diffusion into the crevice.

2 The other thing that happens in the crevice is
3 you're putting metal ions into solution, and you get to a
4 point where the metal-ion concentration will react with
5 hydroxyl ions and precipitate hydroxides. That drives the pH
6 in the crevice down. You're taking hydroxyl ions out. The
7 acidity of the crevice becomes greater.

8 Also, while you're putting metal ions, cations,
9 positive charged ions, into this solution, you have to
10 maintain electrical balance. So, some negative charge,
11 anions, have to come in there and chloride is one of the most
12 mobile of the anions. And so with time, you start off, the
13 crevice chemistry's the same as the bulk chemistry, but with
14 time, the oxygen goes down; the acidity increases; and the
15 chloride level increases; and all that drives you toward this
16 critical corrosive chemistry that you have to maintain.

17 Now, if this was permeable to oxygen or other
18 species, then you have to work that into the model to
19 determine how that's going to affect this critical crevice
20 chemistry. That's the sort of 20,000 foot level. David, do
21 you want to add anything more to that from a--

22 So, the geometry of this crevice affects the
23 transport in and out of it. There are electrochemical--I
24 mean, you can see there's a lot of chemistry and metallurgy
25 and electrochemistry that's going on in this process.

1 SHOESMITH: David Shoesmith, University of Western
2 Ontario.

3 No, Joe, that was very good. I just wanted to--I
4 had one point, which is an unknown from the corrosion chemist
5 point of view. The black area that Joe shows is really the
6 area that we're interested in. And what you're really
7 interested in is how vertically deep is it going to go,
8 whereas a lot of crevices like to go horizontally deep.
9 Okay, so horizontally deep then commonly leads to the
10 increase in the currents, and it's the metallurgical features
11 of the material which stop it going vertically deep. And we
12 don't yet know what the relationship is for Alloy 22, whether
13 it's going to spread or penetrate.

14 The suspicion is because it's such a good material,
15 it has to be spreading. And I think Roger Staehle had some
16 evidence to suggest it was because he keeps going through
17 this pit nucleation and inability to grow process, which
18 other people have seen. But that's still an unknown as to
19 how that's going to propagate.

20 LATANISION: Richard?

21 PARIZEK: Parizek, Board.

22 On Page 32, you're talking about dust, and then
23 implied that there'd be only about a small amount of fixed
24 dust once the doors were closed on emplacement drifts. And
25 dust would be related to construction in nearby drifts that

1 are going on, moving waste packages down, you know, into the
2 emplacement location. There's ventilation dust during the
3 time when things are operating there. Then there's drift
4 degradation, debris also, even though there's a stainless
5 steel sheathing that's supposed to be present as louvers.
6 So, I can imagine, there's debris that can still get in the
7 waste packages. I think of the heater experiment where you
8 see rock debris on the floor and on the waste packages.

9 PAYER: Correct.

10 PARIZEK: And so the question about all of that is does
11 the Department plan to do something with this sort of debris
12 as crevices to see if, in fact, you know, dust maybe was a
13 bad example, but rock debris maybe that's not a good crevice
14 compared to what you have in mind, but will you do
15 experiments with this to see if this is a non-problem?

16 PAYER: Let me cover that. Let me comment on the front
17 part of it. The important point, we think, is that when the
18 drifts are sealed, you then have no longer a source of
19 ventilated or construction dust into the packages. Whatever
20 you have there is there. But that's a finite amount then to
21 determine mass balances and all those other things that can
22 go on. I'm told by the rock mechanics folks, and Bo showed
23 some information on drift degradation, how much drift
24 degradation is likely to occur under different events, that a
25 rock falling from the wall and hitting the drip shield or

1 hitting the floor is not going to create very much small
2 particulate. It might break in half and so forth.

3 The dust creating feature is during the actual
4 fracture event when you've got these rocks slipping aside
5 each other and you've got a corrosion guy explaining rock
6 fracture to you here. So, you know, but--but the point is,
7 you don't generate a lot of fine small particle rock.

8 The other point of that is that Zell Peterman
9 reminded us that the composition of that rock drift-to-drift
10 and zone-to-zone is very uniform and it's not very corrosive.
11 And so that's sort of good dust and--if you would. So,
12 there's a finite amount of that.

13 Coming to your last question is will the Project
14 and will DOE pursue this issue of crevice formation by dust
15 and rock and metal-on-metal? Margaret Chu's corrosion
16 advisor certainly will recommend that. And, you know, no, it
17 is in the plans. It's an important issue, we think, you
18 know, that is worthy of being addressed. We don't think it
19 necessarily has to be addressed prior to license application,
20 but it's one of these things that you would certainly like to
21 know more about.

22 PARIZEK: Parizek, Board.

23 My good wife is here with me listening to all of
24 this, and she remains interested in this. Meanwhile, the
25 house is idle and we'll get home and it'll be dusty and

1 she'll clean up the house again of this dust that's been
2 there since we left. And so the question is there's also
3 this air circulation within the drifts that stirs up dust, I
4 guess, that's in various locations that gets re-moved, I
5 guess, re-transported around. Is that part of the--

6 PAYER: My sense of that is that those air circulation
7 currents--and, again, I'm slightly beyond my fringe of
8 comfort here, so somebody can jump in--but the circulation
9 currents we see, the natural convection and the movement
10 along the drifts, I don't believe are going to be
11 transporting very much dust. I don't see, you know, a little
12 cyclone wind tunnel in there type of a thing. Do you have
13 high nitrate dust in your house?

14 PARIZEK: I think we have--

15 PAYER: If you do a lot of--if you do a lot of, you
16 know, wood refinishing or something like that, you don't.
17 You've got problems.

18 PARIZEK: Well, that's--I'll send some dust. You can
19 test it. Parizek, Board, again.

20 I guess your fault tree was independent of EPRI's
21 because your yeses were good, and their nos were good. And
22 that's opposite so--

23 PAYER: Yeah, we have to decide on which is yes, good or
24 bad.

25 PARIZEK: There was also--I liked your analog or analogy

1 with the coins. It gives a real good sense of how thick
2 something is and rates at which things happen. So, in terms
3 of understanding from the public, it's a useful idea. And I
4 would be most interested in knowing what DOE's confirmation
5 testing plan might include based on today's general, you
6 know, all the presentations that everybody's given. There
7 must be lots of bits and pieces of work that needs to be done
8 to add further understanding or confirm the works that's been
9 done to date and be--I'm sure the Board's going to be anxious
10 to learn more about these details as we go along.

11 PAYER: And then perhaps Bob can comment on that in the
12 wrap-up period.

13 PARIZEK: Yeah, and--

14 PAYER: Or somebody. Not me.

15 PARIZEK: And, Parizek, Board.

16 One more point. There seems like when you start a
17 crevice, I got the feeling that once you've got one, they
18 sort of self-propagate themselves. They sort of--they eat
19 their way--

20 PAYER: Well, they can--

21 PARIZEK: And the question is, at the different time
22 periods when--at 750 years to 1375 years when you really
23 can't have anything bad happening, the point is if you start
24 a crevice and it didn't finish, can it pick up and take off
25 at a later date? So that there are these periods you think

1 you're home free, but maybe the damn crevice sort of kicks in
2 again for reasons you didn't expect and it--

3 PAYER: It could persist beyond that to some extent, but
4 not forever. And there are also--there are a lot of
5 processes. The other point that hasn't really been developed
6 and elaborated on here is when we do the crevice corrosion
7 tests in a laboratory and we're doing them in immersed
8 environments and you've got a large amount of electrolyte out
9 here. And when we do the accelerated tests in the
10 environment, we do it with a potentiostat. So all of the
11 dissolution current in here, all of the anodic current from
12 the metal dissolution has to be balanced by cathodic current
13 out here. And when we run that test in the laboratory, we
14 supply as much of that as necessary to keep the crevice
15 running.

16 There are significant cases where the amount of
17 cathodic reaction out here causes stifling of the corrosion
18 rate. You can only--and now we're talking about thin layers
19 of dust or deposits on metal surfaces, that in a very
20 qualitative sense, I cannot imagine, would be a very
21 effective cathodic surface to support, you know, localized
22 corrosion over a long rate. That factor and factors like
23 that have really not been taken into account and backed up
24 then with some experiments and solid models.

25 PARIZEK: Parizek, Board.

1 Just one more point about the idea of the
2 confirmation testing programs. The things that are still not
3 yet known or well-known, and that was the role, for instance,
4 of the nitrates and how does that actually cause protection?
5 I mean, it seems like if it causes protection, that's good
6 enough for government work. On the other hand, maybe why it
7 does is, you know, part of a fundamental understanding that a
8 program would be striving for.

9 PAYER: Sure.

10 PARIZEK: And the whole idea of passive films is to how
11 long are they likely to be around? You're talking about a
12 passive film you'd like to have going into the 10,000 year
13 time frame. And so there may be mechanisms that help break
14 it down for reasons that nobody understands for the same
15 reason that nitrate is good. You know, the idea is the
16 fundamentals here. So we're really interested in where to go
17 with some of these fundamental--

18 PAYER: Well, I'm--

19 PARIZEK: --studies. And I would hope it's in the
20 confirmation or the research and science and engineering or
21 something here--

22 PAYER: There's two arenas in which we can imagine
23 making progress in that area. One is some of the activities
24 in performance confirmation. But I think the things you're
25 touching on now fit much more in what we're defining as

1 Margaret's science and technology program. And that's very
2 much where a lot of that work will be focused is a more
3 fundamental understanding of these types of electrochemical
4 processes and transport processes. That, to my mind, is a
5 clear definition of things that fit in science and
6 technology. I would suggest getting a lot of universities
7 working very hard on this. And a couple national labs,
8 maybe.

9 PARIZEK: And, Parizek.

10 One more point. I feel better today than I did
11 yesterday. Yesterday I thought maybe I felt like posing some
12 of the early questions was dumb. But in the long run, this
13 whole process has resulted in a clearer understanding, a lot
14 of detail, a lot of effort on the part of a lot of people.
15 And it seems to me it's adding a lot of credibility to the
16 program on how metals are likely to behave. So, I appreciate
17 the--

18 PAYER: Well, we're approaching beer time, and let me--
19 let me compliment and, you know, the Board for your report.
20 I mean, it caused a lot of excitement, let me tell you that.
21 It got the e-mails lining up and a lot of conversations.
22 But I know having talked to some of you on-line and off-line
23 that one of your greatest intents was to try to stimulate and
24 catalyze addressing some of these issues. And, Ron, you're
25 exactly right. A lot of putting this whole thing together,

1 there's--progress has been made of understanding the
2 processes. We're quite pleased with the way it's come
3 together and where the story is now, to be quite honest. I
4 mean, that's why we can stand up here and make these kinds of
5 conclusions. But you were catalyst in doing that. And, you
6 know, so we thank you from that standpoint.

7 LATANISION: As Chair of the session, however, Richard,
8 I just want to say we're nowhere close to beer time yet.

9 PAYER: That's right.

10 LATANISION: We've got a lot to go. Dave, you have a
11 question. And then I want to make sure that we do--

12 DUQUETTE: Thure does, too.

13 LATANISION: And Thure. And then I want to make sure we
14 leave a moment or a few minutes for the audience. So, let's
15 start with Dave.

16 DUQUETTE: Duquette, Board.

17 It's just a point of clarification. Slide #58,
18 please. That's the data that shows the chloride
19 concentration and so on and so forth.

20 PAYER: Correct.

21 DUQUETTE: What environment were the DOE tests run in?
22 Is--I mean, we know that the CWNRA did those in magnesium
23 chloride, I believe.

24 PAYER: Yes.

25 DUQUETTE: And what was the environment that was used

1 for these tests as part of--

2 PAYER: Tammy, Raul, do we--

3 DUQUETTE: --by the Department?

4 REBAK: This is Rebak, at Livermore.

5 Both the Center and our data is for sodium chloride
6 solutions.

7 DUQUETTE: For sodium chloride?

8 REBAK: Yes, pure sodium chloride.

9 PAYER: Straight sodium chloride of this molality. And
10 the temperatures, this is the Ecrit 95 for the Center, and 90
11 for the, I guess, the--for the Livermore data, is that--

12 REBAK: Yes. All Livermore data, 90 degrees C.

13 DUQUETTE: Okay, thank you. It was just a point of
14 clarification.

15 LATANISION: Thure?

16 CERLING: Cerling, Board.

17 I'm glad that 43 is still up because one of the
18 things that it chose is a difference in chemistry, as you
19 pointed out, between the bulk solution and the solution in
20 the crevice. And so what my question has to do with, what
21 happens to the chloride-to-nitrate ratio in the crevice as it
22 propagates and how does that compare to the bulk solution
23 composition?

24 PAYER: The chloride-to-nitrate ratio--or the nitrate-
25 to-chloride, whichever side you want to do that, but more

1 nitrate is good--helps to define the conditions in which
2 you'll initiate this crevice corrosion. I don't know that we
3 have information on the effect of nitrate chloride once you
4 initiate it in the propagation mode. Do any of you folks
5 know of any data specific or general in this?

6 REBAK: This is Rebak, Livermore.

7 Also, we didn't do any data, but there is some
8 Center data that I presented a couple of years ago at the MRS
9 meeting in Boston and where they showed that sometimes they
10 initiate the crevice, and then they add the nitrate, and
11 nitrate actually suppresses the growth of the crevice.
12 That's been reported before.

13 SHOESMITH: Yeah, Dave Shoesmith, University of Western
14 Ontario.

15 Just to back that up, although the observations on
16 Alloy 22 might be sparse, there are observations on other
17 materials, oxo-anions when they get inside the crevice can
18 stifle it.

19 CERLING: But they have to somehow get inside the
20 crevice?

21 SHOESMITH: Yeah, if you were to look at the transport
22 number for chloride and nitrate, they're not that much
23 different. Chloride as preferential, but only to a small
24 degree. So, if this is an ionic migration process into the
25 crevice, there's no reason why you should discriminate in a

1 major sense between chloride and nitrate. It will, but not
2 to a major sense.

3 CERLING: And then just a question as very much a non-
4 corrosion kind of person, you made the comment about the
5 critical temperature being 90 degrees or whatever the
6 temperature is. And so my question is if a crevice has
7 already been initiated and it goes through that temperature,
8 will it continue to propagate or does that basically kill the
9 crevice growth?

10 PAYER: People do experiments where they intentionally
11 start a crevice, as we did there, and then lower the
12 temperature and see where it will arrest. So, there is an
13 arrest point. I'm not sure exactly where it is for these
14 sets of conditions we put here.

15 CERLING: Thank you.

16 LATANISION: Let me ask whether there are any questions.
17 Roger Staehle?

18 STAEHLE: I have a few comments. You can turn off the
19 slides. I think we've all had enough slides. I thought I'd
20 talk with just plain words and say a few things.

21 Historically, the process of prediction is
22 basically based on several important ideas. One is defining
23 the local environments. Until you define the environment,
24 you can't define the corrosion process. The second is that
25 you need to define the material. What is the structure and

1 properties of the material? And third is you need to define
2 the modes of corrosion and the dependencies of the modes on
3 temperature and stress and so on.

4 So, in 2001, there was a very nice meeting at the
5 Case Western Reserve that I think Joe hosted and brought
6 together many of the actors in this program. And I pointed
7 out several things there at that time that, first of all,
8 there had been to date no accelerated tests. By 2001, there
9 were no serious, if any, accelerated tests on the materials
10 of construction to the question of the heated surface. And
11 third, there were no serious surface definitions of what's on
12 the surface. And so I was concerned that without those kinds
13 of acknowledgements that you couldn't get very far.

14 And so the Nevada Program that was set up started
15 to answer some of these questions, and not to say that
16 Livermore didn't also start to work on them, too, but Nevada
17 Program developed an accelerated testing program. They
18 developed a program to look at surface environments. And
19 they developed a program to define the mode of corrosion of
20 C-22. And, so far, we've made a lot of progress. I won't
21 say that we're doing all the things we know how to do, but we
22 are doing some things.

23 For example, we have developed an accelerated test
24 approach. Not everybody, of course, agrees with it, although
25 it's not too different from what Livermore seems to develop.

1 We've developed a method for analyzing surface chemistries.
2 We have started to define the rates of corrosion as a
3 function of primary variables. And, again, there's a lot
4 more we know how to do that we haven't done. And so, having
5 identified those major issues and prediction, the Nevada
6 Program has set about to answer some of those questions.

7 Now, it seems to me that the questions that have to
8 be answered, that is the engineering problem, essentially are
9 the fact that we have a waste package; it's in a rock full of
10 chemicals, and rocks full of chemicals; it's got a heated
11 surface; it has an oxygen environment; and it's got water.
12 And those are the main components of this enclave that we
13 have to deal with. And the issues here have to do with how
14 this is all distributed, but that's the system that we're
15 working in. We have to acknowledge that system.

16 Now, one of the things we know right now next is
17 that C-22 can perforate. It is not always passive. And it
18 can perforate very, very rapidly in environments that can be
19 reasonably argued to be relevant depending on how you define
20 the surface. Third is that there are multiple paths. There
21 is not one path to an answer here. There are multiple paths.
22 And I don't see the acknowledgement that we're dealing, not
23 with a single path, with multiple paths.

24 Next, we're dealing with a matter of complexity.
25 This is not a simple set of four domains. It's not a simple

1 set of a passive metal, but it's a complex system. And
2 complex systems need sets of approaches, not single
3 approaches. And I'm concerned that I don't see that kind of
4 an idea. Complex systems need bounding approaches, not just
5 one approach, but boundaries. And I don't see an effort to
6 define those kinds of boundaries with respect to corrosion.

7 And, finally, in the engineering situation, there's
8 no inspection. In a nuclear plant, you would inspect the
9 nuclear plant once every two years, and you kind of know
10 what's going on. But here, you don't inspect the once every
11 2 years or 10 years or 100 years or 10,000 years. You just
12 don't inspect it. So, whatever you do in the beginning is
13 what you're going to have to live with, which is a totally
14 different engineering problem than anything I think we've
15 dealt with in the past.

16 Now, I have some very specific comments on much of
17 what's been said. I have a set of comments and objections to
18 what has been said by many of the speakers that I won't bore
19 you all with, but I don't find as much satisfaction in what's
20 been presented as some of you do, and maybe you don't either.
21 But, for example, I'm concerned about the idea that the
22 passive film is pervasive. It's not pervasive. The passive
23 film is a special case and a 10 to the minus 7, 10 to the
24 minus 8, and per square centimeter, is not the general case.

25 I'm concerned about the concept of nitrates and

1 sulfates and carbonate inhibitors. Those terms of inhibition
2 are just wrong. They are specific for certain cases, but not
3 for all cases. And in this case, I don't think they're all
4 that applicable in the first place.

5 Now, I don't think we can also make progress by
6 calling this a corrosion resistant alloy. It's an alloy.
7 It's got certain properties and certain environments. But to
8 call it a corrosion resistant alloy, I just think is a big
9 mistake. I think as an alloy that will work under some
10 circumstances, and only those circumstances. I think this
11 concept of realism and what--let's do something realistic, I
12 think we have to reexamine the concept of realism. And
13 realism is what to somebody fits his predisposition, but not
14 necessarily realism. So, we have a set of realisms here, not
15 all of which are congruent. And I hear a lot of the terms
16 like "I believe" and "I argue", but I don't hear so much
17 facts, but I hear a lot of, it sounds like, a religious
18 revival actually.

19 Now, I think the way we're going to make progress
20 here is by making a serious effort to define the surface
21 composition. The most important idea here in prediction is
22 to define what is on the surface over time. And I think to
23 say we define what's on the surface over time is not a single
24 answer. It's a set of answers. We need five different
25 environments or ten environments or three environments, but

1 it's not a single environment. We need a set of credible
2 environments that we can identify that we need to
3 investigate. And I'd like to see someone lay out that set
4 rather than saying, "well, this is the answer," or "this is
5 the environment." I'd like to see a set of environments. I
6 think we're--well we've made progress, but--and then I'd like
7 to see us define the modes of corrosion of C-22.

8 The idea that C-22 is totally a passive material
9 all the time is just ridiculous. There are many ways that C-
10 22 can corrode. We need to develop the dependency of the
11 corrosion of C-22 on primary variables that cover this range
12 including ferric ions, incidently.

13 I would like to see us accept the idea of
14 complexity. I think this whole thing has gotten into a sort
15 of a quantitative mantra here that is entirely inappropriate
16 for the complexity of the system. And I'd like to see us, in
17 a sense, quantify the concept of complexity. I would like to
18 see us develop an approach of bounding situations rather than
19 getting precise situations. And these complex systems, you
20 cannot deal by having a central value. You've got to have a
21 bounding approach.

22 Now, I'm a little bit concerned also about some of
23 the language I hear here. First thing I ever did in serious
24 corrosion engineering was look at the cracking in Dresden
25 reactor pipes in 1967, and I observed stress corrosion

1 cracking at room temperature in stainless steel. And the
2 gray heads at the time said, "Roger, don't worry about it
3 because it's a bad heat." Well, the next time it failed was
4 still a bad heat. But after awhile, they--on the way to
5 failing all the major piping and DWRs. And I hear some of
6 that same pattern here that, "well, you just had one set of a
7 certain kind of corrosion here, but it won't happen. It's
8 not general." Well, I've heard that before. I know what
9 that sounds like. And I think we have to be careful we don't
10 get ourselves trapped in catch phrases and in slogans.

11 And, finally, after we've made the arguments I made
12 yesterday in a half an hour that probably should of been a
13 couple hours, somebody told me, well, the reason I'm making
14 those is because I was being paid. Well, you know, a fox
15 smells his own hole first. And I'm concerned about the
16 intensity of the feeling here about what's going on rather
17 than the objectivity. And I think that we need to think
18 seriously about the objective approach to developing sets of
19 ideas, bounding conditions, and recognizing complexities.

20 LATANISION: Thank you. If there are no other comments,
21 I guess there are. Okay, let's take them.

22 McCARTIN: Tim McCartin, NRC.

23 I would like to respond in part to the comment
24 about inspection and it was mentioned earlier today. But the
25 regulation does require a performance confirmation period.

1 We would expect that would be at least 50 years. The
2 regulation does specifically require performance confirmation
3 for the waste package. Although there's not an inspection
4 for 10,000 years, I think people would laugh at us if the NRC
5 had a requirement to inspect for 10,000 years. There is a
6 performance confirmation program that is a, I would say, a
7 corollary to the inspection program for an operating nuclear
8 facility. And that, you know, we look on that as 50 years of
9 testing and challenging the assumptions on the waste package.

10 Thank you.

11 LATANISION: Yes. Okay.

12 AHN: Tae Ahn, NRC.

13 A couple of clarification questions to Joe. In
14 your Slide 67, has--

15 LATANISION: Pull the microphone down towards you.

16 AHN: Slide 46, there is a diagram--no, his case, 67.

17 Yeah, the right side curve there is a diagram showing
18 inaccessible region. He defined during his talk, but I still
19 do not understand what the definition of inaccessible region.
20 That's one question.

21 The other question is, Joe, in your Slide 13, it's
22 basically TGA testing. Could you tell us some idea about the
23 air flow rate you used in the TGA testings?

24 PAYER: Okay, let me--let me ask Greg to double up on
25 both of those. One was the definition of the inaccessible

1 region. Why is it inaccessible? And then the second one is
2 flow rates in the TGA experiments.

3 GADOWSKI: Hi, Greg Gdowski, Lawrence Livermore National
4 Lab.

5 I'll do the TGA one first. The air flow rates were
6 such that we could exchange the complete volume of the system
7 within one minute. So, I think the volume of--I can't
8 actually remember what the volume of the cell is, but the air
9 flow rate was such that it would be completely exchanged
10 within a minute.

11 By the inaccessible region, that's where the water
12 vapor pressure would have to exceed one atmosphere in order
13 for you to obtain those relative humidities in that region.

14 PAYER: So water would boil off at that. You couldn't
15 maintain an aqueous environment in an ambient atmosphere
16 under those conditions.

17 GADOWSKI: The repository, you're above the local ambient
18 pressure there, so you can't. The water pressure cannot
19 exceed that.

20 LATANISION: All right. Thank you.

21 I am going to ask Bob to make some comments, but
22 I'm going to--as indicated on the schedule, but I'm going to
23 delay that until we take a break. And I--you hear a sense of
24 relief here on the sideline. But I want to make clear a
25 couple of comments before I do that.

1 Number one, I'm very sensitive to the fact that
2 yesterday we apparently lost someone who wanted to speak
3 during our public comment period. And we're on the schedule
4 to have public comments at 5:20 and we're going to do that so
5 that no one will be out of sync.

6 Secondly, I do want to give you an extended break
7 because the idea is for each of the constituencies who are
8 represented in our deliberations, and by that I mean not just
9 the Project, but also the State of Nevada, the NRC, Catholic
10 University--well, that's the State of Nevada, right? And
11 EPRI, of course. Sorry. Thank you, Mark. I want to give
12 you all a chance to collect your thoughts and to--and perhaps
13 in Roger's statement he's responded to this already, but I
14 want to give each of those constituencies an opportunity when
15 we come back to provide some wrap-up comments.

16 UNIDENTIFIED SPEAKER: Mr. Chairman?

17 LATANISION: Yes?

18 UNIDENTIFIED SPEAKER: About five minutes?

19 LATANISION: About five minutes each, exactly right. No
20 more than five minutes. But I do want to make sure we have
21 an opportunity to hear from everyone in a summary sense.
22 And, Bob, you will lead off given that we're deferring your
23 point in the program right now. So, let's now take a break.
24 It's 5:00 o'clock. We must be back in the room at 5:20, and
25 the first item on business will be public comments.

1 (Whereupon, a brief recess was taken.)

2 LATANISION: Let's come to order.

3 We have three people who have signed up on the
4 public comment register. And so I will invite Judy Treichel
5 to come to the podium?

6 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task
7 Force.

8 Thank you very much. After all these many, many
9 years, the Technical Review Board is still the only entity
10 that provides this sort of opportunity for public interest
11 groups or for people who don't have any professional part of
12 the program, particularly not financially. And so as a
13 person who works for an outfit that operates on 120-
14 thousandths of the DOE budget, I totally appreciate this
15 opportunity.

16 The first thing I would like to say is that there
17 has been reference made to the drift-scale test in a lot of
18 the presentations that were given. And the drift-scale test
19 is just sitting out there. It's about six and a half years
20 old, as far as operation goes. It heated up for four years.
21 It's been cooling down for about two and a half. I get the
22 weekly temperature readings off of the thing, and the
23 temperature's not dropping very fast anymore. It's down
24 below boiling, but it's still pretty warm if you were going
25 to just walk in. And it appears from those sheets that come

1 every week that nobody has walked in.

2 So, it would seem to me to make sense that the
3 Department of Energy should consult with the State,
4 certainly, and I don't know who else, but before the door
5 opens, it would seem like there should maybe be a plan
6 because this may be the only way or the only opportunity that
7 there is to collect stuff like dust that accumulated and
8 actually got heated up for a period of time. And there's
9 been criticisms of the drift-scale tests.

10 I've been out to the site countless times and with
11 a wide variety of groups. And when people are real dazzled,
12 they believe that this is a replica of an operating
13 repository. And when they're not so dazzled, it's just sort
14 of something that's there to prove the model. But it's only
15 in one spot, and the spot may not be like any or all of the
16 repository, and so you'd only have one kind of dust, and it
17 might not be worth anything, but I really don't think you
18 should miss the chance.

19 And the statement was made that there was no
20 seepage or there was no water moving because of that test,
21 and that's not true either because I've been out there and
22 felt the rain that was created there. And there finally was
23 a poster that was called, "Why is Water Dripping on my Head?"
24 So, there definitely was something moving around and it was
25 wet.

1 In January of 1997, I was asked by the Board to
2 give a presentation, and the thing was called, "The Total
3 System Performance Assessment and Transparency. How can the
4 public know what the TSPA is and what it means?" And I guess
5 that was the first meeting that Dan and Norm were at, so I'm
6 sure you remember every word of this, but I thought it was
7 interesting and I want to disagree with Margaret about the
8 value of TSPA.

9 At the time that I gave this presentation and the
10 reason it was asked was that there was a war going on because
11 the Department of Energy had suggested that they change the
12 guidelines. And the major change at that time was to take
13 out the disqualifying and qualifying conditions. Those were
14 things that the public really understood. We knew what those
15 were and we could recite them and we knew that those had to
16 be met. It was going to be replaced with something called a
17 "Total System Performance Assessment," that seemed real
18 mushy, and in some ways it still does. And one of the--I'm
19 certainly not going to read this, but there's a couple of
20 things that seem pretty interesting after over seven years.

21 The public was led to believe both in face-to-face
22 meetings with the Project and through many media reports that
23 Yucca Mountain could and would be disqualified as a
24 repository site if any one of the qualifying conditions could
25 not be met. Never was it mentioned during that time of

1 frequently held public meetings and updates that
2 disqualifiers could be fixed or mitigated or averaged against
3 other factors.

4 For it to be of any value--this is TSPA--it must be
5 used to understand what is not known rather than as a basis
6 for confidence in predictions of repository performance. The
7 TSPA has to be a tool and not a product. And at that time
8 we worried a lot that uncertainties could be disguised as
9 manageable weaknesses resulting in layers of assumptions that
10 ultimately create an illusion of confidence and accuracy.
11 And one of the very last sentences is that, "At this period
12 of time in January of 1997, a major remaining unknown due to
13 lack of data is, what will be an acceptable thermal load?"
14 And here we are all this time later and we're still arguing
15 about the thermal load.

16 But there was a lot of problem with TSPA, and it's
17 still being argued back and forth. And as a spokesperson for
18 the public, we all know that when something goes wrong, it's
19 not the total system that fails. It's one specific thing or,
20 as DOE would call it, "an initiating event". And at TMI and
21 at Chernobyl and at the Challenger, and at any of the
22 disasters we can think of, there was just an initiating
23 event. It wasn't the failure of the whole system. So, I
24 think that should be kept in mind.

25 In also looking at this, I think it's interesting

1 that the problem that I pointed out in that presentation
2 about the thermal load has been taken as a lemon and made
3 into lemonade by the Department because as of today there's
4 now a thermal barrier instead of problems about whether or
5 not you can have a hot repository. I also think that the
6 showing of the C-22, or Alloy 22, as a product in industry is
7 a little strange because I wouldn't think that any of the
8 companies that were using that material that Joe Payer showed
9 in those pictures would be thinking of using it for 10,000
10 years and probably would figure that it would have to be
11 replaced at some time. And if it lasted for even 100 years,
12 people would be very surprised that it had. So, with
13 anything we're familiar with, there's always a disconnect
14 when you're talking about a repository because it's not like
15 anything else at all.

16 And, finally, I find it very troubling that the
17 Department has taken what they call a "Prevention Plan," and
18 any time there's something that's a problem, it never really
19 becomes--it certainly doesn't become a showstopper or a
20 disqualifier, but it never even becomes a serious hurdle. It
21 always just has to be put in the category of things that
22 can't happen. So, if there's problems with the saturated
23 zone or unsaturated zone, then you get this can that can't
24 fail for 10,000, 11,000, 40,000, however many years. And
25 then those things don't matter.

1 And if there's something wrong with something
2 inside the surface facility, if there's a possibility that
3 something could go wrong because something got dropped, then
4 you make it impossible for it to drop. And in some ways
5 that's very good. But in other ways, it masks the
6 possibility that something is going to go wrong and that a
7 human factor or any kind of thing that can possibly go wrong
8 will, and it had been ruled out.

9 So, thank you for the opportunity. I have this
10 letter if you want another copy or if your filing system is
11 great, you may still have it.

12 LATANISION: Thank you, Judy.

13 Let me next call on Mike Lee. According to his
14 affiliation, Mike is with the ACNW of the National Research
15 Council. Is he in the audience? Yes, sorry. There is
16 another NRC, of course. But I guess Mike has left. All
17 right.

18 How about Rod McCullen?

19 MCCULLEN: Thank you. Rod McCullen, Nuclear Energy
20 Institute.

21 Yesterday, out on the table I picked up this
22 brochure. I think it's the first time I've seen this on what
23 the Nuclear Waste Technical Review Board is all about, and
24 it's a pretty good brochure. And I noticed in here there's a
25 bullet list of three things the Board does in conducting its

1 ongoing review. The Board does the following. The second
2 bullet says takes a "systems" view of repository performance
3 in waste management.

4 And I was really struggling yesterday with the
5 contrast between this statement and the mission of the Board,
6 and the statement that was asserted in a letter and
7 emphasized in the Board's presentations yesterday telling
8 DOE, "don't use Total Systems Performance Assessment to
9 dismiss our concerns." And, fortunately, I think over the
10 last two days looking at everything that's happened in
11 totality, I started to see how that--how that dilemma gets
12 answered. And I want to try to wrap some of that up because
13 I think it's instructive.

14 Most particularly important was the presentation by
15 Dr. Chu this morning and some of the discussion that ensued
16 afterwards. First, it was healthy to hear that the Board
17 doesn't, in fact, completely disbelieve in TSPA. I think
18 that was good. Also, I think that for Dr. Chu to explain the
19 fundamentals of the approach that we use, the risk informed
20 approach that's prescribed by regulation and resulted from
21 the recommendations of a lot of science over a lot of years,
22 particularly one fundamental that ties in very well with, I
23 think, everything we heard today is this notion of a risk
24 triplet. The idea of you ask the question what can go wrong,
25 how likely is it, and what are the consequences?

1 And the thing I've seen in the Board's letter, and
2 the Board's report, and the Board's presentation, and the
3 information by the State of Nevada, and, until today, the
4 stuff that DOE was responding with, addressed only the first
5 element of that risk triplet. That is, that question of what
6 can go wrong? I think Dr. Latanision asked Dr. Chu the
7 question of, "well, if I'm an engineer, I want to avoid
8 things." And I am an engineer, and I think when you come to
9 avoiding things, you have to look at all three elements of
10 that risk triplet.

11 And I think that what we've seen in these last
12 couple days, particularly with the decision tree analysis by
13 EPRI and by DOE, and it's interesting that they both
14 independently came to very similar conclusions, explains a
15 systems perspective addressing all elements of that. What
16 can happen? At each step of the tree, what can happen? How
17 likely is it? What are the consequences? What can happen
18 next? How likely is that? For the first time, and I agree
19 with Judy and I think this was clear in Dr. Chu's talk, TSPA
20 is just a tool. But for the first time, I think today we saw
21 an explanation of that that is a lot less of a black box in
22 terms of that decision tree analysis today and yesterday.

23 There's also a second element to taking a system's
24 approach to evaluating repository safety that I think is
25 important, and it keeps coming out every time Dan Bullen gets

1 to ask questions. And that is the notion that he's asked the
2 same question over and over again, the question of why not
3 just stay in Environment IV, why not just stay in the cold
4 environment? And the answer to that is actually very simple.
5 It's really not an answer you can give just in the context
6 of a corrosion meeting though because it touches on something
7 broader. And the answer is you don't design a repository
8 based on a single input parameter.

9 In fact, what you do is you design a repository,
10 and I think what DOE is showing that they've done very well,
11 design a repository that can mitigate all those things that
12 are most risk significant. You don't look at a single
13 parameter without respect to its risk significance. And I
14 think what we've heard in these presentations is this notion
15 of localized corrosion simply isn't very risk significant.

16 So, there's this need to look at all the elements
17 of risk over all the elements of the repository, and come out
18 with an integrated solution. I think DOE's ability to do
19 this has been dramatically bolstered by the Board asking
20 these tough questions. I think this is a particularly
21 compelling example of the value of this type of critical
22 review, that because for the first time today we are, and
23 yesterday, are seeing really a very solid explanation of
24 this. I think in the case of localized corrosion, I think
25 the Board's questions have been answered. I think they've

1 been answered thoroughly, completely, authoritatively, and
2 definitively.

3 I just hope, you know, of course, the Board needs
4 to come to its own conclusions as to whether or not they
5 agree with that statement, but I would just hope that in
6 addressing that, that you remain true to your own
7 advertising.

8 Thank you.

9 LATANISION: The conscience of the meeting. Thank you.
10 Thank you very much.

11 Last call for Mike Lee. I take it that Mike is not
12 in the audience, and so we will now go to the wrap-up
13 statement segment of the program. And, Bob, I will ask you
14 to go first.

15 ANDREWS: Thank you.

16 It's a pleasure to be back this afternoon. And my
17 objective in the next 15, 20 minutes is to summarize what
18 you've heard from the Department, from Bo, from Carl, from
19 Joe, and the relevance of that information to addressing the
20 Board's questions that were, you know, appropriately raised
21 in the October and November letters and reports,
22 respectively. And to end that way, summarize the conclusions
23 not only with respect to the Board's questions, but with
24 respect to the broader question of the range of environments,
25 thermal, hydrologic, chemical environments, on the package

1 and the range of degradation modes of the waste package in
2 those environments. You can go on to the next slide, John.

3 As I said this morning, our goal was to answer the
4 questions the Board raised in that letter and to be
5 forthright with our--the response with new information, to
6 point out where that new information directly addressed the
7 Board's questions. I think they were appropriate questions.
8 They were based on the information available last May. I
9 think as I said this morning, the analyses and model reports
10 upon which this information resides last May were not even in
11 draft form. I don't want to say the information was baking,
12 but how you integrate the information to answer questions
13 that are relevant to the behavior of the package, in
14 particular, in the environments, both thermal and chemical
15 environments that are likely, was probably not fully
16 developed last May. Therefore, the Board's questions, which
17 I think were appropriate questions.

18 A lot more has been done. I think you appreciate
19 the additional work done not only by Joe and Carl and Bo to
20 synthesize it and present it to you, but the researchers and
21 analysts at the labs, the survey within BSC that provided the
22 fundamental information that allowed Bo and Carl and Joe to
23 present that information to you. And it was under Margaret's
24 direction and forceful leadership that got us, you know, to
25 integrate appropriately. And there were the additional

1 information explicitly developed to explicitly answer some of
2 the questions that the Board raised, and I think you saw some
3 of that, in particular, in Joe's talk. So, if I can go onto
4 the next slide, John, I think Slide 4.

5 So we focused on the data. We focused on the
6 models. We focused on a range of lines of evidence, multiple
7 lines of evidence, not just using our data, but using data
8 available from others; data available from NRC, data
9 available from the literature, analog information to tell a
10 story, if you will, of all aspects, not just, you know, a
11 particular test to answer a particular question and to use
12 those data and multiple lines of evidence to define the range
13 of environments both during the thermal period and after the
14 thermal period.

15 You know, we purposely broke Carl's talks, as we
16 said this morning, into two parts because the Board's
17 questions really were in two parts. And I think the chemical
18 environments are in two parts. One part is the salts in the
19 dust and how they deliquesced. Another part is the liquid
20 water and how it evolves when it can contact the drip shield
21 and the waste package. So, it was two separate and distinct
22 discussions.

23 We discussed a little bit, not at full length
24 today, the uncertainty in some of the models and analyses and
25 data that are used and how we're propagating that

1 uncertainty. I believe we have an opportunity to discuss
2 that with the Board in much greater detail from the full
3 system's conflict component, not just the in-drift
4 environment and corrosion aspects as presented today.

5 It's important to point out that that system's
6 representation will include that uncertainty, does include
7 that uncertainty and variability, and it also includes the
8 low-probability events and features, which were not the focus
9 of today. We tried to focus on the Board's questions which
10 are kind of likely behavior, likely thermal hydrologic
11 response, likely chemical behavior, and likely degradation
12 characteristics of Alloy 22. All of those effects, though,
13 and uncertainty have to be incorporated in the TSPA for the
14 evaluation of the site per Part 63 requirements.

15 We purposely did not show you any TSPA results. We
16 did not want to dilute the discussion away from the critical
17 nature of the Board's questions, which were really after the
18 fundamental technical bases underlying the models, underlying
19 the analyses, and underlying the response of the thermal
20 hydrologic system. And we did not want to, if you will,
21 dilute that with a discussion of does it make a difference
22 from a TSPA perspective? But you saw some other people put
23 it into a TSPA perspective. Both EPRI and NRC presented
24 results of, well, what if we're wrong and what are the
25 implications from their models using their analyses, even

1 though they are only insight-producing models for either of
2 those two institutions, to give you a sense of does it make a
3 difference from a TSPA perspective?

4 Let me go on to the next slide. And I probably
5 can--well, let me stay on this for a little bit. This walks
6 through the individual processes, more or less, as we
7 presented them. And they're all processes that can affect
8 the environments, and all those environments can affect the
9 degradation characteristics of Alloy 22 in the repository.
10 We talked a little bit about drift degradation and, if you
11 will, nominal performance. We did not talk, although Bo had
12 in a backup slide, drift degradation in a destructive event,
13 in a low-probability seismic event.

14 We did focus a significant amount of attention on
15 the thermal hydrologic processes because, as you saw from
16 Carl's briefings, understanding that temperature/RH
17 representative profile and the distribution of possible
18 temperature and RH profiles does affect the type of chemistry
19 that can evolve whether it be an aqueous chemistry or whether
20 it be a dust chemistry. So, it's important to have a
21 fundamental understanding of the temperature/humidity
22 response and the range of temperature/humidity responses. It
23 is different in different places in the repository. It is
24 different for different rock types. And it is different for
25 different waste package types. And so that range of thermal

1 hydrologic responses are important to consider.

2 Clearly, that thermal hydrologic response is a
3 function of the design. I think we all acknowledge that how
4 you load the repository, how you ventilate, how long you
5 ventilate, what maximum load, heat load, you put into a
6 particular waste package, how closely you space the packages,
7 all of those variables do affect thermal hydrologic response.
8 Even given those variables, even fixing those variables,
9 which of course the current design has done as presented to
10 the Board in January, gives us a wide range of thermal
11 hydrologic responses that we've presented to you. We showed
12 three representative ones, but then we showed the, if you
13 will, the gray area where all of the other thermal
14 hydrological responses are.

15 Changing one of those design parameters, if you
16 will, would clearly change the number of packages that would
17 see a particular type of thermal hydrological response. Some
18 might be cooler. Some might be warmer. Today some members
19 of the Board recommended going hotter. I guess it was
20 individual opinions as expressed by the Board. And I think
21 that Dr. Duquette said, individual opinions are allowed by
22 Board members and it's only the formal positions that count.
23 But I thought that was kind of an interesting view of some of
24 the Board members. And as pointed out, Dr. Bullen asked his
25 favorite question of what about colder? So, there's a range

1 of possibilities, but there's a range of responses that are
2 being projected in the thermal hydrologic analyses.

3 The deliquescence of salt and thermal seepage
4 affect both parts of the initiation of localized corrosion
5 depending on whether you have liquid water present or not.
6 Next slide, John.

7 I think we talked about aqueous solution chemistry.
8 And then to, finally, the last bullets there that Joe talked
9 about with respect to the initiation of localized corrosion
10 and the general corrosion rate with the passive layer or
11 without a passive layer and the effects of crevice corrosion
12 were all discussed at great length with the additional data
13 that we have under a range of environments, repository
14 relevant environments, to address those. So, in the next few
15 slides, what I'm going to do is just kind of summarize the
16 conclusions that Bo reached, that Carl reached, and that Joe
17 reached. I have generally a representative slide over to the
18 left to talk about what the subject matter is and what Bo
19 talked about, but I want to focus on the bullets that are on
20 the right.

21 I have to admit to, I took the liberty to a three-
22 points insert slides that were presented yesterday; one from
23 EPRI and two from NRC, one from Roberto Pabalan, and one from
24 Darrell Dunn because of the relevance of their conclusions to
25 the same issue we were talking about today. So when we get

1 to those, I'll just reinsert those three slides from those
2 presenters from yesterday.

3 Okay. With respect to the thermal hydrological
4 response--and I'm not going to go point by point with respect
5 to the Board said and we said. I just want to say these are
6 what we presented to you. First off, that, yes, the thermal
7 conductivity is important. Uncertainty in the thermal
8 conductivity is important. And a range of thermal
9 conductivities for the lower lith and middle non- and for the
10 upper lith and lower non-, I guess, were incorporated into
11 thermal hydrological responses. They were incorporated in
12 the seepage models, incorporated in the thermal hydrology
13 models.

14 So, there's a wide range of thermal conductivities
15 that have been evaluated and they've been developed based on
16 the in-situ tests that we performed, and include the effects
17 of variable lithophysic porosity and various scale-type
18 effects in developing a reasonable thermal conductivity for
19 the basis of the models. All of the models with thermal
20 hydrology, the thermal seepage models, particularly the
21 seepage part of the thermal, were based on in-situ direct
22 observations. I think Bo went through great detail of almost
23 test-by-test. There's other tests that are the bases, but I
24 think he presented the representative tests for the bases for
25 those models.

1 The calculations that we have of temperature and
2 humidity--let me switch to the second on the screen, the
3 other screen, John--is a wide range. That gray band that you
4 see is the full range from low thermal conductivity, low
5 percolation rate, if you will, to high thermal conductivity,
6 high percolation rate, giving the maximum temperature,
7 minimum temperatures, respectively, and everything in
8 between. So, nominal percolation rates and high, medium, and
9 low thermal conductivity. And there's a range of percolation
10 rates across the repository block that are factored into the
11 thermal hydrologic responses. Not one five millimeter per
12 year percolation rate, but that percolation rate, in fact,
13 very spatially across the repository block. And that's
14 factored into that full distribution, as well.

15 So, we have a family of thermal hydrologic
16 responses. And if you like plotting them as a function of
17 time, then you can plot them as a function of time, if you
18 like, and it's more representative to plotting them as TRH
19 curves that vary with time. Then we showed them both ways,
20 essentially. It actually becomes more relevant from a
21 chemistry perspective to plot them as we did on the right-
22 hand side rather than to look at them as a function of time,
23 but understand that that temperature/humidity duplet is
24 really changing with time for each package. For each
25 package, some are a little cooler and some of them are a

1 little warmer. And we believe that that reasonable range as
2 encompassed in the left-hand slide there has been
3 incorporated in our projections of the response that are then
4 fed into the projection of how the rest of the repository
5 system responds.

6 So, I go on to the next slide with respect to
7 seepage and thermal seepage. Probability of seepage during
8 the thermal period is low, but not zero. You'll see even on
9 the right-hand slide there--or, I'm sorry, the left-hand
10 slide, but the right-hand picture of the left-hand slide,
11 even at a few 100 years, there's a possibility for some
12 seepage to occur over some packages because the temperatures
13 are below the boiling point for a certain fraction of the
14 packages. This happens to be for the mean infiltration, mean
15 thermal conductivity case. There would even be more packages
16 in that initial seepage possibility realm if I looked at the
17 high thermal conductivity/high seepage case.

18 So, there is a possibility of initiating some
19 seepage during what has been called the thermal pulse period
20 on some packages that may happen to be at the edge of the
21 system. But it's a low probability. And, generally, during
22 that period, there is no seepage if the temperatures in the
23 drift wall are above boiling, as Bo pointed out in the bases
24 Bo presented.

25 Once we get past that time period which, you know,

1 is in the first 100 to 1,000 years-ish, so a few percent to
2 up to 10 percent of the regulatory time period, we are into
3 the seepage representation, which has factored into it the
4 change in percolation flux associated with changes in
5 climate. So, the fraction of seepage goes up and the
6 fraction of waste packages that potentially see seepage goes
7 up. And Bo presented the bases for that.

8 All of these result in a range of possible seepage
9 rates and amounts that vary across the repository block. And
10 those ranges, you see an example of that range in the lower
11 left-hand corner, and the uncertainty in that range, which is
12 based on the upper left-hand corner, have been incorporated
13 in the assessment of post-closure performance. Let's go onto
14 the next slide.

15 Okay. We then went on to Carl. As I said before,
16 we broke it up into two parts; during the thermal pulse and,
17 if you will, after the thermal pulse. And as Carl pointed
18 out, we have no observations anywhere in the mountain or
19 around the mountain of any calcium or magnesium chloride
20 salts. That's not to say that calcium or magnesium chloride
21 salts don't exist anywhere. They clearly exist some places.
22 And, in fact, there have been some observances of it in the
23 High Sierras, as Carl said. But you've got to get that salt
24 somehow to Yucca Mountain, which means it can never have seen
25 a humidity above 20-ish percent, the deliquescent relative

1 humidity for calcium/chloride type salts as Carl had. Or the
2 likelihood of that salt somehow getting to Yucca Mountain
3 never having seen a 20 percent humidity, you know, given day-
4 to-night fluctuations, is essentially zero.

5 So, the possibility of getting a calcium/magnesium
6 chloride salt sitting on a waste package, we think, is
7 essentially zero. Even if it did occur, as Carl pointed out,
8 it quickly is unstable and would quickly become stable with
9 chemical reactions with other constituents, with CO₂,
10 etcetera, and H₂O vapor. Even if those salts were present,
11 as Carl pointed out, they would quickly volatilize.
12 Essentially, Carl's--the first three bullets here which Carl
13 walked through are the same as--let me go--I'm not sure where
14 we put it, John. We put it on this slide? No. The EPRI's--
15 no. EPRI's all three--three things.

16 Anyway, the first three slides that we have on
17 there essentially are the nos or highly unlikelies that EPRI
18 identified. So we don't think the calcium/magnesium chloride
19 exists or is stable, which are nos on their diagram. Well,
20 maybe it's, I guess, the first two nos. And that given the
21 open system that it would evolve, would volatilize,
22 especially at the high temperatures, and the acid gas would
23 be dispersed very quickly into the repository block. So, let
24 me go onto the next slide, if we can get out of the EPRI
25 conclusions. Okay, thanks.

1 Now, we're talking about the seepage part and the
2 chemistry evolution in the rock and the evolution of that
3 chemistry in the drift when that water seeps into the drift.
4 The chemistry evolution, I think as Carl pointed out this
5 afternoon, was based on direct in-situ observations and
6 models and supported also by smaller scale laboratory tests.
7 The evolution of that pore water, even though it is complex,
8 when you simplify it to look at a few key constituents within
9 that water, for example, fluorides or nitrate/chloride
10 ratios, can fairly readily be explained. And the bases for
11 that evolution from the rock into the drift, and it's
12 evaporation in the drift, and changes in concentration within
13 the drift, I think Carl gave a very excellent presentation
14 trying to integrate how those chemistries evolve.

15 Just stepping back a little bit, we realized that
16 last May, sometimes the abstraction process in TSPA can
17 appear complicated and we may over-complicate it somehow in
18 how we present it because there was quite a bit of
19 discussion, as I recall, last May of binning of waters of
20 different types and how those bins evolve and things like
21 that. We clearly didn't talk about bins in this meeting. We
22 talked about how the chemistry evolves, not how the
23 abstraction of different water types is grouped together into
24 like compositions. So, it's probably easier to explain when
25 you look at a water composition and how that water

1 composition evolves rather than the whole family of potential
2 conditions that the binning process that we talked about last
3 May leads to.

4 I think, as Carl pointed out, the initial aqueous
5 chemistries with the exception of one which is the W-0 type
6 water, the HD perm type water as presented, all evolve into a
7 sulfate or bicarbonate type brine; varying degrees of
8 nitrate/chloride ratio, as Carl presented, and talked then
9 about the importance of that nitrate/chloride ratio and total
10 chloride concentration when we got to the discussion of
11 corrosion.

12 It's important to point out, Bullet 4, that those
13 brines, even if they exist in the rock, which they do, and
14 come into the drift, which they might with some probability,
15 there is still a drip shield there. So the degradation
16 characteristics of the drip shield, which we did not talk to
17 you about today, but the degradation characteristics of the
18 drip shield then come into play, which affect the probability
19 of that chemical constituent getting into direct contact with
20 the Alloy 22.

21 This range of chemical conditions in the aqueous
22 phase and the evaporation of that chemistry within the drift
23 has been incorporated within the TSPA. If I can go on to the
24 next slide. Okay, I think I also have one from--well, let's
25 just skip over that. I thought I had one from Roberto

1 Pabalan. I do? Okay. With his conclusion slides from
2 yesterday.

3 I think it's important to point out that it was
4 interesting, I felt, yesterday that EPRI sort of focused on
5 the deliquescent part of the Board's question, and NRC sort
6 of focused on the seepage and brine evolution part of the
7 Board's question. I think they both recognize, as we do,
8 that they are two different sets of conditions and you have
9 to evaluate them separately because they are different
10 chemistries.

11 So, I think what Roberto concluded yesterday was
12 that he had a time period, he called it Environment II, Joe
13 Payer called it Environment IV, where there is a potential
14 for a chemistry existing that can lead to low nitrate/
15 chloride ratios and which with those potentials have a
16 potential for, depending on the temperature, conditions of
17 initiating localized corrosion if they contact the waste
18 package and they concentrate. So, you have to have all those
19 ifs lined up, which we'll get to in a second, but they
20 identified same conclusion, I think, that Joe had and Carl
21 had, that there is a window of environments where the
22 nitrate/chloride ratio can be low enough and the chloride
23 concentration can be high enough that the potential for
24 initiating localized corrosion occurs if that contacts the
25 waste package.

1 Let me go onto the next slide. So, it's
2 consistency in the conclusions there, I believe, even though
3 we're obviously coming at it from very different approaches
4 and even different data sets in some cases.

5 This was a discussion of how much water are we
6 talking about when it comes into the drift. It starts out as
7 20 to 40 liters per year. Those are kind of the mean rates
8 for a mean seepage when you have the monsoonal climates and
9 the glacial transition climates. So, we're already focused
10 on this time period out beyond 600 years. At time periods
11 less than 600 years, the values are about a tenth of that,
12 roughly. But that water then has to concentrate and
13 evaporate, so then you're down to, as both Carl and Joe said,
14 you're down to milliliters, to tens or 100 milliliters, of
15 water per year per package to get that degree of
16 concentration to increase the chloride concentration, and the
17 nitrate chlorides are more or less going hand-in-hand as they
18 evaporate.

19 This range of volumes, both in the seepage side and
20 range of composition concentrations in the aqueous side, are
21 included in the TSPA model. So, this uncertainty and
22 variability of these aspects are included directly within the
23 assessment of performance.

24 Going to the next slide which get into the
25 corrosion part, Joe--I can't follow up Joe, to be honest with

1 you, so I might just skip over these, I think. I think it's
2 important to say that we have significantly additional data
3 that Joe presented. Let me show, yeah, let's keep that, the
4 logic diagram that we have up there that show all the things
5 that have to have lined up with answers of, in this case, no,
6 before localized corrosion can be initiated. And that's even
7 given the discussion that we had associated with the
8 conservativeness of the critical potentials that are
9 measured, given the crevices that both we and the NRC used
10 for the testing methodology for determining that critical
11 potential.

12 So, we have to go through all of these nos to
13 evaluate the initiation of localized corrosion. Joe then
14 talked about, given it's initiated, will it propagate? And
15 there was--there is some uncertainty associated with that.
16 Although there was some assessments done and there's
17 literature available that show the, if you will, the slowing
18 of the propagation of localized corrosion, given it's
19 initiated, even in Alloy 22, and Joe presented some of our
20 own data that suggests that with the reduction of the
21 current, keeping a constant fixed potential. That particular
22 process has not been included in the TSPA.

23 So, within the TSPA, if a crevice is initiated by a
24 certain nitrate/chloride ratio with a certain temperature
25 range for a certain chloride concentration, and given the

1 presence of the crevice, that crevice will propagate through
2 the waste package. So, the fact that, as I think as Joe
3 pointed out, additional research, additional analyses,
4 additional study of the effect of crevice propagation in
5 Alloy 22 in repository relevant conditions is still required
6 to, if you will, take full benefit for that particular
7 process within the post-closure performance assessment.

8 As Joe pointed out, the conditions to support
9 localized corrosion, given that logic tree, are only possible
10 during Period IV, and only if the nitrate/chloride ratio is
11 less than some critical value where there's some uncertainty
12 in that critical value, if the temperature's greater than
13 some critical value where there's some uncertainty in what
14 that value is, if the corrosion potential is high enough, I
15 mean, there's some uncertainty on what the corrosion
16 potential is, and if severe crevices are present, and there's
17 uncertainty in that. So, the uncertainty in all of these
18 aspects, i.e., where is this boundary? I think Dr.
19 Latanision asked is 90 degrees a fixed, hard, fast, you know,
20 in-the-sand kind of point where below which there is no
21 localized corrosion? And Joe correctly answered no. There's
22 uncertainty in where that point is. I mean, that uncertainty
23 is a function of the environment. It's a function of the
24 chemical environment in particular. So, that uncertainty is
25 being factored into the system assessment.

1 I believe I stuck in here a slide from when Darrell
2 Dunn. He kind of had the similar conclusions as Joe's.
3 Passive corrosion rates should depend on temperature and
4 similar conditions, we agree with that. Accelerating uniform
5 corrosion has been observed. Localized corrosion depends on
6 the chloride concentration and the concentration of
7 inhibitors, the temperature, and the metallurgic condition.
8 And that bullet is certainly true.

9 Those factors, the metallurgic conditions, the weld
10 conditions, if you will, the inhibitors, the chloride
11 concentration and temperature are all factored into the
12 probability of initiating localized corrosion based on the
13 data that you've seen from NRC and that you've seen from Joe.
14 And, as I say, Joe presented a subset of our data, but I
15 think a representative subset of the data used to make the
16 conclusions associated with that third bullet. And I think
17 we also presented the data that that confirmed from our
18 perspective what NRC observed from their own tests, from the
19 Center's tests, with respect to the effects of nitrate and
20 carbonate and sulfate.

21 I don't believe the effects of sulfate we're taking
22 credit for. We're right now within the probability of
23 initiating localized corrosion, but the effects of nitrate
24 are being considered. Let me go on to the next slide.

25 Okay. Joe presented not all of the tests that were

1 indicated here. And not all of these, more than 200 open
2 circuit potential tests and more than 300 cyclic polarization
3 tests, have been completed in the last nine months, but I
4 would have to guess and Tammy and Greg would have to correct
5 me that some two-thirds or three-quarters of them were
6 completed since the last May's Board meeting. So you are
7 seeing a lot more data, linear polarization data, cyclic
8 polarization data, and there are more data behind the data
9 that Joe was presenting today.

10 Those data were focused in--I think the question
11 was excellent this morning--they focused in on the sodium
12 chloride, sodium nitrate, calcium nitrate type conditions
13 that the in-drift chemical environment that we believe was
14 most likely to see. And it also focused in on trying to
15 detail out where the effects of nitrate, the effects of
16 sulfate, where there are beneficial effects, were no longer
17 present or observed with respect to the critical potential.
18 So, we purposely focused the testing program over the last
19 six, eight, nine months on exactly those environments, on
20 exactly those nitrate conditions, over exactly the
21 temperature range that we felt was more relevant.

22 In addition, we have collected the data, not cyclic
23 polarization data, but some of the other--the linear
24 polarization tests, at even a higher temperature. You saw
25 the one data set there that went up to 220 degrees

1 Centigrade. Those data are still being collected at
2 Livermore. Those high temperature data are still being
3 collected at Livermore as are additional cyclic polarization
4 tests over even additional chemical environments.

5 So, we see a snapshot in time today just as we saw
6 a snapshot in time a year from now, but with a lot more
7 information behind that snapshot and a lot more integration
8 of that information with respect to its relevance to the
9 degradation of the waste package container. I had some--so
10 if I can just go to the summary slide, John.

11 I think the last report in November and the letter
12 in October correctly reflected the Board's understanding that
13 they had based on the information the Project and others had
14 presented to them last May, but there's additional
15 information. Some of it directly focused at answering the
16 Board's questions. And I think we benefitted from the hard
17 questions that the Board asked to get some of the specific
18 tests to address specific questions completed.

19 We focused the testing program, which we had plans
20 on doing anyway, on the specific environment and uncertainty
21 in that environment that's more likely to evolve in the
22 drift. And that additional information and additional
23 syntheses of information is what we saw today. We also, as I
24 have down here at the bottom, we did some additional analyses
25 directly focused at the particular questions that the Board

1 asked. In particular, the results that you saw from Bo with
2 respect to the thermal seepage tests, if you will, that NRC
3 performed, we felt important to be able to explain that test
4 using our models, rather than having someone else interpret
5 it for us. And the relevance of that test using our models,
6 which we did.

7 We felt it important to explain and try to
8 understand the environments that the Catholic University
9 tests were being performed under, and could we evolve? And I
10 think Carl had in one of his backup slides, he didn't go into
11 it, could we evolve thermodynamically a condition that looked
12 like pHs of .5, or zero, or minus .5, such as in the Catholic
13 University experiment? So we were, if you will, testing our
14 own models and our own understanding using the observations
15 of others.

16 There's additional analyses the survey has
17 performed, and Zell talked a little bit about it and Carl
18 presented it in his briefing on the dusts, you know, to try
19 to understand the soluble fraction in the dust, to look at
20 other places of dust in the arid Southwest and what those
21 dusts look like and how representative they are to our
22 conditions in order to answer the Board's questions. Next
23 slide, John.

24 Okay, so now I'm in conclusions. So, I believe the
25 three presenters and the healthy dialog during the discussion

1 and presentations addressed the questions and concerns the
2 Board raised last November and October. We did that with
3 additional information and additional syntheses of
4 information. We used all lines of evidence we could get our
5 hands on.

6 I think the Board has recommended to the Project
7 numerable times to not just rely on one aspect, not rely on
8 just a model or something like that, but--or sensitivity
9 analysis, but cover the full gamut of possible lines of
10 evidence to address a particular issue. And we did that. We
11 did that with additional tests. We did in-situ observations,
12 laboratory tests, models with additional sensitivity
13 analyses, and with comparison to alternative models, and, as
14 appropriate, some natural analogs that all three presenters
15 presented to you; Bo with respect to geothermal systems, Joe
16 with respect to the use of Alloy 22 and other industrial
17 applications, etcetera.

18 We conclude from all of this, not surprisingly, the
19 same conclusion we had this morning, that the conditions
20 necessary for widespread localized corrosion will not occur
21 during the thermal pulse for all the reasons that we laid out
22 throughout the day, mostly focused on the deliquescent and
23 brine seepage evolutions. The chemistry and temperature are
24 such that the possibility of initiating localized corrosion
25 during the thermal pulse is extremely unlikely. After the

1 thermal pulse, we have a period, this Period IV in Joe's talk
2 and Period II in the NRC's talk, where the possibility of
3 initiating localized corrosion, given a number of if
4 statements occur, could occur.

5 Finally, on the last slide, the uncertainty in all
6 of the above, which of course there is, has been or is being
7 included within the total system performance assessment. The
8 effect of that uncertainty will be evaluated as part of the
9 performance assessment, if you will, the post-processing of
10 the results and the evaluation of what the results are. And
11 we'd be happy to present that to the Board in September, and
12 I think we have planned a two-day or some number of day
13 meeting on that particular subject.

14 And when we do that, I think it would be worthwhile
15 just to come up several times here to talk not only about
16 performance assessment, but also talk about performance
17 confirmation. You know, another key element of the license
18 application is to talk about the requirements. I think Tim
19 McCartin mentioned it earlier, half an hour ago, the
20 requirement of performance confirmation. It is a
21 requirement, and it will be in the license application, and
22 the specific tests that are required to meet that requirement
23 will be identified. And I think probably September time
24 frame would be a good time.

25 The revision of that is in review right now within

1 the Department. And there's some dialog back and forth
2 between the Department and ourselves on getting that final
3 performance confirmation plan which uses the bases for
4 Section 4 of the Safety Analysis Report completed within the
5 next couple of months.

6 So, with that, I'm going to stop. I took a little
7 longer than my 15 minutes.

8 LATANISION: No, thank you, Bob. That was very helpful.

9 I think we should take a few minutes for the Board
10 to ask questions if you have any that you'd like to address
11 at this point. Mark?

12 ABKOWITZ: Abkowitz, Board.

13 LATANISION: Hold on.

14 ABKOWITZ: Abkowitz, Board. Abkowitz, almost
15 electrocuted member of the Board.

16 I wanted to start, Bob, by making a correction to
17 one comment that you made. To my knowledge, no Board member
18 has suggested that they would be comfortable with a hotter
19 design than what you have proposed. The context of that was
20 a question that I asked you which was given how emphatically
21 you believe that corrosion is a non-starter, and that that
22 was a line of defense that no--perhaps was not being eroded
23 into, then why not go to hotter design. I was more
24 questioning your confidence--

25 ANDREWS: Okay.

1 ABKOWITZ: --not any particular position that I had.

2 ANDREWS: Okay, thanks for the clarification.

3 ABKOWITZ: I did want to run through a sort of a
4 different type of decision or logic tree, and would like to
5 ask you to react if you would. And it goes somewhere along
6 these lines. It starts off with the question which is a
7 riskier environment from a safety performance standpoint, a
8 cold design or a hot design? And I've yet to hear an
9 argument for why a cold design presents a higher risk.

10 I think I've heard information over the last couple
11 of days to suggest that we are further along the learning
12 curve in terms of whether or not a hotter design presents a
13 particular risk with regard to corrosion. I think I've also
14 heard that this is a very complex process with many different
15 scenarios and much conceptual development that's underway.
16 So, we may be narrowing the risks that's presented by that,
17 but I don't know whether we've totally resolved it. So, from
18 a decision tree standpoint, the question of which design is
19 less risky, cold or hot, one would go into the direction of
20 cold is less risky.

21 So, then you go to cost benefit analysis and you
22 ask the question, you know, is there a benefit/cost ratio
23 here that suggests that we have some kind of tradeoff between
24 risks and costs? And, obviously, that's an important
25 question from any standpoint because we're always into that

1 tradeoff. And from what I've been told from previous work
2 that DOE has done and shared, that the overall economic cost
3 of each option are relatively the same; effectively, a wash
4 is what I've been told.

5 And so then we come to the conclusion that if one
6 design is less risky than the other and they both cost the
7 same, the conclusion one has to reach is that agency ego is
8 dominating common sense. And, therefore, the only question
9 that's left on the table, given the stage that we're in right
10 now, is whether the period of time that's necessary to make
11 the design decisions to go to a lower risk, higher benefit/
12 cost alternative is worth the tradeoff versus the thousands
13 of years of improved safety performance. And that's the
14 question on the table. So, I would just like to ask you to
15 react to that decision tree.

16 ANDREWS: Okay. I appreciate the question. Let me talk
17 about the risk part of it, which is something I know about
18 and I'll leave somebody else to talk about the cost part of
19 it and the cost benefit analysis that the Project, the
20 program, the country has to go through with that.

21 On the risk side, there's not a clear indication,
22 you know, right now sitting here with our current models,
23 current understanding, current range of potential thermal
24 hydrologic responses, thermal seepage responses, chemical
25 responses, drip shield responses, that it's a slam dunk that

1 colder would be better, if you will, from a dose risk
2 perspective. One could make arguments depending on how you
3 went to that cooler design, in fact, the risks went up. They
4 would go up with respect to things like the probability of a
5 igneous intrusion dike intercepting the repository block,
6 just from a flat out geometric area perspective, if that's
7 how you went to a cooler design. There's clearly other ways
8 to go to a cooler design.

9 But I think we saw both in the way Joe presented
10 this range of potential, and I want to emphasize potential,
11 susceptibility for localized corrosion, and the same way NRC
12 identified this potential range of potential susceptibility
13 for localized corrosion, there is uncertainty in where that
14 point is. It's not a 90 degrees, you know, flat out, we're
15 100 percent confident that everything below 90°C would have
16 no potential for localized corrosion. In fact, the Center
17 presented some data for, I believe, it was low nitrate/
18 chloride ratios at significantly lower temperatures, you
19 know, 60 degrees, 70 degrees Centigrade, where the
20 possibility at least appeared possible to initiate localized
21 corrosion at a lower temperature.

22 So, simply, I think in the Board's letter or report
23 it said the information available to us to date says below
24 95°C looks pretty good. I'm paraphrasing a little bit. I
25 think the information available now would say, well, at 95°C

1 is probably not the cut line, but it's somewhere with some
2 uncertainty below that. And, during that time period, there
3 is going to be the possibility of thermal seepage because you
4 are clearly, the packages below 90 or 95 or 80, there is a
5 possibility for seepage to occur and the chemistry that had
6 evolved in the rock to get into the drift.

7 I think it was important, one of the things Carl
8 pointed out with respect to the chemistry evolution, is the
9 chemistries are, more or less, after a few thousand years.
10 They're kind of evolving back to the ambient chemistry. That
11 ambient chemistry has some range on it, but some of that
12 range includes low nitrate/chloride ratios. Those low
13 nitrate/chloride ratios, even in the ending condition, were
14 the temperature to be 70°, 80°C to contact the package, could
15 initiate localized corrosion.

16 So, having said that, is it better from a post-
17 closure risk perspective, and I'll just focus on post-closure
18 risk, from a post-closure risk perspective to have some
19 design that was cooler or some design that, like we have,
20 that's a little bit warmer? It's not at all clear that one
21 would be any better than the other. Then you have to factor
22 in, of course, the pre-closure risks. And maintaining an
23 open facility for longer, maintaining ventilation systems for
24 longer, making a larger repository have pre-closure risks
25 associated with them, actual safety risks; worker safety and

1 other risks associated with that. So, you can't divorce the
2 decision making process from the pre-closure risks either.

3 We've kind of focused on one aspect here which is
4 the next 10,000 years rather the next 50 years during
5 construction and operation. So, having said that, from a
6 risk perspective even though we haven't done the quantitative
7 analyses, I have to tell you, there's no "a priority" pre-cut
8 answer that one would be demonstrably better given all the
9 other uncertainties than the other.

10 Now, on the cost part of it, probably someone in
11 the Department should talk the costs. I believe one was a
12 little bit more costly, to be honest with you. The lower
13 operating mode was more costly depending on how you developed
14 the costs. And if you ventilated for 300 years versus
15 ventilating for 50 years, there's clearly some costs
16 associated with that. If you increased the area by a factor
17 of two, clearly there's some costs associated with that.

18 Joe, do you want to--Joe Ziegler?

19 ZIEGLER: Yeah, this is Joe Ziegler, DOE.

20 I think that probably the most definitive thing on
21 that was what was in the EIS where we looked at a range of
22 thermal operating modes. And my recollection is, is there
23 was a greater cost associated with the lower temperature
24 operating modes, and it was basically due to what Bob said,
25 is we extend the operation of the repository many, many

1 years, then the costs are going to go up. You extend the
2 amount of excavation that you do, the costs are going to go
3 up. I can't remember the exact numbers. I think it was in
4 the range of 15 percent or so from one extreme on the
5 operating mode to the other one as far as temperature goes.

6 And I think the EIS also has got a fairly well
7 documented quantification of the environmental impacts
8 including worker safety, occupational safety, additional
9 radon release from additional excavation which would affect
10 both workers and the public, and that's documented pretty
11 well in the final EIS.

12 LATANISION: Bob, thank you very much.

13 I think at this point, we'll turn to the closing
14 comment period or wrap-up statement period from the point of
15 view of the other organizations that are here. I understand
16 that all of the EPRI folks have left, and based on a short
17 conversation with John Kessler, I understand that they felt--
18 he felt that their comments had been adequately described
19 yesterday. So, apparently we will not have any need for a
20 closing statement or wrap-up statement on behalf of EPRI.

21 I'll call next on Tim McCartin, from NRC.

22 McCARTIN: I'll be very brief. We thank the Board for
23 the opportunity to participate in the meeting, and I think we
24 take the same approach as EPRI. I think we explained our
25 understanding yesterday and have nothing further to add.

1 LATANISION: Okay. Thank you.

2 Maury Morgenstein, on behalf of the State of
3 Nevada?

4 MORGENSTEIN: (Inaudible.)

5 LATANISION: Sure. Sure, by all means.

6 MORGENSTEIN: But they're quick ones. I'd like to start
7 out in recognizing the fact that the Program really has come
8 a long way, especially since several years ago or maybe
9 around the year 2000, I don't remember exactly when, when the
10 Program was sitting in J-13 in the saturated zone in the
11 laboratory looking at reactions that we deem today clearly
12 non-representative of the issues that are at hand. So, we've
13 come a long way, but I don't believe that we are at the end
14 of the road, and I don't think that we should think because
15 we now have some basic understanding of what might be
16 happening that we really do have a full breadth of knowledge
17 necessary, for example, for licensing.

18 Following that, the issue with regards to whether
19 we, the State, would prefer, if we had to have a repository,
20 a repository that was deemed cold or cooler, or one that was
21 deemed, as it appears today, warmer, we would unequivocally
22 go to the cooler repository for a host of reasons all of
23 which can be summarized by several issues of which can be
24 summarized by one statement. And that is a cooler repository
25 is one that we could get down and understand.

1 It is manageable from the point of understanding
2 the near-field reactions. It is clearly unmanageable in the
3 state of a hot repository. Now, whether this results in a
4 repository configuration that would cause additional costs or
5 there are other attributes that we need to factor in,
6 somebody has to do a cost benefit analysis. Do we want one
7 that we can rely on that's safer or do we want one that has
8 less radon exposure to the workers? But what are--what are
9 our considerations?

10 With respect to a hot repository, we believe that
11 the Program has gone somewhat astray on several items. If
12 we, for example, went to Joe Payer's excellent representation
13 of the different stages and we went to stage, I think, the
14 hot--the thermal stage, and that's probably stage three, if I
15 remember correctly, if I'm wrong tell me what number it is.
16 But if we went to the thermal stage and we took a look at
17 several issues, maybe my point will be made a little bit
18 clearer. Essentially, I have four comments on the thermal
19 stage.

20 One, we saw that the deliquescent salts that were
21 studied or looked for, which are essentially calcium-
22 chloride/magnesium-chloride, were not deemed to be reasonably
23 expected and in the salt packages that we see in the dust.
24 There was no mention of nitrates. No mention of an attempt
25 to look at, say, magnesium nitrate. Yet, we are all clear

1 that magnesium nitrate salt deliquesces and that if you put
2 C-22 in it, C-22 reacts and corrodes.

3 I mean, we have presented this information so that
4 we know that it's a bad player. Not all nitrates are, in
5 fact, inhibitors. They may be inhibitors under conditions of
6 local corrosion, but under conditions of general corrosion,
7 they appear not to be, at least in some concentrated
8 circumstances, and that's really what we're looking at.
9 We're looking at deliquescent salts on a metal surface. Yet,
10 we ignored the major player. So, we're not ready to give up
11 the thermal period from the point of view of dust. We don't
12 think that the analyses have been adequate at present.

13 The other major issue that really troubles us is
14 the concept of seepage. In almost all cases, we're looking
15 at the mean seepage, and our understanding of seepage events
16 is that they are going to be episodic. When we go in the
17 field in the summertime or even in the--well, dominantly in
18 the summer, we get rained on. And when we see floods at
19 Yucca Mountain, I've been out there and Forty-Mile Wash was
20 completely flooded, and actually there was a rowboat that
21 went down Forty-Mile Wash. Don't ask me where it came from,
22 but it was very weird to see this, and this was back in the
23 80's.

24 That is an extreme event. We do have extreme
25 events almost on an annual basis. It is those extreme events

1 that produce water in the repository. It's not the average
2 annual, mean annual, rainfall or infiltration. If we
3 concentrate on the extreme events and then concentrate on the
4 vapor barrier, which is purported to exist around the opening
5 of the tunnels, we can overcome the vapor barrier during the
6 thermal period under two conditions: one, sufficient head in
7 a fracture system that carries water, certainly not one that
8 doesn't carry water, so it will be not all over the
9 repository; two, if there's a high enough salt content in the
10 vadose water coming through.

11 So there are two clear conditions in which we can
12 go through the vapor barrier and produce water in the near-
13 field. If we can produce water in the near-field, and that
14 water contains solute, and it evaporates on hot metal
15 surfaces, whether it be the drip shield or canisters or both,
16 during the thermal period, we can have serious reactions in
17 the repository much more so than we would under cooler
18 repository conditions. We consider this extremely serious,
19 yet we do not see the Program focusing in this area.

20 With respect to the--and, essentially, my final
21 comment, with respect to the other end of the temperature
22 scale, we don't see any cutoff point. There may be one and
23 probably there's likely one with respect to localized
24 corrosion. We do not view localized corrosion as the only
25 significant means of corrosion in the repository. We have

1 reason to believe based on tachyhydrite reactions and
2 formation reactions that we will, at least, see temperatures
3 from 65 degrees to 140 as being very significant.
4 Tachyhydrite is only one of a multitude of salts that we have
5 looked at now that show strong reactions; strong reactions
6 under conditions of 1X pore water, unconcentrated, dripping
7 on hot metal surfaces. No preconceived Soxhlet experiments.
8 Simple hot plate.

9 You have to have some humidity. It's very
10 important. Without which if it's totally dry, no reactions.
11 So that there are some conditions necessary. These
12 conditions seem reasonable. They're not outlandish. They
13 fit within the confines of a cold repository as well as a
14 hot. Under the conditions of a hot repository, if you form
15 deleterious salts, which you're likely to do, those will stay
16 active probably through the full period of confinement.

17 Thank you very much.

18 LATANISION: Let me ask if the Board has any comment or
19 question to follow up?

20 (No audible response.)

21 LATANISION: Anyone from the audience want to respond?

22 (No audible response.)

23 LATANISION: In that case, Mr. Chairman of the Executive
24 Committee, I pass the baton to you for a wrap-up on behalf of
25 the Board.

1 DUQUETTE: This will take about 10 seconds, but I do
2 want to thank everyone who participated in the meeting. I
3 especially appreciate comments from the public in this
4 particular case.

5 As everyone in the room knows, the Board's mission
6 is to evaluate the technical and scientific validity of DOE
7 activities. So, we especially look forward to hearing from
8 DOE on the new data and research on this subject. We did
9 give DOE some latitude to put together today's agenda, and
10 it's clear that a lot of hard work in developing new data and
11 developing new concepts and in making the presentations went
12 into their effort.

13 We especially appreciate the Nuclear Regulatory
14 Commission, EPRI, and the State for participating in the
15 meeting, although you're not required to, of course; only the
16 Department of Energy is when we hold these meetings. So, we
17 really appreciate your efforts and your presentations.

18 The discussions over the last couple of days gave
19 the Board a lot to think about. The meeting started out, of
20 course, to just address the thermal pulse. We've gone way
21 beyond that, and we appreciate that. I think we've gotten a
22 lot of good and new information from it.

23 Bob Andrews did say that the information presented
24 today answers the questions raised by the Board. I'm not
25 sure that that's entirely correct at this point. As is our

1 practice, we will review everything we've heard, the new data
2 that comes with it, and we will, of course, report in a
3 letter to Margaret when this meeting is over with.

4 And so with that, I think the meeting is concluded.
5 I want to, once again, thank you all for your participation,
6 and it's cocktail time.

7 (Whereupon, at 6:38 p.m. the meeting was concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2