

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

BOARD MEETING

Wednesday, November 9, 2005

Renaissance Las Vegas Hotel
Las Vegas, Nevada

BOARD MEMBERS PRESENT

Dr. Mark Abkowitz
Dr. William Howard Arnold
Dr. Thure Cerling
Dr. David Duquette
Dr. B. John Garrick, Chair, NWTRB
Dr. George Hornberger
Dr. Andrew Kadak
Dr. Ronald Latanision
Dr. Ali Mosleh
Dr. Henry Petroski

SENIOR PROFESSIONAL STAFF

Dr. Carlos A.W. Di Bella
Dr. David Diodato
Dr. Daniel Fehringer
Dr. Dan Metlay
Dr. John Pye

CONSULTANTS

William Murphy
Victor Gilinsky

NWTRB STAFF

Dr. William Barnard, Executive Director
Karyn Severson, Director, External Affairs
Joyce Dory, Director of Administration
Linda Coultry, Program Support Specialist
Devonya Barnes, Office Assistant

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
B. John Garrick, Chairman, NWTRB	278
Total System Model	
Christopher Kouts, DOE	284
<ol style="list-style-type: none"> 1. What are the key data and assumptions in TSM (e.g. processing time for preparing and unloading casks at Yucca Mountain? What are the sources of these data and assumptions? How realistic are these likely to be? 2. What are the key conclusions from the scenarios analyzed to date? 3. Are there any obvious constraints or "choke points" in the waste management system? If so, how does the program intend to mitigate or resolve these problems? 4. What aspects of thermal management are incorporated into the TSM? How much an influence does the project's thermal management strategy affect the performance of the waste management system? 5. To what extent have the conclusions from TSM studies influenced design of the system? 	
Conservatism in Performance Assessment	
Abe Van Luik, DOE.	325
Robert Andrews, BSC.	334
<ol style="list-style-type: none"> 1. What does the DOE consider to be an appropriate level of realism/conservatism in the TSPA? What is the basis for this approach? To what extent is it determined by EPA/NRC regulations or guidelines? If so, what are the regulations or guidelines? 2. Which assumptions (models and data) are the most conservative, i.e. are the farthest removed from realistic assumptions? Why were they used? Which assumptions have the most potential for skewing the TSPA results to the larger dose rates or earlier times? Why were they used? 	

I N D E X
(Continued)

PAGE NO.

- 3. Which assumptions (models and data) are the least conservative? Why were they used? Which assumptions have the most potential for skewing the TSPA results to the smaller dose rates or later times. Why were they used? Specifically address the following possible non-conservatisms; coupled processes, colloidal transport of radionuclides, localized corrosion rates, seepage water composition.
- 4. If a decision were made to improve the realism in the DOE's TSPA, in what areas would additional data need to be obtained? Approximately how long would it take to produce a validated and qualified assessment?
- 5. To what extent does the use of conservatism or non-conservatisms aid or impair an in-depth understanding of how the repository system and its parts function to isolate waste?

State of Nevada--Review of Tunnel Stability Issues
 Frank Kendorski, Consultant to the State of Nevada,
 Agapito. 389

Public Comment Period. 404

Adjourn. 417

P R O C E E D I N G S

1

2

(8:05 a.m.)

3

GARRICK: Take your seats, please.

4

In spite of one absenteeism yesterday, I thought we had a pretty good day. The Board heard a number of presentations, saw some new data, and had quite a bit to think about as far as our evaluation of it and its impact on future meetings. Of course, any comments I make now about what happened yesterday are my own comments and not representative of the Board, but I do believe that we heard some very valuable information. I thought the discussion about the standards by Forinash and Gilinsky were very constructive and helpful.

14

I'm always amused by some of the issues that come up, one of the issues being this business about means versus medians and I've never quite understood why that's such a debate. It seems that if you really are presenting and assessing standards on the basis of central tendency parameters and those central tendency parameters come from distributions, the central tendency parameters being medians and means, that why not use the distribution? That is a personal opinion, of course. We often talk about the fact that good decisions are based on good information and complete information and certainly I'm of the opinion that

24

1 people can handle probability curves and distributions
2 represent more information than any subset or subdivision of
3 it. So, I'm always a little amused at those discussions.

4 I thought the discussion about the OCRWM program
5 was very valuable and brought us up to date on what's going
6 on. I guess, a walk away message I had there that concerns
7 me a little bit is the lack of focus that could be created by
8 the new ideas and concepts and critical decision analyses
9 that are now going on. It seems that it's just too easy that
10 when the going gets tough on a project that you do something
11 else. And, I sure hope that's not what we see here. That is
12 to say that we see a loss of focus on addressing and solving
13 the issues associated with getting a repository.

14 The science program, I thought the Board has always
15 expressed a very strong interest and support for the science
16 and technology program and other science programs that tend
17 to provide support information, data, and evidence for the
18 case for Yucca Mountain. I'm always looking for a little
19 more science work in the specific area of radionuclide
20 transport and mobilization. The work on the source term is
21 certainly in that direction and it would certainly be
22 constructive to see a little more direct evidence of a better
23 understanding of radionuclide transport specifically in
24 nuclides in the unsaturated and saturated zones. We know
25 there's some things going on in that regard, but we also

1 learned from the program, as we have learned many times, that
2 groundwater movement is not necessarily a good surrogate of
3 radionuclide transport and getting a much better handle on
4 what really happens to the things that matter is something
5 the Board continues to probe and look for.

6 There was no question that a lot of new
7 information, a lot of new data was presented with respect to
8 the drip shield and some with respect to localized corrosion.
9 And, there's no question either--I think, you've determined
10 from the Board's questions--that this is going to take a lot
11 of probing and certainly as to how we're going to probe that
12 and how we're going to examine the supporting evidence will
13 be something we'll be discussing in the next day and a half
14 here at our business meetings. But, the issues having to do
15 with corrosion are still very much an open issue. The issues
16 having to do with the drip shield and its long life are still
17 very much an open issue that we want to get a better handle
18 on and, fortunately, we're going to hear more about the drip
19 shield issue today from the consultants to the State of
20 Nevada.

21 I do want to remind everybody that we will have
22 another opportunity for public to make comments and this will
23 happen at the end of the meeting. But, as we did yesterday,
24 you're welcome to make comments or questions available as the
25 day progresses or as the half-day progresses and give those

1 to the staff at the back of the room and we'll be sure to
2 address them during the question/answer session. And, of
3 course, the public can submit written comments at any time
4 and these comments can become a part of the record.

5 All right. I'd like to now move into today's
6 agenda. We're going to cover the total system model,
7 conservatisms in performance assessment, and the State of
8 Nevada's perspective with respect to the tunnel stability
9 issues. And, I'm going to ask Board Member Dr. Mark Abkowitz
10 to lead the discussion on the total system model, and
11 following the break, I'm going to ask Ali Mosleh and George
12 Hornberger to lead the discussion on conservatisms in
13 performance assessment.

14 ABKOWITZ: Thank you, John. Good morning, everybody.

15 Dr. Duquette, my good friend and distinguished
16 colleague, yesterday alluded to running a slightly late
17 meeting, but pointed out that there was an anonymous Board
18 member who has a history of running much later meetings than
19 that, that being myself. So, this morning, the Board has
20 wisely given me just one presentation to facilitate with the
21 hope that maybe they can teach an old dog new tricks.

22 In any event, this morning we're going to be
23 hearing from Chris Kouts from DOE on the total system model.
24 And, the Board has been interested for quite some time in
25 terms of the waste management system and how the Department

1 of Energy was planning that system and the interactive
2 effects that go on in trying to make a complex system like
3 that work.

4 In the Board's opinion, there are four different
5 regimes that need to interconnect seamlessly for this to work
6 well; namely, waste acceptance, transportation, processing
7 and handling at the surface facility, and emplacement in the
8 repository and to work through that and maintain the
9 appropriate level of safety, security, and through-put is a
10 daunting task. So, for several years now the Board has been
11 on the record as recommending a systems approach to this.
12 We've gotten a glimpse of the Department of Energy's desire
13 to move in that direction, I think, initially about 18 months
14 or so ago from Chris Kouts when he talked about a total
15 system model that was being developed with the idea of having
16 a tool that could represent a day in the life of a waste
17 shipment with an eye towards being able to fully represent
18 all the different events and interactions and impacts from
19 operating a system of that scale.

20 As part of the fact-finding visits that Dr. Garrick
21 referred to over the last nine months or so, the Board has
22 had an opportunity to visit the developers of the total
23 system model down in Oak Ridge and then had a subsequent
24 presentation by that same group out in Las Vegas. We were
25 very pleased with the quality of the work that has been

1 undertaken. It is a very complicated model to the extent
2 that it represents every different fuel element, but it's a
3 very sophisticated and accurate representation to the extent
4 that the simulation at that level was able to look at a
5 variety of different assumptions about waste acceptance, a
6 variety of different assumptions about transportation, and a
7 variety of different assumptions at the surface facility, and
8 the emplacement process. So, we see this tool as being
9 extremely valuable in the path forward for the Department of
10 Energy as they grapple with issues about thermal management,
11 issues about casks, both designs and modes, issues about
12 route, issues about surface facility design, aging tab, and
13 so forth. So, we are very encouraged by the availability of
14 this tool. We believe and hope that the Department of Energy
15 will make it a mainstream decision support tool in their tool
16 boxes as they go through the system planning process. And,
17 we thought it was important at our next public meeting, being
18 this one, to give the developers of that tool an opportunity
19 to present, at least at a NAPA level what it's designed to do
20 and also present the kind of output that are possible so that
21 we all have a better understanding of what the capability is
22 here.

23 Presenting today for the Department of Energy will
24 be Chris Kouts. I imagine just about everyone in this room
25 knows Chris either in his current capacity or various

1 capacities he's served over the last 20 years in the OCRWM
2 program. Presently, he's the director of the OCRWM office of
3 systems analyses and strategy development and, as I mentioned
4 before, they are the host of the TSM model.

5 Chris?

6 KOUTS: Thank you, Dr. Abkowitz. It's nice to be
7 actually out of Washington and being able to speak about the
8 total systems model. I was unable to attend the two
9 briefings that certain Board members received in Oak Ridge
10 and here in Las Vegas and it's a pleasure to be out of
11 Washington and be here before you to talk about, first of
12 all, our systems integration approach and a little bit about
13 our total systems model.

14 I guess, when I last briefed you in February, we
15 talked a little bit about the systems engineering approach
16 that the Department was taking in looking at the overall
17 system. I'm going to review that a little bit for you today.
18 In addition to that, I'll give you an overview of the total
19 systems model. This would be kind of a high-level view of
20 it. We're not going to get into the details, although I have
21 very capable staff and contractor support here to answer any
22 detailed questions that you might have. And, we'll also be
23 addressing some of the questions that were announced prior to
24 the meeting in relation to the total systems model regarding
25 key assumptions, key insights, constraints and choke points

1 in the system, how it deals with thermal management, how
2 we're using the TSM, and then hopefully I'll make some
3 summary remarks that will be interesting to you.

4 So, if we can move on to the next slide? As I
5 mentioned back in February, the program continues to develop
6 an integrated approach to try to deal with the regulatory
7 requirements under which we have to operate. First and
8 foremost, that's 10 CFR Part 63 which are the repository
9 disposal regulations that cover not only the underground, but
10 also the service operations at the repository. In addition
11 to that, we have to deal with our relationship with the
12 utilities, the standard contract, and in addition, we also
13 have to deal with 10 CFR Part 71 which are the movement of
14 materials, radioactive waste materials and new controlled
15 quantities cross-country. Most of you understand the next
16 bullet that we have there. This program has a variety of
17 challenges from resources, institutional interfaces, and so
18 forth. And, to the extent that our modelers can look at
19 cross-cutting issues that help us evaluate the program in
20 such a dynamic environment, I think this tool can be very
21 helpful.

22 Next slide, please? Again, reviewing what I
23 briefed you on in February, we did take a systems engineering
24 approach to implementation of the program and this has to do
25 with the flow-down of requirements. There is an apparent

1 requirements document in the upper box there. It's got a
2 long name, but it's basically owned by the director of the
3 program. I manage that document for the director. The next
4 level of documents are what we call Level 2 documents that
5 belong to the program elements. On the left, you have the
6 Yucca Mountain requirements document, in the center the waste
7 acceptance system requirement document which is what I own
8 myself. Then, Gary Lanthrum of our transportation program
9 owns the requirements that he needs that help define further
10 the parent requirements that he's given me in the upper box.
11 Underneath that are the interface control documents. Again,
12 those are things that I control and I developed within the
13 system; getting the system elements to work with each other,
14 did the dynamic interfaces so we can document them and
15 understand how we're going to implement the system.

16 So, if we can move right along to the next slide?
17 Now, I'd like to talk a little bit about the total systems
18 model and what it does for us. It basically gives us the
19 capability to look at linkages, interactions, synergies
20 between the different elements to understand how those
21 elements interact with each other as the system is operating,
22 and it gives us the capability to see whether or not the
23 facilities that we're designing, the transportation
24 capabilities can meet our baseline performance parameters
25 that are in our requirements document. It also gives us the

1 flexibility to look at alternatives to the implementation of
2 the system as we see it, potentially give us some insight as
3 to what system solutions might exist in order to deal with
4 meeting our baseline, and, of course, if the program or
5 policy impacts that affect the program, to the extent that
6 they can be modeled, we can also look at those.

7 If we could move to the next slide? This is what I
8 would basically summarize as inputs to the model. We get a
9 tremendous amount of information from the standpoint of spent
10 fuel characteristics that exist today at the reactor sites
11 and ones that we expect to see in the future in terms of the
12 burnup and age of those materials, what the heat will be at
13 any specific year. The same thing is true for defense high-
14 level waste or DOE high-level waste that's going to be
15 produced and is being produced around the complex. We
16 understand what the utilities had out at their sites. We
17 know the technologies that they have. We also understand the
18 operations that have to essentially be implemented at utility
19 sites in order to load the casks and we're going to be
20 providing them.

21 From a transportation standpoint, we modeled the
22 routes that are publicly available. The ones that we're
23 using right now, I'll get to in a little while which are
24 basically out of our Final Environmental Impact Statement
25 that we published a few years ago. Cask capabilities, those

1 are all inputs to the model. In other words, how much the
2 casks can actually move in any one shipment which is a very
3 controlling factor in terms of a lot of outputs. The type of
4 fleet we're going to have, how much truck, how much rail,
5 that kind of information is all input.

6 And, of course, the repository operation, how the
7 surface facilities operate, what the capabilities of those
8 facilities are, we get down into the details of that and try
9 to basically for the purposes of the model abstract it
10 upward, if you will, similar to the TSPA process so that the
11 model can run in a real time fashion.

12 So, I think the take back from this slide is
13 basically the information that goes into the model comes from
14 the individual elements of the program; waste acceptance,
15 transportation, and repository. We get that information, we
16 try to understand it, and try to get it into the model in a
17 manner that is representative of what we're currently
18 planning as we can.

19 The next slide, more or less, gives you a sense of
20 what outputs come from the model. We get a tremendous amount
21 of data out of the model when it makes a run for a 70,000 ton
22 case. Typically, it will be just unbelievable amounts of
23 information that you can delve into to watch waste as it
24 travels through the system, how it travels through the
25 system, how long it takes at any one process step, whether or

1 not spent nuclear fuel has been aging, how long it was in
2 aging, when it was actually put underground, and so forth to
3 meet our requirements.

4 So, the diagram on the right indicates that
5 basically the model as it's constructed gives us the
6 understanding, if you will, as to how the elements interact
7 with each other and how certain requirements in the system
8 can flow back, certain requirements in the repository then
9 flow back to waste acceptance, and how also waste acceptance
10 propagates to this and then affects how the system operates.

11 So, if we can move to the next slide? This is what
12 I would refer to as the geek slide for those of you who are
13 into model architecture. I won't try to go through it in a
14 great deal of detail other than to say that the platform that
15 we selected for this model called SimCAD. It's a trademark
16 software. It's something that we felt was an excellent
17 choice for our purposes. It's something that's been used in
18 manufacturing processes, refinery processes, basically
19 airport queuing, hospital queuing. It essentially is an
20 object driven model that allows you to follow an object
21 through it. An object will move from one step to the next
22 depending on the trigger that that object needs. For
23 instance, if a reactor is waiting for a cask, the reactor
24 will call for the cask and the type of cask that that reactor
25 needs. And, that's the kind of trigger that will move the

1 model. Then, once the cask is filled, then it has to move
2 through the transportation system. It gets to the repository
3 and it has to go through the different process steps. And,
4 I'll go through this in some more detail in some later
5 slides.

6 Again, I'd like to reiterate the advantage of the
7 models. That it does give us a tremendous amount of data
8 that we can go back and mine and research and understand how
9 the model is telling us how the system will operate. It also
10 has the advantage of having a graphical user interface so you
11 can actually watch the model as it operates and see if there
12 are any choke points or problems associated with the
13 implementation of the systems. So, from that standpoint,
14 it's a very useful tool to help us understand how that system
15 might be implemented.

16 We can move to the next slide. This is kind of a
17 high-level view of the graphical user interface. This gives
18 you a sense of transportation, waste acceptance, and the
19 repository modules. Each of those boxes, each of those
20 little items, if you click on it with the model, you can pull
21 up the sub-model. It's actually a model within models and a
22 variety of different models that flow up into upper
23 architecture. But, you can delve down to look at a specific
24 sub-model. If you want to look at a specific facility and
25 see how that facility is operating, if you want to see a

1 component of a transportation system is operating, it gives
2 you the flexibility and the capability in order to do that
3 and I'll show you that on succeeding slides.

4 Let's go to the next slide. This is a sense of
5 just a segment of part of the transportation system. This is
6 the southeastern section of the country. You can see that
7 there's a variety of different types of transportation modes
8 here. We've got barge, we've got heavy haul. We basically
9 tried to model exactly what we had in the FEIS. This is
10 really not new information, but it helps us understand how
11 the transportation system will be implemented. In addition,
12 we can track how many shipments will go through Atlanta or
13 any other node that we have within the system and that's very
14 valuable from just understanding as we move forward how, when
15 we start to deal with Section 180-C, emergency response
16 requirements, we can get a sense of how many shipments one
17 area of the country might see as opposed to another area and
18 we can make a determination about what kind of resources may
19 need to go to those different areas of the country.

20 Moving on to the next model--this is a group of
21 models, I should say. This is a depiction of the different
22 processes that we have within the repository program, surface
23 facilities. I think the real advantage of the model here is
24 that if you want to shut off a facility, you can shut it off.
25 Take, for instance, the dry transfer facility is down and

1 you can see how the system will react if, all of a sudden, we
2 lose our bare fuel handling capability or our production bare
3 fuel handling capability. Or if you wanted to see how the
4 system would react if our canister handling facility went
5 off-line for some reason, you can also see that. In
6 addition, because we have sub-models that we can add,
7 basically within the architecture of the model, we can add
8 more canister handling facilities if we're going to more of a
9 canistered approach and we can see basically the kind of
10 facilities we'd need to meet our rate. So, again, it's a
11 very flexible model. It also allows us to watch on a real
12 time basis how the system is being implemented--is operating,
13 I should say.

14 Next slide. I'd like to get now to the specific
15 questions that the Board asked prior to the meeting and I'll
16 try to touch on each of those topics. And, I'm sure if you
17 have any questions, more information, or if you want to stop
18 me as I'm going through, you can feel free to do that.

19 Let's go the first slide. I think the first
20 question was and I'll read it to you, "What are the key data
21 and assumptions in TSM (e.g. processing time for preparing
22 and unloading casks at Yucca Mountain? What are the sources
23 of these data and assumptions? How realistic are these
24 likely to be?"

25 I essentially covered this in my introduction, but

1 I'd like to reiterate the fact that we go to the people who
2 are actually designing the facilities, implementing the
3 facilities, and get the data directly from them. Now, we
4 don't make up the information. We go to the individual
5 components of the program, sit down with them, and try to get
6 information so we can figure out how to make the model work.
7 We also have a very strict configuration control plan on
8 this model. We know the configuration of the system that
9 we're running. We document that, and if we're going to make
10 changes to that, we go through a change control process so we
11 understand from one scenario to the next what changes we've
12 made to the system and to the model as we're evaluating it.
13 So, I think that's critical in terms of understanding the
14 different options and implementation options of the system
15 and it's something that we're going to with as much rigor as
16 one can imagine with this area.

17 In terms of the issue of realism, I think that's a
18 subjective term. I think we do ask questions to the people
19 within the program regarding the assumptions that we're using
20 and information that we're taking back. I think the
21 information is as good as we can get it and will get better
22 as we move forward into the future and we learn more about
23 the systems. So, as we get better information, more
24 information, we'll update the model and update the inputs to
25 make sure that it's tracking the system as much as and as

1 closely as we can.

2 Next slide. This basically gives you a sense of
3 how we take the information from the repository modelers or
4 the repository designers, if you will. The simulations that
5 the repository designers use--and they use similar software
6 to what we use--they're down to the 10 to the 30 minute
7 process step within each of their facilities. Our TSM or our
8 total systems model basically looks at eight hour increments
9 so that we will take the 10 to 30 minute steps and we'll roll
10 that up to an eight hour step, if you will, of operations
11 within that facility at a higher level so we can basically
12 make the model operate. But, we look at eight hour time
13 steps and we go for eight hours from initial operations
14 through the 30 or 40 years that it takes to get all the waste
15 into the system. And, that's another reason why we have so
16 much data that comes out of this. So, we are down to the
17 eight hour level, and in many cases of the facilities there,
18 at the 10 to 30 minute level done in their simulations.

19 If we can move on to the next slide, I, more or
20 less, already covered this, but the information that we take
21 from the transportation component of the system basically is
22 reflected by those routes that were in the FEIS. As those
23 routes change as we identify routes in the future, of course,
24 we'll update the model and make sure that it's consistent
25 with that. But, at the current time, we're looking at the

1 rail and the truck routing that was in the FEIS that was
2 published several years ago. And, of course, we'll have
3 strong configuration control on that, and as we change those
4 routes as decisions are made and as we work with state and
5 local governments, we'll update the model and again
6 understand exactly how the transportation system is
7 operating.

8 The same thing is true with input that we get from
9 the utility sector. We went through kind of an informal
10 survey with the industry last year. The facility interfaced
11 datasets that--well, when we asked them to update their
12 information at their sites, we understood what kind of crane
13 capacities they have, what kind of capability they have to
14 handle various types of casks on their site, and we took that
15 data and that's the data that we're currently using in our
16 model. And, as we get more information from utilities in the
17 future and as their capabilities on their sites change, we'll
18 make sure that that information is also input to the model.

19 Now, in terms of key insights that the model can
20 provide us, I just want to give you kind of a theoretical
21 example. If you look at the blue line here, those are our
22 system requirements that indicate the ramp-up rates. In our
23 first year of operation, we're projecting that we would want
24 to have a 400 ton capability to move material through the
25 system ramping up to 3,000 tons in the fifth year. That's

1 what the blue line indicates. And, the red line indicates
2 based on a theoretical analysis of the capabilities of the
3 facilities that we currently have designed, you can see
4 little gaps between the requirements and the actual baseline
5 requirement which is depicted on the right graph over there.

6 And, the first valley is basically a sense of if
7 you look at the facilities that we currently have which, of
8 course, may change based on our canister decision, the first
9 facility we had available was the FHF, the fuel handling
10 facility. One of the things the model tell us is that it
11 takes just about as much time to process a truck cask as it
12 does a rail cask. And, if we have a variety of truck casks
13 in the system, our ability to process that until the DTF
14 comes on line is limited. So, we have a little valley there
15 which indicates what we call a valley curve which indicates
16 that our ability to process those materials through is
17 limited because of the facilities that we have. And, the
18 larger valley curve on the right, assuming that the
19 Department decided to take the canisters from utilities that
20 currently exist, our ability to cut them open and our ability
21 to repack them is basically limited in the DTF facilities
22 that we design. What you see there basically indicates that
23 we would have a deficit, if you will, in terms of our
24 acceptance capabilities since we were taking those toward the
25 end of the operational life of the repository in the 25 to

1 the 35 year time frame. Now, this is information that gives
2 us an understanding, if you will, that if we want to reduce
3 that valley curve and maintain our acceptance capabilities
4 and our processing capabilities that we may have to add
5 additional capability in order to deal with those unless we
6 want to have that deficit out there. So, these are the kinds
7 of insights that the model can provide us and basically
8 inform us as we implement the system.

9 Next slide, please? I know thermal behavior is
10 something that the Board is interested in and the model does
11 have the capability to track the thermal output, if you will,
12 of an assembly as it leaves the reactor and a group of
13 assemblies, if you will, all the way through the system.
14 And, also, when you set a constraint about 11.8 kilowatts per
15 waste package, it also allows us to see how we need that
16 constraint and how much aging we have to do on site and so
17 forth. So, basically, the model gives us the capability to
18 see exactly what a thermal constraint might be here at the
19 reactor sites or at the repository and give us information,
20 if you will, as to how well we're meeting that.

21 And, that's what the next slide gets to. Well,
22 this is one of those slides, I should say. The last slide is
23 the one I was talking about, but let me talk about this one.
24 In terms of how much aging we'll need on site, it gives us
25 an understanding, if you will, of how much we'll need and

1 over what time period we'll need. And, in this scenario,
2 it's roughly about the 21,000 metric ton case which is
3 basically what we've been designing to all along. So, it
4 does provide us insight as to whether or not we're meeting
5 the 21,000 case, if you will, that we've been analyzing in
6 the past and in this scenario, it does.

7 And, the last slide--next to last, I should say--
8 again the output of the model gives us so much information.
9 We can see how well we're meeting the--this is a PWR
10 cumulative average case for each of the different packages
11 that we process over a 35 year period. We can see you can
12 thermally map each one of these so you understand whether
13 you're meeting the 11.8 or not and you can look at what the
14 mean is of those that we're processing in any one year. So,
15 it's a very powerful tool in that case to give us insight as
16 to whether or not we're meeting our thermal goals.

17 And, with that, what I'd like to do is to just make
18 a couple of summary comments that we believe it's a very
19 useful tool, we're going to keep working on it, and we've got
20 to keep working on it to keep it updated to our latest
21 program assumptions and our latest configurations, if you
22 will. And, we look forward to the fact that this will,
23 hopefully, help us in the future understand how we can make
24 the system better and how we can operate it better.

25 And, I'd be happy to answer any questions.

1 ABKOWITZ: Thank you, Chris.

2 Board members, Andy?

3 KADAK: Yeah, Chris, I think the program is really very,
4 very good and hopefully will be used in the future. I have
5 some questions about assumptions though and I urge you to
6 contact the stakeholders directly to get the data. Based on
7 our, you know, evaluations, it appears that some of the
8 assumptions that you've made aren't necessarily appropriate
9 for what the reality is in terms of the field. And, in
10 particular, the availability of spent fuel currently in pools
11 in terms of its heat load and whether or not, you know, you
12 can have the utility thermally blend in accordance to your
13 standards. And this is, I think, a critical issue that is
14 hopefully now being addressed when you look at the canister
15 program. Your comment on that?

16 KOUTS: Yeah, I think whenever you want to dialogue with
17 the utilities about meeting our thermal needs, if you will,
18 assuming we understand what they are and assuming we know
19 exactly what we want, it always comes back to the issue
20 about, okay, when are you coming to my site? Because it's
21 very temporal. In other words, what's in the pools today is
22 not going to be what's in the pool 10 years from now because
23 they're going to make their own decisions based on what they
24 need to do to put materials for dry storage. So, the
25 discussions and the projections that we do are our

1 assumptions based on how the utilities will manage their
2 fuel. We do make projections of that. But, again, at
3 getting back to every time we do dialogue with the utilities
4 and we do talk to them, it always comes back to, okay, you
5 let us know when and then we can tell you what we can do to
6 meet your goals. That's a very important key question that
7 you have to answer for them before you can get real time
8 information from them that may be helpful.

9 KADAK: I guess, if it's such an important question then
10 I think you need to do that now to validate assumptions not
11 only in what's in the pool, but also when you think about
12 designing a cask system to handle off-normal fuel, small or
13 larger, you may be making an assumption that isn't also valid
14 because the utility probably--you know, if you're going to go
15 to a truck or rail system, those assumptions are critical and
16 I think that input is very important to the policy makers at
17 DOE regarding this program. So, I strongly encourage major
18 interaction not only with the utilities, but the truck and
19 the rail and also the logistics providers because it can
20 dramatically change what you're designing.

21 KOUTS: That's a good point and I do want to indicate
22 that I do think the utilities will work with us and try to
23 meet our needs. I think it's to everyone's advantage. And,
24 when we have those discussions, I'm sure you'll be--I think,
25 we'll be very pleased with how they'll react to our needs.

1 ABKOWITZ: David?

2 DUQUETTE: Duquette, Board. Chris, it looks like the
3 program is very flexible and we've heard some discussion
4 about a change in possible procedure that would involve
5 containerizing the fuel at the site and then just basically
6 sliding it into the waste package at the facility. I'm sure
7 the system can handle that just fine. Have you begun those
8 analyses?

9 KOUTS: Yes, we have.

10 DUQUETTE: Will you be able to share the results of that
11 with us at some point?

12 KOUTS: Sure, I think we'd be happy to do that. I think
13 that the model doesn't tell us--it doesn't give us great
14 insights and, hopefully, it won't because it should be
15 intuitively obvious what the results of the model are. And,
16 let me just give you an example. What the model will tell
17 you is that the larger the package that you move to the
18 system, the more effective and efficient the system is
19 primarily from the standpoint as it's fewer shipments, it's
20 lower dose of utility since they've been in low operation in
21 the fuel operations, it's fewer packages that we're handling
22 at the repository. It's those kinds of things that the model
23 can put out insight to. In terms of heat load, what it will
24 tell you is if you go above 11.8, there are certain
25 advantages to going above 11.8. There's more fuel available

1 to meet that capability or that restraint at the sites than
2 at 11.8. Also, it potentially reduces the amount of aging
3 that you have at the repository in order to meet the thermal
4 goals. So, I think we're looking at parametric analyses and,
5 yes, I think we're more in position to share that information
6 and we'll certainly be happy to sit down and share that with
7 the Board.

8 DUQUETTE: I'm reasonably sure it's going to change
9 those valleys considerably because, at least, one of your
10 valleys had to do with cutting open the containers and
11 repackaging at the sites. I think that's going to change for
12 sure.

13 KOUTS: Well, that's going to be an interesting subject
14 as we go forward and I don't want to, you know, bring lawyers
15 into the room, but that's also a subject of litigation
16 between the utility industry and the Department and I won't
17 say anything about that because I was in Court two weeks ago.

18 DUQUETTE: Didn't mean to open that Pandora's Box.

19 ABKOWITZ: Thank you. John, then Henry, and then Ali.

20 GARRICK: Chris, let's go to Slide 11. When you
21 presented this slide, you indicated that the model had the
22 capability to shut down any of these steps in the process.
23 Have you made any attempt to correlate the shutdown scenarios
24 with actual operating conditions and actual insights learned
25 from the safety analysis at the surface facilities?

1 KOUTS: Not as of yet. I think that's something that's
2 on the table for us to do as we move forward, but that's--as
3 we indicated, the model has the capability for doing that.
4 We haven't actually sat down and looked at those kinds of
5 scenarios as of yet. And, with the configuration of the
6 system changing, this is what I would consider to be OBE, if
7 you will, this configuration is OBE, but as we develop new
8 configurations, I think we're going to have to get into the
9 kind of issues that you're referring to.

10 GARRICK: Yeah, this is very relevant to the question
11 about bottlenecks or choke points or what have you and I'm
12 especially interested in upset conditions.

13 KOUTS: Right. We have the capability to do that also;
14 not here, but also in the transportation area. If there's a
15 segment of rail line that's down for maintenance or
16 something, we can watch how the model would route the
17 shipments around to a different, you know--

18 GARRICK: I think it would be very valuable in designing
19 any kind of a recovery plan or emergency response or what
20 have you.

21 KOUTS: Agreed.

22 ABKOWITZ: Okay. Apparently, there's telepathy on this
23 side of the table. Henry's question and John's question were
24 one and the same. So, we'll move to Ali.

25 MOSLEH: Mosleh, Board. This, of course, has been an

1 extremely valuable tool. I think we recognize that and I'm
2 very excited about, you know, the potential that you have.
3 So, my question is mostly on the capabilities of the tool
4 you're utilizing. To follow up on John's question, do you
5 envision this to be at some point a means to actually do a
6 probabilistic scenario analysis?

7 KOUTS: Yes.

8 MOSLEH: Okay. And, is it also a tool for optimizing?
9 I know that you can run sensitivity parametrics, but you can
10 also optimize?

11 KOUTS: Absolutely. Absolutely. And, as the system
12 becomes more defined, I think that that's what we'll be
13 looking at and I think we want to first conceptualize a
14 system that will meet all the uncertainties and then you
15 being to look at, okay, given the uncertainties, how do you
16 focus down on a deployment that will deal with the outliers,
17 but will be as efficient as you can possibly make it. So,
18 the simple answer to your question is yes, but the model does
19 have the capability of doing probabilistic inputs, if you
20 will, and I think that will be an excellent tool as we move
21 forward to help optimize our system.

22 ABKOWITZ: Howard?

23 ARNOLD: Arnold, Board. I guess, my question is related
24 to Ali's. Looking at your model here, I'm asking where you
25 think you stand. Do have further model development efforts

1 needed or are you basically in a mode of optimizing or
2 reacting, as the case may be, to program decisions made by
3 the project office?

4 KOUTS: Well, I think it's a little bit of both. I
5 think what we're seeing now within the program is that people
6 want to understand can the model look at this, can the model
7 give us a sense of how the system would operate under this
8 scenario? So, I think, we're going to be helping the people
9 who are going to be making decisions about the system
10 understand how the system will operate with "what-ifs", if
11 you will. So, in addition to that, after we come up with a
12 configuration, as I mentioned in relation to the last
13 question, it's going to give us the opportunity to do
14 sensitivity studies off what we think is going to be the
15 right configuration for the system and understand its
16 flexibility, if you will, to deal with the out of bounds of
17 the uncertainty that we're going to have to deal with.

18 And, let me give you an example of uncertainties.
19 I know that this canister decision is something that the
20 Board is very much interested in and we're looking hard
21 within the program to figure out the best way to implement
22 it. We want to try to maximize the amount of canister
23 materials that we're going to be handling at the repository,
24 but the amount of canister material will be dependent on a
25 lot of things. It will be dependant on the size of the cans

1 that we develop and the capabilities at the reactor sites,
2 the willingness of the utilities to participate in this
3 exercise. Remember, we've got a contract. We can't dictate
4 to the utilities; we have a contract. We have two signatures
5 to that contract, the U.S. Government and the contract
6 holder. So, the uncertainties in terms of the out of bounds,
7 the best we can do and maybe the uncertainty about how much
8 bare fuel handling we'll have in the system is something that
9 we're going to have to work on and the model will give us
10 insights as to the kinds of facilities that we'll need on
11 site to deal with, shall we say, the bounds of what we feel
12 we can implement from a canistered approach.

13 ABKOWITZ: Thure?

14 CERLING: Cerling, Board. This is a long way out far
15 from where I spent a lot of my time thinking. So, I'm just
16 wondering how you interact with all of the elements that are
17 non-DOE and, in particular, do you go out to talk to the
18 railroad, the utilities, and the manufacturers and get their
19 input or do you somehow have a system where those entities
20 can all interact with each other and where part of the
21 playing field is just one of the many plans?

22 KOUTS: Okay. Let's take a piece of that at a time.
23 Gary Lanthrum is implementing the transportation system. So,
24 Gary is really doing the implementation of that. He's the
25 one that's talking to the railroads. He's the one that's

1 looking at how best to implement that. So, he would be our
2 process source of information. He's within the program
3 devoted to those responsible elements and that information.
4 Now, if it had to do with the reactors, we have mechanisms to
5 get information should we need it from the utilities also and
6 we do have interactions with them.

7 So, the simple answer to your question is there are
8 interactions, I think, at every level; at the working level
9 and those elements that we're trying to deploy, those pieces,
10 the people at the repository working on their designs, but
11 there's a lot of cross-cutting information that we share and
12 there's a lot of communication in the program in order to try
13 to implement the approach. So, that's the best way I can
14 answer your question. We don't have a meeting like this and
15 get 500 people in a room, some people from the transportation
16 industry, utility industry, and so forth. In most cases,
17 that isn't productive, but we do try to find the best
18 available source for the information and we try to work
19 through the program to the extent that we can to get that
20 information.

21 ABKOWITZ: Dr. Duquette?

22 DUQUETTE: Duquette, Board. I see your program
23 currently, this systems analysis as you're currently using it
24 as a strategic plan on handling, moving stuff into the
25 facility. This has to do with John Garrick's question. Do

1 you see this as a practical tool that can be used on a day-
2 to-day basis assuming, for example, an upset condition such
3 as a derailment or a fire in a dry transfer facility that
4 will hold up waste and so on and so forth? Do you see it a
5 program that can interact with the program on real time basis
6 while it's in operation? For example, let's hold up that
7 shipment at Point A because something is happening at Point
8 C?

9 KOUTS: It certainly has the capability to do that. I
10 think that that gets down to more than optimization approach
11 about how the system will react to different situations.
12 And, again, we had a system deployed and now that system is
13 going to be changing. We're going to get that configuration
14 done first and understand how it operates given the
15 uncertainties. Then, I think the next step will be to do
16 exactly what you're talking about which is to basically look
17 at "what-if" scenarios and how the system will react to the
18 events and let's you see in the end the loss of capability at
19 various points within the system. The same thing as if
20 reactors are unavailable, you know, what other reactors can
21 we go to at a certain point in time. I mean, all those
22 things have to be looked at.

23 DUQUETTE: I had more in mind something like an
24 immediate response type thing where someone is monitoring
25 this thing on basically a day-to-day basis and saying I know

1 exactly where everything is and what's happening and what I'm
2 going to do if something goes wrong somewhere in the system.

3 KOUTS: I understand and that's something that--given
4 where we are today, I think it's something we need to do, but
5 we haven't done it up to this point.

6 DUQUETTE: Sure, thank you.

7 ABKOWITZ: Andy?

8 KADAK: Kadak, Board. I'd like to push back on the
9 comment about a lot of communications with the stakeholders.
10 Our experience and our conversations with those same
11 stakeholders, including the trucking companies, the
12 railroads, the utilities indicates that you've had almost no
13 communication with these stakeholders. And, I think, that
14 has effected the design of the facilities that are displayed
15 here and are a serious problem. And, I think the tool that
16 you're developing is a great vehicle by which to engage in
17 serious discussions with these stakeholders which is what I
18 encouraged you to do earlier. But, the problem apparently is
19 what you mentioned earlier, legal questions, legal disputes,
20 Court cases. I would urge the Department of Energy and the
21 utilities to put that behind them and help design the proper
22 facilities for radioactive waste management because, as we've
23 observed them, they're not even close to being optimized or
24 even real.

25 KOUTS: Okay. I'll respond to that in a couple of

1 manners. First of all, in terms of the fuel that the
2 utilities have on site and the characteristics of those
3 fuels, we do do surveys with the utility industry. The RW-
4 859 form that we go onto, we get a good response from them
5 and these are the people who are actually managing the fuel.
6 So, we take that information and that's the type of
7 information that we have in the model. These are forms that
8 are filled out by the people who are doing the fuel
9 management at utilities. When we talk about communications,
10 it's not necessarily oral. It's also documented information
11 that we get from them.

12 In terms of the lawsuits, the lawsuits are a fact
13 of life. And, when there are issues associated with those
14 lawsuits--and I think the concern of the Justice Department
15 is that we've got 60 outstanding lawsuits. We've only
16 litigated five. Up until this point, we've only had five
17 trials. There's 16 more trials that will be laid on in
18 succeeding years. I think that we can go to the utilities
19 and ask for specific information if we need it. If it gets
20 in an area that's affected by the litigation, then we have to
21 be very careful about how we do that.

22 But, you know, I've talked to--and you might
23 remember the meeting that we had back like in February where
24 point blank we asked the individuals present--it was Rick
25 Craun, it was Gary Lanthrum, and myself--about is there any

1 information that we feel that we need--and that was at that
2 point in time--that we didn't have and we would--that we
3 couldn't obtain from the industry or from any source and I
4 think the unanimous view would have been, that group of
5 people, was no. That's not say that as we move forward that
6 new information needs may become available, but I can assure
7 you that as we need that information, we'll find a way to get
8 it. Your comment is well-taken. But, we have to work under
9 the environment that we're in and within those constraints
10 and we're going to do the best we can under those
11 constraints.

12 KADAK: My comment wasn't so much addressed to you, but
13 to the program managers and the lawyers.

14 KOUTS: Okay.

15 ABKOWITZ: Ron?

16 LATANISION: Latanision, Board. On the face of it, this
17 sounds very much like nerve central for this whole operation
18 in terms of tracking, optimization, etcetera. You know, I'm
19 very impressed with how far you've come in such a short
20 period of time. My question is what's required to go forward
21 to meet what appears to be enormous potential for the system
22 in terms of the operation? And, by that, I mean, fiscally,
23 intellectually, whatever it takes to make this the optimum
24 system from your perspective?

25 KOUTS: Well, I think the simple answer to your question

1 is I think using the tool more and more and getting more
2 people in the program to want to have it utilized and to make
3 it as reflective of where we are at any point in time so it
4 does provide us with that information. When we started this
5 effort over two years ago, it was, oh, it's another model.
6 You know, how many models we had in the past, it's not going
7 to be very useful. But, as we got into it and as we worked
8 very closely with the different program elements, they saw
9 real value in it. For instance, as we started using this
10 type of simulation technology, I think the repository wanted
11 to use similar programs so they could actually simulate how
12 their processes within their facilities were operating. But,
13 this is the only tool in the program that rolls it all up and
14 it does provide insights and, you know, my people are giving
15 briefings to people throughout the program on a regular basis
16 to try to show the capabilities and also show what we're
17 finding out in terms of how the system operates. And, an
18 even more challenging time now with the system changing and
19 going away from this configuration to one that's going to be
20 more of a canistered approach and we're going to be running
21 the model a great deal, if you will, on "what-if" scenarios
22 and bounding scenarios so we understand how the system will
23 operate given this canistered approach.

24 So, I think that the missionary work that we've
25 done over the last two years to get people involved and to

1 get them to understand that it's a useful tool, I think, is
2 successful and we hope to do as much of that missionary work,
3 if you will, and get more use out of it and more utility out
4 of it.

5 LATANISION: Latanision, Board. Just a followup, do you
6 feel we can have the fiscal and intellectual resources to do
7 this? Is it in your budget, is it in your staffing? I'm
8 quite serious. This is very important.

9 KOUTS: Well, a simple way to answer that, I did before
10 yesterday, okay? We'll have to find out how that affected
11 the program overall and I'm sure it won't affect the program
12 overall. My expectation is that the total systems model will
13 certainly survive that. But, right now, I feel we have the
14 resources that we need, we've got very capable people who
15 developed it, and we plan on maintaining that capability and
16 expanding it. So, the simple answer to your question is, you
17 know, I think, we're getting to the point where I think this
18 is going to be very helpful to the program.

19 LATANISION: Thank you.

20 ABKOWITZ: Abkowitz, Board. Chris, I can't resist
21 asking a couple of questions myself and some of these really
22 kind of follow up to technical and institutional questions
23 that my colleagues have asked. But, I wanted to start off
24 getting back to this issue of the extent to which TSM has
25 been adopted internally as a decision support tool. Has

1 there been any kind of, you know, statement from headquarters
2 that basically says thou shalt accept and work with TSM or is
3 this still the new kid on the block and there's pockets of
4 resistance?

5 KOUTS: Well, no, there has not been an edict from on
6 high that says thou shalt use TSM. And, whether I think
7 there needs to be, I think that those kinds of methods, if
8 you will, are interesting, but it gets down to whether people
9 in the program really want to use it. And, I think the
10 better way to work that is again to do the missionary work to
11 get people involved, to get them to understand that their
12 input is going into it, and we're getting a better
13 understanding of how the total system operates. So, a simple
14 answer to your question, no, there hasn't been something like
15 that nor do I think there really needs to be.

16 ABKOWITZ: Okay. My followup question and comment
17 related to that is it seems to me that this is one of those
18 cases where if each of the different component
19 responsibilities to the system are not willing to sit at the
20 table, then the whole effectiveness of the tool breaks down
21 because you need to have every player interacting. And, that
22 really leads me to my next question. Is there any plan to
23 have these various, I call them regimes, you used I think a
24 different word, but are there any plans to have these folks
25 sit down in a workshop environment or some type of

1 environment where the tool is used as a facilitator to try to
2 elicit the pushes and pulls that go on as decisions are being
3 made in various places?

4 KOUTS: We haven't had those kinds of meetings as--we've
5 had individual meetings with the managers, certainly, of the
6 repository out here in ORD and with transportation and we do
7 have regular discussions, but we haven't held meetings such
8 as you've suggested and that may be a good way to go. I
9 think we're looking for new concepts and better ways to
10 integrate. But, one thing that I've learned, having been in
11 this program as long as I have. is that if you're really
12 going to call a meeting, you want the meeting to be a useful
13 meeting. I remember years ago--this is just an aside, but
14 this is when I just joined the program and someone said they
15 were excited. Yeah, I'm excited about that meeting and then
16 someone said I can't believe anyone is excited about another
17 meeting in this program. But, to the extent that we can make
18 those kinds of interactions useful and--that could be a very
19 good suggestion. What we've seen is that in the past we were
20 going to people to try to get information for the TSM and now
21 people want to come to us and see how the TSM reacts and how
22 the system will react utilizing this tool. So, I think that
23 kind of shift has occurred and my sense is that that's only
24 going to continue as we move forward.

25 ABKOWITZ: Okay. Just following along in that

1 direction, there have been a number of sort of "what-if"
2 scenarios that have been postulated by this group and by you,
3 issues about different thermal loading strategies, cask
4 design capacity, surface facility design, modal mix, waste
5 acceptance in terms of fuel age, and even ranking in the
6 queue, and it goes on and on and on.

7 KOUTS: Right.

8 ABKOWITZ: Have you given any thought to developing, I
9 guess, what I would refer to as a scenario evaluation plan
10 where you take all the different parts of the puzzle and
11 explore different design and operating options and then come
12 up with sort of a grand systematic scheme for all the
13 different things you're going to test and do you think that
14 would be a good idea?

15 KOUTS: We actually have done a lot of that as we've
16 developed the model to look at this configuration. We've
17 done a variety of different sensitivity analyses off of that.
18 That was done in a fairly structured manner. We sat down
19 and we wanted to understand how the system would operate
20 given different parameters. More truck than rail or more
21 rail and less truck than we initially anticipated, those
22 kinds of things. So, we do try to sit down and scope out a
23 list of sensitivity analyses that would help us understand
24 the out of bounds to the abilities of the system and we try
25 to do that in a structured manner. So, I don't know that we

1 wrote a report, but we meet about that on numerous occasions
2 to try to figure out how best to utilize the model and
3 understand the capabilities of the system.

4 ABKOWITZ: Well, thank you. My final question has to do
5 with the output metrics and how you can put them to use.
6 We've seen a lot of sort of efficiency throughput types of
7 measures here and I do know from prior review of the work
8 that there are some list based measures in there in terms of
9 doses and things of that nature. I was curious whether the
10 model currently has or there's plans to put a cost element
11 into it, as well, because it seems to me that some of the
12 ways in which this could be designed and operating could have
13 order of magnitude implications on the overall program cost.

14 KOUTS: It does have cost capability also.

15 ABKOWITZ: Okay. We have a couple of questions from
16 Board staff. Dave Diodato?

17 DIODATO: Diodato, Staff. Thank you for your
18 presentation this morning, Chris. I think that the TSM
19 really--we've heard the comments that goes a long way towards
20 this integrated systems level thinking the Board has long
21 been encouraged by. And, I was encouraged in your response
22 to Dr. Mosleh that you can run this in a probabilistic mode
23 because my understanding of risk is that in this case, it
24 would be like dose times probability would equal risk. And,
25 you can optimize. You have potential for optimization. In

1 hydrogeology, we call that the inverse solution to the
2 problem. So, you could theoretically optimize your system
3 based on a risk output in the future. You haven't done that
4 as of yet though?

5 KOUTS: No, we haven't, but the model does have the
6 capability to put in distributions, if you will, of various
7 input parameters so you can look at kind of a stochastic
8 implementation of the program. But, we haven't gotten to the
9 point where we've implemented that. That's something we do
10 want to do.

11 DIODATO: That will be interesting. Well, at this point
12 though you have some dose numbers. So, do you have a sense
13 of what the three or four or five different variables that
14 contribute the most to the dose, what choices that you can
15 make that would tend to maximize or minimize the dose
16 exposure to the public?

17 KOUTS: It has to do with how many packages you're
18 moving through the system, abundance of materials. The
19 larger bundles that you move through the system basically are
20 reducing dose. Certainly, if you limit aging, that reduces
21 dose which would be intuitively obvious because you're not
22 moving these large storage packages out to the aging facility
23 and you have to move them in and out, plus you have to have
24 personnel go around them and check them out every once in a
25 while. So, the extent that you can minimize aging, that

1 helps reduce dose. To the extent that you move larger
2 packages through the system all the way through it, that
3 helps reduce dose, thus operations at the utilities. And, I
4 will say that from a dose standpoint, we don't just look at
5 our dose, we look at also the dose that's propagated to the
6 system at the utility sites and also, you know, through
7 RADTRAN simulation type of analyses to, you know, dose along
8 the transportation route.

9 So, the other thing, as we move forward into a
10 canistered approach, we have looked at whether or not seal
11 welding, if you're going to require seal welding for the
12 canisters, that will increase dose because that means
13 personnel at the utility sites will have to get up there and
14 do that in a manual activity. If you can come up with some
15 kind of a bolted closure, that would be less time we have to
16 spend around the top of the cask and that will reduce dose.
17 So, those are the kinds of things that the model can give us
18 a sense of the magnitude of the differences in the dose and
19 it gives us some insight as to some things we need to talk to
20 the utilities about.

21 DIODATO: That's an important decision and it's
22 encouraging that you have a framework to get some
23 quantitative feedback on those decisions. Thank you.

24 ABKOWITZ: Carl Di Bella?

25 DI BELLA: The scope of my question, maybe a couple of

1 questions, has to do with what is internal to the model and
2 what is external to the model and what are assumptions as far
3 as calculating the future or estimating the future of
4 population of spent fuel pools and on-site dry storage
5 capability also. The program is driven by a database of
6 using the RW-59 data. How current is that data rate now
7 that's in the program?

8 KOUTS: I believe the last time we did the survey was
9 year before last and what we've tried--the type of
10 information is what exists in the pool and what the plans are
11 for the future, what kind of burnup, what kind of enrichment
12 they're going to have for the different assemblies that
13 they're going to be operating in the future. So, we try to
14 get a projection from them as to the kinds of fuels they'll
15 be using and again at burnup which affects heat, which
16 affects radiation fuels, and things like that.

17 DI BELLA: And, do you keep--is the database in your
18 model on an assembly by assembly basis or some sort of
19 aggregate?

20 KOUTS: No, assembly by assembly basis and I should say
21 the survey is done for us by the Energy Information
22 Administration, EIA. They're the ones that go out and
23 actually collect the data from the utility. So, that's a
24 useful source of information and that gives us a lot of
25 information about what's happening at the utility sites.

1 DI BELLA: And then, for future utility pool contents as
2 a function of time you use this other input as opposed to--
3 what you just mentioned as opposed to attempting to simulate
4 it yourself?

5 KOUTS: Well, to the extent that if we don't have
6 specific information about a reactor, there are a lot of
7 industry publications about where fuel management is headed,
8 the types of fuels that they're planning to use at reactors
9 around the country, and that also informs us, you know, for
10 future because the fuel that we're going to be disposing of
11 in many cases hasn't been designed yet by the fuel
12 fabricators and by the fuel designers. So, we'll get
13 projections from them about where the trends in the industry
14 are, you know, 20 to 30 years from now so as we move forward
15 we can understand what the heat capabilities will be of those
16 assemblies when they come out of the reactor and we can model
17 that in full scenario when we get to the distant future.
18 But, you know, we do the best we can with the information
19 that's out there and some of the information in the distant
20 future, as you know, is more speculative than the ones that
21 we get today.

22 DI BELLA: Thank you.

23 ABKOWITZ: Dan Metlay?

24 METLAY: Dan Metlay, Board Staff. Chris, you used the
25 phrase sort of "intuitively obvious" several times with

1 respect to what the model does, most recently in your
2 response to David's question. I'm wondering if you could
3 tell us one or two examples where the model has produced
4 important insights that were counter intuitive?

5 KOUTS: I think, instead of counter intuitive, I would
6 say more that--for instance, the model that is--ultimately,
7 it's an adding machine and the adding machine is going to
8 give you a lot of answers to different questions. I think
9 the information is not so much, you know, whether or not
10 something should be larger than something else, but the
11 magnitude of that. For instance, as I mentioned, the dose at
12 utility sites from a bolted to a seal welded closure, given
13 the amount of operations, given the size of the packages, and
14 so forth, it gives us a better understanding of the magnitude
15 of the difference, if you will. But, it doesn't tell us--if
16 it had come back and said that the bolted closures gives you
17 more exposure than seal welded closures, I would have said,
18 you know, there's something wrong here. But, I think it's
19 useful, and from that perspective, it's to the magnitude
20 because it does go through and crunch all the numbers and
21 gives us a total magnitude number which can be very
22 informative in terms of how much we're saving in terms of
23 dose and can provide us some insight as to how hard we want
24 to pursue something. If there's a very small difference
25 between one parameter and another and it doesn't make very

1 much difference, I think that's useful information, too,
2 because in the long-run, it doesn't make that much
3 difference.

4 So, that's the kind of information that I think the
5 model can be very helpful with, but again you have to step
6 back and say, okay, with any model is this intuitively
7 obvious? Is it telling you something that's counter
8 intuitive? And, I think, as we've gone through it, we
9 haven't found anything like that, but nonetheless, as we move
10 forward, we may and then we'll look real hard at it.

11 METLAY: Great, thanks, Chris.

12 ABKOWITZ: John Pye?

13 PYE: You've touched on thermal management criteria and
14 there are two and they're both performance based, 11.8
15 kilowatts per waste package max and a line load of 1.45
16 kilowatts per meter. Do you have the specification for how
17 you're going to achieve the 1.45 kilowatt per meter, and from
18 a waste emplacement sequencing perspective from an
19 operational point of view, how do you intend to keep it?

20 KOUTS: Okay. The way we've addressed that is we've
21 focused more on the 11.8 kilowatts per package and our
22 assumption has been that if we meet that, then we'll meet the
23 1.45 requirement. As we move forward, we may have to get
24 more details, but that's been our underlying assumption. We
25 care more about the average heat load or the maximum heat

1 load in any one package than anything else. With the
2 assumption--and again that's an assumption that we meet the
3 heat load, the line heat load at the repository in the
4 drifts. But, as we move forward, that might be something
5 that we could look at. But, again, at this point in time,
6 we're only looking at trying to make that package the way--
7 from a recipe, if you will.

8 ABKOWITZ: Okay. Chris, you can tell by the number of
9 questions and the types of questions that the Board is very
10 interested in what this tool is able to do and the potential
11 for it in the future. So, we thank you very much for hanging
12 in there and answering all of our questions and we look
13 forward to future interactions with you. It's definitely an
14 encouraging sign that we'd like to pursue as we move forward.

15 We're up against a scheduled break now. We will
16 break at this time and reconvene at 9:40.

17 (Whereupon, a recess was taken.)

18 HORNBERGER: Good morning. We're ready to reconvene.
19 I'm George Hornberger and Ali Mosleh and I will oversee this
20 next session.

21 The total systems performance assessment is truly a
22 formidable undertaking. This is a complex modeling problem,
23 and regardless of what weaknesses people may perceive in a
24 TSPA, it certainly has to be seen as an amazing
25 accomplishment that the Department has made because this

1 really is a complicated problem. Because it's so
2 complicated, there's a necessary blend of what we refer to as
3 realistic modeling and bounding analyses and/or
4 conservatisms. The Board has been concerned for some time
5 that the use of bounding analyses and conservatisms, although
6 obviously necessary for a complex TSPA, can mask what we
7 anticipate scientists and engineers see as the real expected
8 performance of the repository. We are concerned then that
9 this masking of the anticipated performance can cloud
10 judgments of what may or may not be important and would,
11 therefore, ask the Department of Energy to give us an update
12 on conservatisms in the TSPA.

13 We have two presenters, Abe Van Luik with DOE and
14 Bob Andrews of BSC. Abe and Bob, I'm going to let them
15 introduce themselves in detail. I will say that I've known
16 both of them for some time and they certainly are the people
17 who have a comprehensive and in-depth knowledge of TSPA. So,
18 I'm looking forward to their presentation.

19 Abe?

20 VAN LUIK: Thank you very much, Dr. Hornberger.

21 My name is Abe Van Luik. I'm a senior policy
22 advisor in the licensing office, senior policy advisor for
23 performance assessment. And, just to give some of you who
24 don't know me some more background, I began in performance
25 assessment in the 1980s working with the Pacific Northwest

1 National Laboratory in the PASS program. For a while, I was
2 the TRW performance assessment manager and then I moved over
3 to DOE in 1995 and became the overseer of performance
4 assessment from the DOE side and then moved successively up
5 into a senior technical advisor and now the senior policy
6 advisor. As one of my bosses when I first became the senior
7 policy advisor reminded me--this is a man who is retired, a
8 very smart man--but one time when I kind of disagreed with
9 him, he said let's look at our job descriptions. You are a
10 policy advisor, I am a policy maker. I am listening to your
11 advice.

12 Okay. We need to go to the next viewgraph. What
13 I'm going to do is talk a little bit about conservatism and
14 the way that we're approaching it, regulatory, background,
15 and the role of conservatism. Then, I'm going to read to you
16 some of your own observations to us and some of our responses
17 back to you. Bob Andrews will then step up because he is the
18 resident expert and the contractor on the technical parts of
19 this. And then, I'll come back and give a summary.

20 Next? The primary purpose of performance
21 assessment is to demonstrate post-closure regulatory
22 compliance. Now, we also do assessments for pre-closure, but
23 this talk is focused on post-closure. We intend to provide a
24 demonstration of post-closure regulatory compliance that does
25 not underestimate dose. That is a basic guiding principle.

1 We do not want to underestimate those. And, we believe that
2 this demands the application of a cautious, but reasonable
3 approach in modeling long-term performance. We do use
4 conservatisms both in the process-level and the abstraction-
5 level models to simplify analyses and reduce the need for
6 additional information.

7 Now, one thing that was mentioned yesterday by Dr.
8 Garrick suggests there may be some dichotomy between showing
9 compliance and showing understanding. And, having been part
10 of the key technical issue resolution process and having
11 carefully read our documentation that we are preparing to
12 address the Yucca Mountain review plan, I am no longer seeing
13 a dichotomy between showing compliance and showing that you
14 understand your system because those two processes have been
15 excruciatingly questioning of our approach, our assumptions,
16 and everything else. And, I think some of the questions we
17 had from the Board yesterday illustrate the kind of questions
18 that we get routinely from the Nuclear Regulatory Commission.
19 So, I think, they would say that in order to show
20 compliance, you better show that you understand this system.

21 Next? I think that Dr. Hornberger already said
22 this. They're inherently complex, these post-closure
23 performance assessments. They need to address a range of
24 uncertainties and some uncertainty is inherently irreducible.
25 And, we could spent many more decades characterizing some

1 aspects of Yucca Mountain and still have uncertainty
2 distributions. When it comes to addressing uncertainty which
3 is a slightly different topic, but very much intimately
4 related with conservatism, we have different approaches and
5 there's basically two end-members in the whole continuum
6 between those two. We can use deterministic bounding
7 estimates which we do in some specific instances and we can
8 use the probabilistic statistical modeling techniques that
9 incorporate representations of uncertainty. And, we have
10 used the hybrid approach. Basically, in the TSPA, you will
11 see both being used.

12 Next, regulatory requirements. And, this is a
13 mixture of regulatory requirements in 10 CFR 63 and
14 statements by the regulator in the NUREG, but this is an
15 important thing to keep in mind. That proof that the
16 repository will conform with the objectives for post-closure
17 performance is not to be had in the ordinary sense of the
18 word because of the uncertainties inherent in the
19 understanding of the evolution of the geological setting,
20 biosphere, and engineered barrier system. And, I, too, am
21 sorry that we didn't hear this talk--I was scheduled for
22 yesterday morning--which addressed one aspect of this.

23 Conservatism is an accepted approach for addressing
24 uncertainty. If you look just at the highlighted text,
25 conservative estimates for the dose to the reasonably

1 maximally exposed individual may be used to demonstrate that
2 the repository meets regulation and provides adequate
3 protection. So, we feel empowered by these words to use the
4 approach that we're using.

5 Next? When conservatism is used to simplify the
6 analysis or decrease the need to collect additional
7 information, we know care must be taken to evaluate the
8 effects of this conservatism. The language in 63 is that the
9 performance analysis should focus upon the full range of
10 defensible and reasonable parameter distributions rather than
11 only upon extreme physical situations and parameter values.
12 The total system performance assessment is a complex analysis
13 with many parameters and the Department may use conservative
14 assumptions--again this comes from the NUREG--to simplify its
15 approaches and data collection needs. However--and I think
16 we do take this "however" very seriously--a technical basis
17 that supports the selection of models and parameter ranges
18 must be provided. And, you saw an example yesterday of where
19 we said that we made a decision on a feature event or
20 process. We showed you that we had a technical basis for
21 that decision and you illustrated basically the thing that we
22 go through with the NRC all the time which is, you know, the
23 words that we all fear is I am not convinced, you know,
24 because we do need to make a compelling case in all of these
25 instances.

1 Next? NRC indicates that the technical bases for a
2 safety analysis report--and this is now looking into the
3 future. You've submitted your safety analysis report, you're
4 looking into the future, you will learn new things over time,
5 and the safety analysis report may be considered to be
6 unchanged in future analyses if they can be shown to have
7 been conservative or essentially the same. So, the
8 highlighted, "Changing any of the elements of the method
9 described in the SAR as updated unless the results of the
10 analysis are conservative or essentially the same," this is
11 in 10 CFR 63.44.

12 The integrated issue resolution status report, this
13 is the KTI process that I referred to earlier, the Key
14 Technical Issue Resolution Process. Generally, important
15 uncertainties are addressed in total system performance
16 assessment through a variety of approaches such as parameter
17 ranges and conservative modeling. And then, it goes on to
18 say the risk insights provide a basis for focusing on the
19 more important technical issues. Basically, they're saying
20 that we should address things through a risk informed
21 approach.

22 Next? The EPA technical support document of August
23 2005, this is a document put out on the internet in support
24 of the changes to the regulation that Betsy Forinash reviewed
25 for us yesterday. Some of the language in there that was

1 prepared by a contractor was based on a review of DOE, EPRI,
2 and NRC performance assessments. And, it says, in the 10,000
3 year engineered system time frame, under principles of
4 reasonable expectation, there is a framework of assumption,
5 conservatisms, and data that enable the defensible
6 characterization of performance and uncertainty using the
7 probabilistic TSPA methods. I think that's all I need from
8 that one.

9 Next? We also participate in the international
10 programs mainly of the Nuclear Energy Agency on performance
11 assessments and several documents have been published by the
12 NEA just this year and the previous year that basically
13 reflect the international status of performance assessment
14 work. In one of the meetings, it was noted by participants
15 in that meeting, meaning people from different international
16 programs coming together to discuss issues, a mixture of
17 conservative and realistic assumptions in a safety case is
18 inevitable and this is recognized by regulators. In those
19 parts of the performance assessment where both types of
20 assumptions are present, the assessment must err on the side
21 of conservatism, but reviewers should be aware that this
22 obscures areas of uncertainty and this is exactly what Dr.
23 Hornberger said in his opening remarks.

24 Another document published last year, I'll just
25 read the last line. "Conservatism is inevitable and greatly

1 to be preferred to optimism, but should be used and managed
2 judiciously." And, the opening statement on the first slide
3 was that we will try to avoid optimism.

4 Conservatism has been and continues to be a part of
5 the licensing approach adopted by DOE. It allows us to
6 simplify models, reduce the need for additional data, and
7 it's a way to address alternative conceptual models and make
8 decisions regarding them. Conservative representations are
9 designed to be cautious, but reasonable. And, I think this
10 is an overarching theme in the way that we approach things.
11 We want to be cautious, but reasonable. This approach
12 balances the need to be defensible with the desire to
13 incorporate the full range of possible parameter
14 distributions based on the information that we have at hand.

15 Post-closure performance assessment rests on a
16 factual basis that provides a defensible prediction of
17 performance. And, here again, I'm just repeating my theme,
18 we do not want to underestimate potential dose. The
19 performance assessment approach is pragmatic. We do seek to
20 represent the factual basis accurately. We believe
21 uncertainty is being appropriately treated through this
22 cautious approach involving a reasonable degree of
23 conservatism where warranted. Conservatism, we believe, is
24 appropriately being evaluated through risk-based importance
25 evaluations and sensitivity studies are being used to enhance

1 their system understanding.

2 These are NWTRB observations, observations from
3 your organization. The DOE often deals with uncertain
4 features and processes by making conservative estimates of
5 their effects on radionuclide transport. And, in this
6 particular May letter, the Board identified some areas where
7 you suggested additional work might increase basic
8 understanding, narrow the wide range of predicted
9 radionuclide transport times, and increase confidence in
10 predictions of the performance of the natural barriers, in
11 particular.

12 Our response that same year and a few months later
13 indicated that we have included the most significant
14 uncertainty in the models. Of course, this is always
15 caveated by "based on the information that we have at hand".
16 In some cases, conservative approximations have been used.
17 Continued evaluation of these processes will be included in
18 the performance confirmation plan. And, key conservatisms
19 are being evaluated as part of the science and technology
20 program. And, I think yesterday Mark gave a very nice
21 overview, and in response to your questions, actually went
22 into this in some greater detail than even his viewgraphs
23 indicated.

24 Here's a very specific NWTRB observation and our
25 response. When it comes to seismicity, you stated that the

1 DOE may find conservatism and attractive because it can
2 provide a way to show regulatory compliance in the face of
3 uncertainty. But, as stated above in your letter, DOE and
4 BSC scientists agree that many of their estimates, meaning
5 our estimates, are highly conservative or physically
6 unrealistic. Now, of course, this is something that needed a
7 more profound response than the more generic statement of the
8 previous viewgraph.

9 Our response of October that year indicated that
10 seismic ground motions at annual exceedence probabilities of
11 less than 10^{-6} per year are highly conservative and may be
12 physically unrealizable. So, we agreed with you. And, we
13 launched at that point several different studies to bound the
14 very low probability ground motions in order to provide a
15 more realistic set of ground motions. We presented a revised
16 approach to the Board in May of 2004, and in your letter as a
17 response to that presentation, you said we are very pleased
18 to learn that the DOE has initiated a program aimed at
19 deriving more realistic estimates of seismic hazard at the
20 Yucca Mountain site. And, yesterday, you heard a
21 presentation that basically used this new approach.

22 Now, we launch into the technical part of this
23 presentation and those of you who are technically oriented
24 will welcome Bob who will introduce himself.

25 ANDREWS: Thanks, Abe.

1 Let me back up. I've been doing performance
2 assessments for a number of years starting in the mid-80s as
3 a subcontractor to the Office of Nuclear Waste Isolation when
4 we were looking at embedded salt sites and salt domes around
5 the country. I went for a few years to Switzerland to do
6 performance assessments and interpret and analyze a wide
7 range of hydraulic and tracer tests for the Swiss program,
8 mostly in fractured kinetic rocks, but not all, came back to
9 the states to work on Yucca Mountain Project in performance
10 assessment, and have been doing various aspects of
11 performance assessment since being in the Yucca Mountain
12 Project since '91. For a number of those years, I managed
13 the performance assessment, but the last year-and-a-half the
14 focus has been integrating performance assessment into a
15 license application which is in draft form as John talked
16 about yesterday.

17 So, with that as an introduction, we picked, using
18 the Board's questions, three representative examples because
19 we think they're fairly insightful and will engage some
20 dialogue with the Board associated with the examples
21 implementing the approach and methodology and philosophy that
22 Abe just alluded to which was driven by regulatory concerns
23 and also international precedence. So, we picked these
24 three, in part, the second and third one, because they do
25 reflect, if you will, the lower natural barrier. They

1 represent radionuclide transport if any radionuclides are
2 released from the engineered barrier system into the natural
3 system below the repository and then ultimately through the
4 18 kilometer compliance point for the reasonably maximally
5 exposed individual. So, two of them relate to the lower
6 natural barrier and its capability. I think the Board
7 pointed out, Dr. Garrick in his opening remarks of the
8 Board's--I forget how he exactly phrased it--interest or
9 concern associated with the capability of the lower natural
10 barrier uncertainty associated with that capability.

11 The first one we chose as a way of looking at the
12 engineered barrier system, this is the release of
13 radionuclides from the engineered barrier system following a
14 breach of the waste package, whatever the initiating cause or
15 event of that breach may be, and uncertainties associated
16 with that release from the source term and transport to the
17 natural barrier system which is the unsaturated zone below
18 the repository. This has been a matter of some discussion
19 with this Board. The previous chairman of this Board, Dr.
20 Corradini, had some observations associated with conservatism
21 in the engineered barrier system transport. So, we want to
22 address some of those while we're at it up here.

23 So, if I could have the next slide? Many of these
24 conceptual figures, in fact, all of the conceptual figures,
25 you have seen before. I briefed the Board last September

1 2004 on the overall performance assessment approach and
2 methodology and the integration of the models and analyses
3 and their abstraction into an assessment of system
4 performance as required in Part 63. So, these conceptual
5 pictures are just kind of leading pictures for me and for you
6 to reorient ourselves to what part of the post-closure system
7 that I'm going to be addressing.

8 The first one is with respect to EBS. There's a
9 number of features in the engineered barrier system. Some of
10 them, we talked about yesterday. I'm going to talk about
11 features inside the package and below the package; in
12 particular features such as the cladding, the basket
13 materials, the other in-package materials, the stainless
14 inner barrier of the waste package, the pallet, the invert.
15 But, there are other features of the engineered barrier
16 system in addition to the drip shield and the waste package.

17 There are a number of processes that occur within
18 the features that I am going to talk about. Those processes
19 are chemical processes, those are hydrologic processes, those
20 are thermal processes, and those are mechanical processes
21 and, in fact, some radiation processes. And, ultimately, the
22 process related to the transport of radionuclides from waste
23 that may be altered in the presence of the expected
24 environments that may occur inside the package once the
25 package has been breached. So, I'm going past where we were

1 yesterday to what happens afterwards, if you will.

2 While I'm on this, we showed some of the hydrologic
3 processes such as seepage is a hydrologic process,
4 condensation is a hydrologic process, the possibility of
5 imbibition of moisture from the rock into the invert is a
6 hydrologic process, and the movement of moisture, you know,
7 is a hydrologic process. There's a number of thermal
8 processes going on inside the package and exterior to the
9 package if it is hot. You're well-aware and it's been
10 alluded to in the last day-and-a-half about the 11.8
11 kilowatts per package maximum for the commercial fuel and
12 it's a range of thermal outputs, in fact, from package to
13 package and that causes the temperatures to rise and
14 processes to occur as a result of the rise in temperature
15 both in the package and exterior to the package.

16 Chemical processes occur and there's a number of--
17 all of these processes, by the way, are coupled and one of
18 the questions the Board asked associated with this talk is
19 the conservatisms associated with coupled processes. The
20 coupling of those processes have been presented to the Board.
21 The last time I'm aware in detail was May of 2004 where Dr.
22 Bodvarsson and his colleagues talked about the coupling of
23 hydrologic, thermal, and chemical processes in the rock and
24 ultimately in the drift. We did not talk so much about the
25 coupling of those processes in the invert, but that same

1 coupling occurs where we have moisture, water from different
2 sources that interact with invert materials and can modify
3 the chemistry of the invert. Those same chemical processes
4 can happen inside the package to result in changes in
5 chemistry as materials degrade, etcetera.

6 Let's go on to the next slide. I have broken this
7 discussion of EBS transport, engineered barrier system
8 transport, into thermal hydrologic processes, chemical
9 processes, and then I look at one special case because it was
10 a matter of some discussion, I believe, in Dr. Garrick's
11 opening remarks, as well as some discussion yesterday. Dr.
12 Peters presented some ongoing research associated with
13 secondary phases and neptunium incorporation and potential
14 incorporation in secondary phases. So, I'm going to talk
15 about neptunium solubility of the special case. And, then,
16 the colloids, I think the Board was interested in colloids.
17 One of their questions had something to do with colloids.
18 So, I want to try to hit on colloids both in the EBS and in
19 the natural system.

20 Okay. So, inside the waste package and the invert,
21 there are a range of coupled processes affecting the thermal
22 hydrologic environment. Heat is created. That does mobilize
23 moisture. It mobilizes it in the rock, it mobilizes it in
24 the drift. You saw yesterday from Dr. Peters some
25 information associated with the cross-drift. That confirmed,

1 if you will, that moisture moves by thermal gradients. I'm
2 not sure exactly how Mark portrayed that, but you might say,
3 not surprising that moisture is moving by thermal gradients.
4 That happens in the drift, that happens in our models, and
5 what happens when it gets into the package is a matter of
6 some uncertainty. Now, how moisture may or may not move into
7 or out of the package is uncertain. We tried to develop very
8 complex models of how moisture moves in and out of different
9 types of packages and different types of heat sources and
10 what happens to that moisture once it gets into the package
11 recognizing that the transport, radionuclide transport,
12 generally requires the presence of moisture in some form for
13 radionuclides to either be diffused through concentration
14 gradients or advected through the movement of water or some
15 combination thereof.

16 Because of the complexity associated with moisture
17 moving into and out of the package and what happens in the
18 details of moisture inside the package, a number of
19 conservative approximations were made; cautious, but
20 reasonable, as Abe said. One is that, regardless of the type
21 of package or the type of waste form or the heat produced by
22 that package, there was no loss of water, there was no loss
23 of moisture. There was essentially a continuous, assumed
24 thin film on the waste form, on the degrading internals of
25 the waste package materials, and there was no consumption of

1 water due to the degradation of the iron bearing metals that
2 are also inside the package. There's carbon steel in the
3 package as the structural support members or support members
4 and there's stainless, you know, inner package. Those
5 materials will degrade with varying rates and the role of
6 affected chemistries we'll get to in the next slide. But,
7 the conservative approximation that was made in order to
8 remove some of the complexity associated with moisture moving
9 in through a cracked waste package or a breached waste
10 package was to let the moisture be there if the temperature
11 is below the boiling point of water in the package. So,
12 there's no moisture in temperatures above boiling point which
13 Yucca Mountain is 96 degrees C, plus or minus. But, once I
14 get below that point, the conservative assumption is that
15 moisture is there and it has coated, if you will, through a
16 thin film several monolayers thick, enough film thickness to
17 allow alteration of waste form to occur and allow the
18 alteration and degradation of the internals of the package to
19 occur.

20 The last bullet is sort of key. Those current
21 model assumptions--that's the current technical basis--you
22 know, reduce the amount of information or modeling or
23 complexity that's necessary to evaluate the post-closure
24 performance. It is a concern that the Board has raised some
25 two-plus years ago by the previous chairman, but the

1 complexities associated with detailed analysis of moisture
2 movement in and out of a range of cracks and the consumption
3 or migration of that moisture once it gets into a package
4 that's degrading, you know, thousands of years from now is
5 just deemed to be too complex to incorporate in the
6 analytical basis for the TSPA, total system performance
7 assessment.

8 Can I have the next slide? Okay. Now, I'll start
9 with chemistry. Here, I've broken the discussion into the
10 chemistry in the invert versus the chemistry inside the
11 package because they are different. The chemistry in the
12 invert which is a coupled chemistry process and is affected
13 by the source of the water and the chemistry of that water
14 which is a function of time, this coupled process of
15 chemistry, evolution that Dr. Steifel, I think, presented to
16 the Board in May of 2004. That coupled evolution of
17 chemistry in the rock does affect the chemistry in the drift.
18 It's a starting point, if you will, for chemistry in the
19 drift, but it also can be modified by condensation effects,
20 imbibition effects, and interactions with the drift
21 materials. So, the chemistry does evolve and it is coupled
22 thermally, coupled hydrologically to the chemistry evolution
23 in the rock. That chemistry is important for several reasons
24 in the drift and in the package because it affects the
25 solubility of radionuclides. It affects the transport

1 characteristics of radionuclides whether they are in
2 colloidal form or whether they are in dissolved form. So, it
3 is an important consideration that has to be factored into
4 total system performance assessment models.

5 When it gets inside the package, again it becomes
6 somewhat more complicated. Now, you have to evaluate whether
7 you think the degradation characteristics of materials that
8 are in the package, are they under oxic condition or anoxic
9 condition as they are degrading? I don't believe this Board,
10 but maybe other boards have questioned the applicability of
11 the redox state inside the package when the metals are
12 degrading and when the waste form is being altered. To avoid
13 that complexity, the conservative approximation that we've
14 made currently is that it is oxic conditions inside the waste
15 package. Those oxic conditions in this environment are
16 highly likely because it's an open sort of system, air does
17 move in this system. The exchange of air with the rock air
18 is fairly--it's quite a permeable system so it occurs
19 readily. So, letting out the oxic inside the package seems
20 reasonable, but it does have the effect of, you know,
21 increasing waste form alteration rates because they're higher
22 in an oxic condition than they are in a reducing environment,
23 and also enhances the radionuclides solubilities, both of
24 which tend to increase releases from a waste package that may
25 have been degraded in a Yucca Mountain type environment.

1 Go on to the next slide? Can we have the next
2 slide, John? Searching for the next slide. We have crashed,
3 okay.

4 Let's go on to the next slide. I think you have it
5 in the handout, if that's okay. We're now talking about
6 neptunium solubility; solubility in general and neptunium
7 solubility, in particular. The plot that I have on the left
8 side of this figure--I'm on Page 18 if you're just following
9 along--I presented to the Board in February of this year
10 associated with the Department of Energy's at that time
11 reevaluation of all the data they had and a range of possible
12 controlling phases that may affect neptunium solubility.
13 There was at that time some evaluation of whether it's an
14 Np205 controlling phase, if it was a single controlling
15 phase, whether it's Np205 or NpO2. Some previous assessments
16 had been conducted assuming the Np205, a representation which
17 that very top, you know, curve that you see on this plot.
18 All the data points--and most of these data points are
19 collected over the last, I think at that time it was nine
20 years. So, at this time, it must be about 10 years at
21 Argonne National Labs and some other data collected at
22 Pacific Northwest National Labs from drip tests on actual
23 spent fuel specimens looking at a range of possible neptunium
24 concentrations, you know, interpreted as solubilities for a
25 range of possible pHs in this case. The decision at the time

1 was to go to the NpO_2 representation as a reasonable
2 representative of cautious, but reasonable representative
3 evaluation of neptunium solubility inside the package as a
4 function of uncertainty in the in-package chemistry. So,
5 uncertainty in pH and CO_2 concentration, etcetera, inside the
6 package.

7 The other approximation though that was made was
8 because of the complexity, although there is some information
9 to support retrograde type solubility for neptunium and a
10 number of other radionuclides, i.e. it's more soluble at--
11 I'll get this reversed. I always get this reversed. More
12 soluble at higher temperature--sorry, lower temperatures and
13 less soluble at higher temperatures. And, the data are
14 collected over a range of temperatures. These data, I should
15 have put it on this slide. You have the slide from last
16 February. It may not be readily available, but you have it
17 where we indicated what temperature range some of these data
18 points were at. Some of these data points are at 25C, some
19 of these data points are at about 90C. So, there is a range
20 of temperature represented on the data plots. But, the
21 reasonable representation was to simply use the 25 degree C
22 solubility curve shown here, not the temperature dependent
23 solubility curve. Were there to be more information, more
24 data, it may be reasonable to incorporate sometime in the
25 future an alternate temperature dependent solubility. But,

1 at the present time under present understanding, the decision
2 was made to use this cautious representation of non-
3 temperature dependent solubility.

4 Going on to the next slide--

5 KADAK: Can I just comment? I don't see where you draw
6 these curves based on the data.

7 ANDREWS: The curves are based on a model. The model
8 is, you know, a thermodynamic based model representation of,
9 in this case, neptunium with a range of chemical conditions
10 in that model such as pH, PCO_2 , PO_2 , etcetera. So, it's a
11 thermodynamically based representation of what would be for a
12 considered stable phase--the stable phase being in this case
13 NPO_2 --what would be the predicted, you know, outcome of
14 neptunium solubility. It's not a curve fit to data, but it's
15 a comparison of data collected in the lab under a range of
16 different conditions, different temperatures, different
17 environmental conditions to a model conducted over a range of
18 conditions, a thermodynamically based model, as all the other
19 solubilities are based on these thermodynamic models and
20 they're also compared then to the observations to evaluate
21 their representativeness.

22 I think, Dr. Peters talked about secondary phase.
23 Let's stay on this slide for a little bit longer. I was
24 going to bring it up later, but I'll just do it now.
25 Secondary phase representations, the potential for a

1 secondary phase representations are neptunium being
2 incorporated into secondary phase. It's been postulated in
3 the literature. I gave you in February four literature
4 sources for your review where they summarized their
5 understanding of the potential for neptunium phase
6 incorporation. And, these are recent values collected over
7 the last year or two, 2004-2005 data sources, which indicated
8 that it is potentially a very possible condition that
9 neptunium could be incorporated in secondary phase materials.
10 I think, you saw some information yesterday and the words
11 from your consultant--if I can paraphrase them--were this is
12 discouraging, associated with the possibility of neptunium
13 being incorporated in the secondary phase. A number of
14 people have postulated that that's a very reasonable model, a
15 very reasonable representation, but the data currently
16 available, some of it presented to you yesterday, don't
17 support that incorporation. So, the cautious and reasonable
18 thing is to use an alternative representation which is what
19 we have done.

20 Colloid transport. Colloids can exist in many
21 different forms inside the package in the natural system,
22 many different sizes. Their stability, their filtration,
23 their formation itself are very much a function of the
24 chemistry. Their function of chemistry in the package, their
25 function of chemistry in the invert, and, in fact, their

1 function of the chemistry in the natural system. Colloids
2 exist. The question is then how are they transported in both
3 the engineered barrier system and in the natural system?

4 First off, on the stability and existence side
5 because if they're unstable, then that's somewhat irrelevant
6 with respect to a transport because they would be stabilized
7 and whatever radionuclides may be sorbed to these colloidal
8 materials would come back off and be in solution. So, the
9 first thing is to evaluate their stability. That's what we
10 have done. The stability is a function of the pH and ionic
11 strength. There is significant data, not all project data,
12 this is international issues. So, a lot of other countries,
13 in fact, have looked at colloid stability over a wide range
14 of environmental conditions and some of those environmental
15 conditions are relevant to Yucca Mountain. So, we've used
16 that portion of the overall data that are relevant to Yucca
17 Mountain to evaluate the stability of colloids in our system,
18 in our engineered barrier system and in our natural system.

19 It's generally true that colloids require advective
20 movement, i.e. the physical movement of water, but that's a
21 generality. Colloids can be in a wide range of sizes and
22 some of the smaller sizes, it is possible to postulate, as
23 has been done, that they may be diffusive, i.e. move through
24 a concentration gradient in addition to being advectively
25 moved through moving water. We have considered that

1 possibility in the current performance assessment models that
2 colloids can diffuse through these thin films that were in
3 the first slide that I was talking about and, in fact, can
4 diffuse out of the package and can when they get to the
5 invert either be advected or diffused through the invert.
6 So, that diffusive colloidal transport, which the information
7 is somewhat limited, has been conservatively represented in
8 the performance assessment.

9 Let's go onto the next slide, I think, which is
10 natural system. Okay. I'm going to switch, going to the
11 natural system starting with the unsaturated zone. This is
12 again a conceptual slide from last September. Let's go onto
13 the next slide. There's two main areas of conservatism. By
14 the way, some of these conservatisms were acknowledged in
15 that Sandy Cohen & Associates document that Abe alluded to,
16 the EPA has attached to their website as part of their
17 rulemaking process, Form 197. They went through essentially
18 feature by feature, process by process their interpretation
19 and their assimilations--it's probably more assimilation than
20 interpretation--of DOE, NRC, and EPRI's performance
21 assessments and many of these assumptions that I'm talking
22 about today were included in EPA's contractor document.

23 One, propagation of future climate effects through
24 the natural system. As you're aware, we've discussed, I
25 think, a couple of times, you know, assumed climate changes

1 at 600 years and 2,000 years during the 10,000 year currently
2 regulated time period. When those climate changes occur,
3 there's ample evidence at the surface to indicate the climate
4 changes can occur relatively quickly at the surface. So,
5 they propagate to changes in precipitation, changes to
6 temperature reasonably quickly at the surface. What that
7 means with respect to infiltration and unsaturated zone flow
8 at the subsurface is quite uncertain. In order to simplify
9 the analysis, we have assumed that when the climate change
10 occurs, 600 years, 2,000 years, that climate change occurs,
11 first off, instantaneously which is not unreasonable, but it
12 is instantaneously propagated through the entire unsaturated
13 zone and through the saturated zone. So, those two systems
14 immediately and instantaneously go to a new phase state. I
15 presented some information to this Board in February that
16 looked at what might be interpreted as actual time variations
17 in the subsurface. Now, maybe when I get to the unsaturated
18 zone, it is not an instantaneous step function change, but it
19 is some damp variation, i.e. it takes some period of time to
20 propagate through the unsaturated zone because all those
21 data, the USPS data associated with opal (phonetic) coatings
22 and things like that. But, that would be a very complicated
23 model. That would require many other inputs, data which
24 would be somewhat lacking, and the decision was made to be
25 reasonable and cautious and simply assume that the climate

1 change is immediately propagated through the natural system.
2 It's also immediately propagated to a rise in the water
3 table associated with that increased, in this case,
4 precipitation, and therefore, infiltration, and therefore,
5 percolation.

6 The next slide is probably maybe of more interest
7 to the Board because it directly goes at, I think, two issues
8 that Dr. Garrick made in his opening remarks to us all
9 yesterday morning associated with in this case unsaturated
10 zone transport. Unsaturated zone transport, we have a
11 fractured porous media at Yucca Mountain. It's highly
12 fractured, as you're well-aware. And, distribution of those
13 fractures is variable dependent on the rock type and where
14 you are stratigraphically. Once I get to transport, not flow
15 of water, the flow of water can be reasonably constrained by
16 a lot of observations that Dr. Bodvarsson has presented to
17 this Board on a number of occasions. The chloride
18 concentrations, the temperature distributions, you know,
19 matrix saturations, pneumatic pressures, etcetera, all help
20 to constrain the range of reasonable percolation values, i.e.
21 net flux values through the unsaturated zone. When it comes
22 to transport, i.e. the movement of individual radionuclides
23 whether in dissolved form or colloidal form, the amount of
24 information is a little less. There is some. We tested at
25 Alcove 1, we tested at Alcove 8-Niche 3 two times, actually

1 more than two times, different sequence of tests. We tested
2 at Busted Butte just on the southern tip of Yucca Mountain.
3 To evaluate transport characteristics, we've also done a
4 number of laboratory experiments. We've done matrix
5 properties principally in terms of diffusive characteristics
6 of the matrix and looking at transport properties, in
7 particular absorption characteristics of the rock and
8 minerals typical of Yucca Mountain.

9 But, the key issue is where do the radionuclides go
10 when I'm in this fractured system? There is two main
11 elements here that we talked a little bit to the Board, I
12 believe, last time about. One is the interface area between
13 the fractures containing radionuclides and the matrix. A
14 small interface area means generally less diffusion into the
15 matrix and quite rapid transport. And then, the effect of
16 matrix diffusion coefficient of the radionuclides during the
17 fractures as they try to diffuse into the matrix. A well-
18 known process, a well-accepted process, but characterizing
19 that process especially considering these two aspects is
20 uncertain. Both of those aspects are uncertain, the degree
21 of small fractures and how they communicate and how they
22 interface with these radionuclides that are moving through
23 the fractured system and this effective diffusion coefficient
24 that goes into the matrix from the fractures. This effect,
25 by the way, is a very significant effect. It's particularly

1 significant for any radionuclide that sorbs because when that
2 radionuclide is diffused into the matrix, if it has a
3 significant sorption and significant maybe Kds in the range
4 of several up to several hundreds for our type of
5 radionuclides and we do have radionuclide-specific sorption
6 factors for the rock types of Yucca Mountain, it can
7 significantly delay the transport of radionuclides to the
8 water table and, in fact, for some radionuclides, can prevent
9 their transport from the repository horizon to the water
10 table. And, as you'll recall, the definition of a barrier is
11 to prevent or substantially reduce. So, we are talking about
12 a barrier capability here of the unsaturated zone below the
13 repository. Whereas, the capability of that barrier is a
14 function of the uncertainty associated with this process of
15 matrix diffusion.

16 The third bullet here though is key, the direct
17 measurement in-situ. Direct measurement of both of those
18 aspects, you know, the interface area, it's not just, you
19 know, measure all the fractures and determine a geometric
20 interface area; this is interface area where the
21 radionuclides are moving. It's going to be a different
22 interface area than just a geometric interface area. That's
23 not an easily measurable quantity in-situ. And, when you do
24 try to measure that quantity, as we have tried to measure
25 that quantity, both in Alcove 8-Niche 3 and in Alcove 1, over

1 reasonable periods of time, i.e. months or years, not
2 hundreds or thousands of years, I can't do a natural test
3 under ambient conditions because the transport times are too
4 long. So, we forced it. We pond water at the surface or we
5 pond water in Alcove 8 and we then add tracers. So, we're
6 forcing the system. Now, you have to question--or what one
7 does is question, okay, how representative are those
8 conditions to expected conditions?

9 Flip on to the next slide. We have a couple of--or
10 no--before I go to the next slide of additional information,
11 this is a current representation. Current representation is
12 a conservative representation; cautious, but conservative.
13 It essentially assumes that the major fractures are the ones
14 that are evaluated for this fracture-matrix interface area.
15 Secondary or tertiary or quaternary, smallest drill fractures
16 are not considered in the transport of radionuclides in the
17 unsaturated zone. The effective diffusion coefficient is
18 then one based on laboratory derived diffusion measurements.
19 So, there's a reasonableness in the approximation of matrix
20 diffusion in the unsaturated zone, but it's also conservative
21 as we will show on the next slide.

22 Let's go on to the next slide. Well, it seems like
23 when there's a data plot, the system doesn't like it. Okay.
24 The next slide is two things on the left side. The upper
25 left hand plot is the actual Alcove 8-Niche 3 data for the

1 fault test. What's shown there are the actual data points
2 and interpretation using a model with the original interface
3 area. Read that to be the geometrically derived interface
4 area and matrix diffusion associated with a core, laboratory
5 derived matrix diffusion. You see that the original
6 interface area and the actual data don't match very well.
7 Dr. Kadak was talking about another example where data didn't
8 match very well with a model. However, by modifying one
9 term, essentially the interface area, essentially allow more
10 fractures, not just the major fractures, but additional
11 fractures to take part in the transport mid-take of two
12 tracers from Alcove 8 down to Niche 3, a distance of about,
13 I'm going to say, 30 meters and somebody will probably
14 correct me if that's off by too much. So, it had to be
15 increased. In this case, it had to be increased by a factor
16 of 45 to get that alternate representation of observed versus
17 simulated.

18 Another way of looking at other information--this
19 is not unique to Yucca Mountain, by the way. This issue of
20 how many fractures contribute to transport of any constituent
21 from a transport perspective and what kind of diffusion there
22 is between the fractured system and the matrix system is not
23 unique to us. It's a worldwide issue. I've shown here on
24 the bottom left hand plot a figure from a literature article,
25 particularly by Dr. Liu and some of his coworkers at Lawrence

1 Berkeley National Lab published in 2004. Each one of those
2 little triangles--this is, I believe, a WRR paper, Water
3 Resources Research paper. I'm not sure. We can get the
4 reference for you. It shows kind of a scale dependency of
5 diffusion coefficient where he has test scale along the
6 horizontal axis and what he's called an effective matrix
7 diffusion coefficient which is kind of a scale dependent
8 matrix diffusion coefficient which may have elements of a
9 fracture-matrix interface area buried in it. And, you see
10 this kind of increasing trend as the scale of the observation
11 increases. The scale effect or the effective matrix
12 diffusion coefficient goes up. Our scale of interest at
13 Yucca Mountain is on the scale of 10 to 300 meters, you know,
14 300 meters from the repository horizon to the water table.
15 These tests started with research done by Dr. Retniex
16 (phonetic) in Sweden in the mid-90s, mid- to late-90s, and
17 other researchers. This represents--oh, there is about 30
18 data points on there. It actually represents, I think, about
19 15 or 20 locations. It's not all--it's not 30 different
20 locations. But, you see some increase in trend. Now, what
21 we use is--our scale is essentially at 1. We don't use an
22 enhancement factor for matrix diffusion. We don't include,
23 if you will, the potential of an defective matrix diffusion
24 coefficient that would scale laboratory derived values up to
25 some other values.

1 We need to go to the next slide. Okay. So, there
2 is some recent information to support potential scale
3 dependency of this process. Uncertainly exists in whether
4 that's a scale dependent process or not or whether the
5 fracture interface areas that we've used are--although we
6 think this is representative of the geometric relationship,
7 they may not be representative of smaller scale fractures
8 were they to be included in the representation. But,
9 verifying that they are there and take part in the transport
10 process may require additional information or additional
11 analysis. In order to do that, you know, the science and
12 technology program has embarked on additional research,
13 additional--I don't think--maybe some testing. Bo would have
14 to clarify that on exactly this process and its scale
15 dependency to evaluate, you know, whether it's reasonable
16 even under stressed conditions, i.e. over-stressed
17 conditions, that the scale dependency or effective matrix
18 diffusion coefficient or fracture-matrix interface area,
19 essentially, how conservative are our current
20 representations. Our current representation is cautious, we
21 believe, but reasonable, but additional information may say
22 something--how cautious we are quantitatively.

23 Let's go on to the next slide. Okay. This is
24 conceptual picture of saturated zone. Let's go on to the
25 next slide. The future climate effects the propagation of

1 the saturated zone just like they are in the unsaturated
2 zone. I can skip over that. Let's talk a little bit about
3 colloid filtration. The Board, I believe, asked some colloid
4 related questions to us. Although there is no direct
5 evidence of filtration in our saturated zone tests, there are
6 a range of, if you will, retardations or attenuations of
7 colloids in our saturated zone tests. The current basis for
8 the attenuation of colloidally transported radionuclides in
9 the saturated zone is based on our observations that have
10 been made to date, principally at C-wells.

11 Dr. Peters presented some information yesterday on
12 some additional colloid testing using microspheres which is
13 kind of an analog of colloids. We don't test with the
14 radionuclide-bearing colloids in the saturated zone or
15 anywhere except in the lab. And, those tests that Dr. Peters
16 presented yesterday confirmed that the range of attenuation
17 of colloids currently represented in the model is reasonably
18 representative by the saturated zone testing done in
19 collaboration with Nye County and Los Alamos National Labs.
20 In other words, colloids are retarded in the natural
21 environment. Whether or not they are actually filtered--and
22 filtered would just be equivalent to a retardation of
23 infinity, let's call it--or not is indeterminate, you know,
24 based on the currently available information. So, the
25 reasonable and cautious approach with respect to colloid

1 transport in the natural system is to allow attenuation,
2 allow retardation using the available information that we
3 have from the field and from the lab which covers quite a
4 broad range of retardations, quite honestly, but not to allow
5 permanent filtration in the saturated zone. In the
6 unsaturated zone between layers of different pathologies or
7 fractured porous media into a porous media, there is some
8 filtration depending on size, exclusion characteristics of
9 the media, and the size characteristics of the colloids.

10 A third area of, I think, some interest to some
11 because it's been postulated by some that there are potential
12 redox conditions in the saturated zone and were the
13 radionuclides that are being transported in the saturated
14 zone to find these redox conditions, they need to do the
15 solubility constraints or do the retardation. There would be
16 significant and very significant retardation and, in fact,
17 precipitation potentially of some dissolved radionuclides
18 were there to be a reducing condition in the saturated zone.

19 We have currently represented the saturated zone as
20 oxidizing along the likely flow paths from the base of the
21 repository to 18 kilometer point of compliance. And, let me
22 show you some recent information. Oh, we do have it this
23 time. For those of you who have black and white--I think,
24 the Board has color, doesn't it? Okay. For those of you who
25 have black and white, I apologize because this really was

1 meant to be in color. Shown on this figure are individual
2 boreholes where we've in some cases evaluated the redox
3 conditions, in other cases, the redox conditions or the redox
4 data in the saturated zone groundwaters are indeterminate or
5 haven't yet been evaluated. And, superimposed on that is one
6 representation of potential flow fields from the repository
7 down to the compliance point and, in fact, beyond. The
8 compliance point is--well, I probably should find it exactly
9 on there. It's about a third of the way up that plot.

10 What you see here in the blue are what have been
11 determined based on these characteristics to be generally
12 oxidizing environments. Virtually all, but not all of the
13 Nye County boreholes along the likely flow paths or in the
14 immediate vicinity of the flow paths are considered to be
15 oxidizing conditions. As you get closer to the repository,
16 there are some wells in the fractured media that appear to
17 have reducing conditions, i.e. they're red. If the
18 groundwater did, in fact, with some high degree of confidence
19 encounter those reducing conditions--and, here, reducing
20 generally corresponds to about greater than 200 millivolts--
21 then the effect--we'll illustrate on the next slide--could
22 potentially occur. When this is just retardation sorption
23 coefficients of technetium, technetium is a dominant dose
24 contributing to radionuclides in the Yucca Mountain system,
25 in part, because it is non-retarded under oxidizing

1 conditions or only very slightly retarded, in part, because
2 of its high solubility, it can diffuse reasonably rapidly out
3 of the engineered barrier system if it's a diffusive
4 transport mechanism from the engineered barrier system. So,
5 this is an important radionuclide. And, here, you see a 10^4
6 increase, 10,000, a factor of 10,000 increase in sorption
7 coefficient, if we could confirm that we had reducing
8 conditions along the likely flow paths in the saturated zone.

9 However, going back to the previous slide, you see
10 there's some uncertainty about where these flow paths go.
11 There's some uncertainty about whether those flow paths are
12 likely to intersect these potential reducing conditions or
13 not. So, the prudent, cautious thing that the Department has
14 done, so far, is to simply assume that we have oxidizing
15 conditions and there is, if you will, no barrier credit taken
16 for the potential reducing conditions that may exist in the
17 saturated zone.

18 I think that's it for the examples, isn't it, John?
19 And, now, Abe has--oh, sorry. I have one more slide. I
20 think maybe I hit these--oh, wait, let me go back to that
21 one. This is an important point, third bullet on that slide.
22 Even if the Department from a lot of additional information,
23 additional testing, additional analyses were able to confirm
24 that the likely saturated zone flow path--and I just told you
25 how that uncertainty would need to be addressed--do encounter

1 reducing conditions, the obvious question that anyone would
2 ask--and, in fact, the regulator did ask in the KTI agreement
3 some four years ago which the Department responded to--is
4 what would happen in other future condensates? How do you
5 know that those reducing conditions would stay there and what
6 would happen if it changed from a reducing condition to an
7 oxidizing condition, i.e. you potentially flushed it off of a
8 reducing--you know, a sorbed or precipitated system. So, it
9 adds not only a complexity to the model, but it adds a
10 regulatory complexity in this case to address that additional
11 effect given that we're interested in not just the present
12 day conditions, but the longer term climatic conditions and
13 flow rates. So, again, as with all of these, reasonable
14 caution or cautious reasonableness has been used in the
15 representation of saturated zone transport.

16 Now, with that, let me turn it back over to Abe for
17 some summary comments and then I know we'll be happy to
18 address your questions.

19 VAN LUIK: Okay. Going on to the summary and this is
20 reiterating a few things that I said at the beginning, but
21 the primary purpose of performance assessment is to
22 demonstrate post-closure regulatory compliance. And, as I
23 said in my opening remarks, this includes demonstrating to
24 the regulator and anyone else that we do have an
25 understanding of the system. We illustrate and evaluate the

1 system to subsystem and process level sensitivity studies.
2 We will provide a demonstration of post-closure performance
3 that does not underestimate dose. That is our goal. That is
4 our policy. Accordingly, our assessments are consistent with
5 a cautious, but reasonable approach articulated by the
6 National Academy of Sciences, the Environmental Protection
7 Agency, and the Nuclear Regulatory Commission. Relevant
8 observations related to processes should be reasonably
9 explained by the models, however. The effects of
10 conservatism are being evaluated at the process, subsystem,
11 and total system levels using sensitivity analyses.

12 Can I have the next slide? Some external comments
13 have indicated a desire to parallel the conservative
14 compliance assessments with realistic non-conservative
15 assessments to allow evaluating the safety margin. This is a
16 very effective concept. We have looked at aspects of safety
17 margins, just aspects, with a range of sensitivity analyses
18 at the process and subsystem levels. We have considered
19 approaches for developing less conservative assessments in
20 certain areas. Identifying less conservative
21 representations, however, may require additional data or
22 modeling complexity. And, of course, importance analyses, we
23 want to be risk informed, are to be used to guide the need
24 for such efforts.

25 But, it should be kept in mind as we are talking

1 about realism, the NRC wrote in its statements of
2 consideration accompanying 10 CFR 63, I think a very
3 important point. The performance assessment evaluates
4 potential doses, not actual doses. For example, the
5 specification of the reasonably maximally exposed individual
6 is considered appropriately conservative for evaluating
7 performance, but, most likely, is not an accurate prediction
8 of what will happen during the next 10,000 years. So, the
9 very basis of our one aspect of our modeling, the biosphere,
10 for example, has been defined in such a way as to provide a
11 reasonable, but cautious approach to that aspect of the
12 modeling. I think these are important things to keep in mind
13 when we talk glibly about realism.

14 Next? The role of conservatism in conducting
15 performance assessments is acknowledged by the regulator.
16 I've already mentioned several quotations. And, we believe
17 that we continue to use appropriate conservatisms to
18 reasonably enhance the confidence in the technical basis for
19 the post-closure performance assessment. That is our belief.
20 Given the complexity of these assessments, there is a need
21 to carefully evaluate the conservatisms to ensure no
22 unintended optimisms. One of the questions was where have
23 you been optimistic? We have in no place intentionally been
24 optimistic. And, we are cautioned by the regulator and we do
25 take this seriously to look at potential risk violation. The

1 fear is that by being overly conservative and going to very
2 large uncertainty distributions that you are purposely
3 sampling an area that are very unlikely to reduce your risk.
4 So, we continue to evaluate the range of conservatisms that
5 we are about to insure that there's no unintended risk
6 dilution.

7 Next? Based on recent analyses and data, some of
8 DOE's models have been modified to remove selected
9 conservatisms. And, we do appreciate the insights that the
10 Board has offered on this issue. In fact, last year, we
11 addressed six conservatisms and we found that there was a
12 sufficient basis to reduce four of those conservatisms. The
13 other two, we found the basis just wasn't there. The goal is
14 analyses that rely on the data that we have so that they can
15 be defended and allow us to have confidence in the
16 performance assessment at this point in time. Will we learn
17 more in the future? We are a learning organization. We
18 intend to have a continuous improvement program in every
19 aspect of this organization including the scientific and the
20 performance assessment aspects. And, as part of that, the
21 DOE's science and technology program, just part of that--we
22 also have a mainline program that continues to evaluate and
23 continues to seek improvement. But, the science and
24 technology program continues to develop data to evaluate and
25 potentially reduce conservatisms in post-closure models. As

1 these things are completed, the program will evaluate the
2 conclusions and it may be included in future revisions of
3 models. It is expected--and this is addressed as another one
4 of the questions--that selected reductions in performance
5 assessment and conservatism may be made in future years.
6 That is our expectation. And, we have planning of ongoing
7 performance assessment related work for fiscal year '06 in
8 progress given the multiple constraints that the program is
9 facing at this point.

10 I believe there is one more. No, that's it. So
11 that, in a nutshell, is what we are about. And, I believe
12 that one of the things that I meant to say earlier is that I
13 personally find it very useful to be reading--I have a very
14 privileged position, actually, because of my interface with
15 the international programs. I have read seven recent--
16 meaning within the last decade--performance assessments
17 published by other programs and I've also read, of course,
18 NRC's work and the EPRI work and I find as a personal thing,
19 I find it very satisfying that basically the more material
20 the international programs become, the more they begin to
21 look like us in terms of having to back away from strong
22 statements and becoming more and more cautious.

23 The EPRI performance assessment, I personally use
24 as kind of a benchmark if we were to do everything and make
25 the most reasonable estimates that we could of things. This

1 is probably about where we would come out, but I think the
2 EPRI performance assessment people would readily admit that
3 they are not preparing those performance assessments for
4 defense in any kind of a public forum, that they are
5 preparing them to gain insight. And, I think we always have
6 to be cautious when evaluating insight calculations versus
7 the mainline program calculations that are to be used to show
8 regulatory compliance.

9 HORNBERGER: Thank you, Abe and Bob.

10 VAN LUIK: Thank you.

11 HORNBERGER: That was just about perfect timing. Thanks
12 for keeping on time.

13 Ali is going to run the discussion.

14 MOSLEH: Thank you very much. I've been given the easy
15 task of keeping the rest of this session on time.

16 So, the floor is open for questions.

17 ARNOLD: Arnold, Board. I have an uneasy feeling that
18 this thing is backwards. I'm used to an engineering process
19 in which you design something to do something and then you
20 figure out, well, I've got to get a license for this thing.
21 So, I then do analyses using a different set of ground rules
22 incorporating conservatisms and so forth as required to get
23 the license. What I hear is that you guys start from the
24 need to get a license and work from there. And, it leaves me
25 unsatisfied.

1 VAN LUIK: I don't know if this a statement or a
2 question, but I think it's a valid point that you're bringing
3 up. We are preparing an estimate of performance with a
4 system that has not yet been built. We are seeking
5 permission to start building this system as we learn things,
6 and as we have an as-built system, we will be obliged to
7 reevaluate that system as time goes on. But, we need to be
8 able to give the regulator a basis for coming up with a
9 finding that there's a reasonable expectation that the system
10 that we are proposing will protect global health and safety.

11 ARNOLD: But, I still think you've left out the
12 necessary first step which is design a system to do
13 something.

14 VAN LUIK: Yeah. Well, perhaps we are designing a
15 system to do nothing basically except contain.

16 MOSLEH: John?

17 GARRICK: One of the great appeals to me of a
18 probabilistic approach is it gives you the opportunity to
19 make the transition from basically an assumption based model
20 to an evidence based model. And, as I look at the
21 delineation of conservatisms that you have identified and
22 that we're quite familiar with, I guess, I sort of get the
23 feeling that there's a bit of an inconsistent application of
24 probabilistic principles. I know of no better way to address
25 conservatisms than probabilistically. Do you have evidence

1 of a reducing environment, for example, in some locations?
2 That evidence somehow ought to manifest itself in your
3 modeling. And, one way for it to manifest itself is that you
4 associate with that evidence a probability. It seems to me
5 that if you did that and each time you encountered an
6 assumption that is considered to be a conservative
7 assumption, you would probably end up with quite a different
8 result than you have, number one. And, number two, you would
9 be consistent in the invoking, if you wish, of a probability
10 thought process in a probabilistic performance assessment.

11 I see a lot of inconsistency in that regard. I see
12 some assumptions that clearly are addressable in terms of
13 some supporting evidence, such as the impact on corrosion
14 products of the stainless steel part of the waste package and
15 yet I see no accountability given to the impact of those
16 corrosion products. I see the temperature regimes being such
17 that there's a lot time at which the temperature is below
18 something like 45 degrees for the Alloy-22. I see no
19 indication in the model where that has been probabilistically
20 accounted for.

21 So, that's something that really concerns me is
22 that there are some advantages in probabilistic approach and
23 in my opinion the first and foremost advantage is that it
24 allows you to let the supporting evidence speak. And, that
25 way of thinking has not been consistently implemented in the

1 TSPA, at least as I see it.

2 ANDREWS: Let me take that, if I can, Abe.

3 You have quite a few comments and observations in
4 there, Dr. Garrick. So, let's talk about some and I'm going
5 to have to go in reverse as my mind just works better in
6 reverse sometimes. Some of the aspects that you alluded to
7 with respect to degradation characteristics of the stainless
8 and other packaged materials, it included there is a model of
9 degradation characteristics of the steams and of the other
10 carbon steel based and other in-package materials. Those
11 degradation characteristics do affect the transport through
12 engineered barrier system. I did not list it on my list of
13 conservatisms because it wasn't until you just asked it, a
14 question that had been posed, you know, in the earlier
15 communication. I believe it's a reasonable representation of
16 corrosion product degradation. I believe it's a reasonable
17 transport representation and it is reasonably applied
18 specific, the amount of sorption or retention in the package
19 on corrosion products. And, I'm talking about what we've
20 termed stationary corrosion products as opposed to mobile
21 corrosion products such as colloidal corrosion products.
22 There's a reasonable representation of engineered barrier
23 system transport. It's not conservative; it's reasonable
24 augmentation as all of our conservatisms are.

25 The second example they cited was the long-term and

1 I think that was even one of your--I apologize, I should have
2 hit that, but it was more appropriate yesterday than today.
3 It's the long-term temperature dependent type corrosion rates
4 that one might expect on a passive metal. We do have data of
5 temperature dependent corrosion wastes for Alloy-22. There
6 is uncertainty in the extrapolation of those temperature
7 dependent corrosion rates to either high temperatures or to
8 low temperatures. Most of the data are in the range, as you
9 just said, in the range from 45 to 90 degrees C and the
10 amount of data that goes to higher temperatures is a little
11 more limited, but we have some and you saw some of it--well,
12 I guess, you didn't see corrosion rates yesterday, you saw
13 initiation of localized corrosion information yesterday.
14 But, there is additional information on corrosion rates at
15 higher temperatures. We now have information at lower
16 temperatures, i.e. lower than 45 degrees C range, that is
17 quite uncertain.

18 So, the ability to extrapolate or interpolate--in
19 this case, we'd be extrapolating from 45 down to lower
20 temperatures--is uncertain and that uncertainty would have to
21 be reasonably incorporated in the assessments. That
22 uncertainty is included in the 10,000 year assessment. It's
23 probably a little more relevant, however, for longer term
24 assessments. And, you have the draft EPA rule and the draft
25 EPA rule acknowledged that one might, i.e. DOE, might include

1 corrosion rates that are a function of environmental
2 conditions in the repository like those that are expected,
3 environmental conditions in the repository, such as
4 temperature. I'm not sure if the rule says such as
5 temperature or not. And, that would be reasonable. But,
6 you'd have to reasonably incorporate the uncertainty in that
7 temperature dependency.

8 Going back to some of your opening comments--in a
9 second here I'm going to read back to you some of your
10 opening comments to us just so we're all on the same page
11 here. One approach to evaluate uncertainty is to--especially
12 when it comes to uncertainty in models and the
13 representativeness of models, in particular, the conceptual
14 models of processes is to, as you're well-aware, kind of
15 weight those alternatives, to have some basis for reasonably
16 weighing an alternative representation.

17 And, let's just take the example that you cited
18 here of potential for reducing conditions in the saturated
19 zone. It would be possible. We could convene, you know,
20 five or six or 10 experts in radionuclide transport in
21 saturated media, such as at Yucca Mountain, and elicit, you
22 know, a range of--based on the data, based on the data,
23 elicit a range of possible conditions that might go from--and
24 this is further reducing along the entire flow path to--I see
25 no evidence for reducing conditions or you haven't convinced

1 me, the expert, one of the 10 experts, that the radionuclides
2 would find those reducing conditions. So, we compiled a very
3 wide range, you know, of possible alternate conceptual models
4 from these 10 experts, all based on the same current
5 observations. And, we could get a range of results which
6 would be enlightening in some ways. It would be interesting
7 to see what that range of results is. But, as Abe pointed
8 out, the Department is, you know, some time in the near
9 future and the future is somewhat in question, but going to
10 submit a license application. The defensibility of that
11 license application and the defensibility of those alternate
12 representations has to be in that license application. And,
13 right now, based on currently available information, the
14 process of approximation is, in fact, to assume that it is
15 reducing within that broad range of possible conditions.

16 And, by the way, your staff was kind enough to give
17 us the actual transcript--I don't know if it's a transcript
18 or what--of your opening remarks and one thing you said was
19 that--and I think this was a Board position. As I recall, it
20 was portrayed as a Board position. Scientists and engineers
21 should be asked to give their best assessment of performance
22 critical parameters. Responding convincingly, i.e.
23 defensibly, to that request may require increased
24 understanding of the repository system. It may require
25 increased data. It may require increased testing, you know,

1 of the repository system. And then, you go on to say,
2 although some assumptions may be required, they, too, could
3 need to be well-justified.

4 And, that's where we are. We have alternate
5 conceptual representations. They are reasonable alternate
6 conceptual representations or they wouldn't be alternate
7 conceptual representations. Often, conceptual
8 representations in the NUREG and I think everybody's
9 definition would say it has to be reasonable to be an
10 alternate; otherwise, it's not an alternate. It has to be
11 justified. And, at our present state, these alternate
12 representations that are reasonable--I'm not saying they're
13 not reasonable. You know, the matrix diffusion issue that we
14 talked about or reducing conditions in the saturated zone
15 are, in fact, reasonable, but there's not enough information
16 available today. Where's the sensibility to include them in
17 a license application basis? Now, that's when you really--

18 GARRICK: Yeah, I fully realize that this business of
19 conservatism is not unlike the discussion we got into
20 yesterday about the drip shield and the waste package, but we
21 need several days to pursue it and we're not going to
22 accomplish that today. So, we're just setting the stage for
23 some future interaction.

24 MOSLEH: Okay. Thure?

25 CERLING: Cerling, Board. If we can go to Slide 28? It

1 just seemed to me that, you know, knowing if the water is
2 oxidizing or reducing is such a fundamentally important
3 description of water, that that's really a very key process,
4 and if I, you know, look at that diagram at the flow paths,
5 it seems like water goes from oxidizing to reducing to
6 oxidizing conditions. I can understand going from oxidizing
7 to reducing, but going from reducing back to oxidizing is
8 something that's hard to do once you've lowered that
9 groundwater table and that's such a fundamental understanding
10 of the water chemistry and system that, I think, that sort of
11 very much needs to be explained.

12 ANDREWS: Well, just let me try this. That's an
13 excellent question which again confirms why it's good to be
14 cautious while being reasonable, I mean. First off, I think
15 part of your question was wouldn't it be fundamental to
16 evaluate redox conditions in the saturated zone and shouldn't
17 you be doing it every time you drill a well out there, DOE.
18 Well, as you know, the rule changed, you know, in 2001. So,
19 some of these borehole locations, in fact, many of the DOE
20 drilled borehole locations, were drilled prior to the rule
21 change, prior to the 18 kilometer compliance point, prior to
22 the need to evaluate the saturated zone transport explicitly
23 in the requirements base. So, there's a reason why some of
24 these don't have the observations that one would hope, you
25 know, might have been made.

1 But, leaving that aside for the time being, the
2 source of groundwaters--well, first off, the location of the
3 sampled interval, you know, can play a role. This is a
4 somewhat gross representation or an average representation
5 not considering the third dimension. The location of the
6 actual inflowing interval, if you will, the most permeable
7 intervals driving water that's sampled varies all over the
8 map here. Some of them are a little bit deeper, some of them
9 are a little bit shallower. They're not all right at the
10 water table surface. That's one factor.

11 The second factor is it's been well-recognized and
12 there's uncertainty associated with the magnitude, but
13 there's been well-recognized and, in fact, I think, by a
14 previous Board member who continued to push DOE to evaluate
15 recharged waters along Fortymile Wash and what those vertical
16 recharged waters along Fortymile Wash and what they may
17 indicate with respect to groundwater flow in the saturated
18 zone. In fact, there's very good evidence in some of the
19 Carbon-14 measurements in the Nye County boreholes that, in
20 fact, there is vertical recharge very close and inside of
21 that gradient to those sample points. So, it is not simply a
22 2-D system, as indicated here, but there are large 3-
23 dimensional effects that would have to be considered were one
24 to try to invoke, if you will, reducing conditions as a
25 retardation mechanism in the saturated zone.

1 CERLING: Let's carry on with that just a little bit.
2 One of the things about these conservatisms is--I mean, for
3 instance, assuming only oxidizing conditions, but if your
4 reducing zone exists and part of it seems to almost be under
5 Yucca Mountain, then if you have this groundwater table rise,
6 you could put the lower part of the unsaturated zone
7 alternately in oxidizing and reducing conditions and you'd
8 think that coupling that to the colloid problem, that would
9 be good for you to generate colloids. So, I'm not so sure it
10 would actually be a conservatism to assume only oxidizing
11 conditions.

12 ANDREWS: So, where is the--

13 CERLING: Well, your red-blue boundary is actually under
14 Yucca Mountain so that would imply that part of it is--
15 there's a potential for reducing conditions--

16 ANDREWS: Could exist.

17 CERLING: Could exist and if you have an instantaneous
18 water table rise in your model during climate change, then
19 you could bring reducing--possibly bring reducing waters up,
20 but then later you're going to drop down and so there's a--it
21 would seem to me that's the potential for creating colloids
22 by changing the redox conditions.

23 ANDREWS: Oh, that was exactly part of the basis for the
24 KTI agreement the NRC raised. They were more talking about
25 transient changes in the saturated zone, but you could

1 envision transient changes in the unsaturated zone. Now, of
2 course, within a 10,000 year time period, we only get to
3 wetter conditions. Within that period of time, our climate
4 assessments are we don't go back based on currently available
5 information, we don't go back to a peasant day type
6 representation. So, we wouldn't drop the water table.

7 VAN LUIK: I believe, it's also important to reiterate
8 the fact that some of these samples are taken at pretty deep
9 levels within the wells and it would be a very self-serving
10 assumption to assume that the water coming through Yucca
11 Mountain and riding on top of the water table would mix
12 completely to that depth. So, that's another reason to stay
13 the course on our conservative approach.

14 However, on several of the issues brought up by you
15 and Dr. Garrick, we do look to the science and technology
16 program in the long-term to provide us additional
17 information, especially the thing that you mentioned about
18 the role of the corrosion products within the waste package.
19 They are looking at that quite seriously.

20 LATANISION: Latanision, Board. Bob, I'm just trying to
21 follow up on some of the questions that Thure has asked.
22 And, if we could go to Slide 17? First, a point of
23 information. What is the nature of the chemistry of the
24 colloidal material we're talking about? Is it corrosion
25 product or what do we think it is?

1 ANDREWS: I'd have to turn to Ernie or somebody inside
2 the package to give me a little more detail. Some of it is
3 corrosion product, some of it is fuels itself can be
4 colloidal in nature. There are silica colloids, but I'm not
5 sure if those are limited to the natural system or not,
6 Ernie. Dr. Hardin, would you--

7 HARDIN: Yes, Ernest Hardin, BSC. The colloids are
8 smectite based representing products of degradation of the
9 high-level waste glass. So--

10 LATANISION: The glass?

11 HARDIN: Yes.

12 LATANISION: Yes, okay.

13 HARDIN: And, they are also iron oxyhydroxide.

14 LATANISION: Okay. This is known by--how do you get
15 the--

16 HARDIN: We do know, you know, from observation that the
17 glass degrades that way. And, we know also that the waste
18 package contains a great mass of corroded carbon steel.

19 LATANISION: Yeah, okay.

20 HARDIN: And, there's an assumption built in there that
21 the smectite based glass degradation colloids are
22 representative of the, what we would think of as,
23 irreversible waste form type colloids.

24 LATANISION: Okay. Well, I can--let's accept that. My
25 question has to do with the description--and I think this is

1 something that Thure was questioning--the conservatism of
2 characterizing environment as oxidizing. Whether we say
3 oxidizing or reducing, that's sort of a generic description.
4 And, for example, in an oxidizing medium, you could, for
5 example, produce soluble iron reaction products or you could
6 produce insoluble passive films. Or if it's really
7 sufficiently oxidizing you could actually generate oxygen or
8 release chlorine. So, you know, I think the question that
9 becomes really important is just how oxidizing--and I don't
10 know how to answer that. I don't know how you would do that,
11 frankly, in a package. But, I think the issue describing it
12 as being conservative is not quite accurate for kind of the
13 same reason that Thure was questioning. We don't really know
14 whether you're producing a soluble or an insoluble or, in
15 fact, even an anodic gas.

16 ANDREWS: Well, let me try to address that and maybe
17 somebody who is better in in-package chemistry than I can
18 do that. I told you I was a transport guy, not a chemistry
19 guy. All right. Let me try a little bit. First off, the
20 range of degradation mechanisms occurring in that package
21 with that water film, you know, sitting on the degradation
22 products--you know, the steel, the carbon materials, the
23 waste forms themselves--there have been a range of
24 predictions, if you will, of in-package chemistry evolution
25 considering uncertainty in some of the aspects that you're

1 talking about associated with degradation rates of those
2 metals in that range of possible environments. That results
3 in uncertainty in things like pH and uncertainty in PO_2 , you
4 know, as an output, if you will, and PCO_2 and those
5 uncertainties then propagate into degradation of wastes,
6 solubility of radionuclides, and transport characteristics in
7 that degrading waste package environment inside the package.
8 So, we have not tried to precisely predict, aha, that's the
9 pH and we know it. We're saying that there's an uncertainty
10 around pH, around PCO_2 , around the other chemical
11 constituents, around the ionic strength that affect mobility
12 and transport of radionuclides reasonably.

13 LATANISION: Right. Latanision, Board. No, I
14 understand that. I think what's intriguing to me is the
15 possibility that if you were to say that the colloids or iron
16 oxides and if you were to take the position that
17 radionuclides are absorbed onto these colloids, there are a
18 number of possible things you could do to engineer this
19 system so that that colloidal material would not be released.
20 For example, you could introduce into the system surfactants
21 which might cause agglomeration of the colloids so that it
22 would limit their transport characteristics. Or if you do
23 know that there are iron oxide related colloids, you could
24 literally introduce magnetic filtration or devices that would
25 attract the colloids rather than allow them to be released

1 . So, I'm intrigued by the possibility that if we knew
2 with some confidence the chemistry, there may be ways of
3 tailoring the internals of the package so that even if there
4 is an intrusion, if corrosion occurs as a great uncertainty
5 and you have a moisture or water intrusion into the package,
6 it's conceivable that you could tailor the system so that
7 even if that were true, you could really minimize or inhibit
8 the release of any radionuclides by virtue of what we've been
9 talking about.

10 ANDREWS: Okay. And, the engineering enhancements are
11 possible and DOE has a project within the S&T program. I'm
12 not sure if that's one of the examples, but I know they're
13 looking at things like getters and other engineered aspects
14 that could be considered.

15 LATANISION: Well, that would be very intriguing. Thank
16 you, yeah.

17 MOSLEH: Andy?

18 KADAK: Kadak, Board. I'm going to use perhaps an
19 overused phrase. I'll try to be cautious, but reasonable.
20 And, I'm also going to try not to be glib. But, I think
21 there's a failure to communicate relative to what the Board
22 is asking for. It is not that we want you to eliminate
23 conservatism, but to be able to quantify the degree of
24 conservatism that you have in your model. In the nuclear
25 power world, we do Appendix K, safety analysis, for a large

1 break locus. We also have the capability of doing best
2 estimate calculations which for the licensing case, the NRC
3 sees compliance to the regulatory requirements, and we also
4 have a level of comfort that says, wow, you don't even come
5 close to 2200 degrees Fahrenheit and you're about 1800 or
6 1600 and we feel really good about that. All the Board is
7 saying--and we're not saying that you have to invent new
8 science. You have a lot of scientists and engineers on this
9 project who by essentially their requirement to defend until
10 death their assumption or their model or their parameter
11 range have gone to perhaps extremes in terms of
12 "conservatism". What we're saying is given that you have
13 certain models, given that you have certain understandable
14 phenomena that you have not included, let these scientists
15 and engineers make their best technical judgment that if you
16 were to put them in the model and you could run it, you would
17 see the kind of margin you have. That's all the Board is
18 saying.

19 I hope I haven't misstated the Board's position,
20 but this is what we're talking about. And, I believe that we
21 have asked the scientists and engineers to give us their best
22 understanding at the present time recognizing that it has to
23 be defensible. We again are failing to communicate. All
24 right. My understanding of your presentation was that you
25 are not going to be doing what we would call a realistic

1 model, is that correct?

2 VAN LUIK: We are continuing to evaluate how we would do
3 that. We continually run into this problem which you
4 characterize somewhat correctly that at every instance where
5 a judgment has to be made and the scientific basis that goes
6 up, the question is is this reasonable, does this fit the
7 data as we know it, and is this defensible? So, there is a
8 stair-stepping approach. We actually have done simpler
9 evaluations. I think Bob showed one to the Board that was
10 highly praised during the viability assessment days when you
11 took basically mean values and showed a flow-through from one
12 end of the system to the other of that mean value. Do you
13 recall that Bob? And, I think that was praised because it
14 gave insight into, okay, so this is how this works. However,
15 that was not a totally defensible product. It was an
16 insight-giving product. I think what you're alluding to is
17 you would gain a lot of insight by having the total system
18 performance assessment run through once with that same
19 approach, a mean value approximation. But, the trouble is
20 that the mean value has both basis that goes back step-by-
21 step-by-step into the data and at each step a judgment has
22 been made. Does this reflect reasonably, but cautiously--a
23 very much overused set of words right here--what we know and
24 can it be defended?

25 The glib remark that I made which you seemed to

1 take offense to was meant at those who say you need to do a
2 realistic prediction of the future. This is, I think, where
3 we part company with what's actually pragmatically possible.
4 It wasn't meant--I fully understand where you're coming from
5 and the parallel of calculation. I personally like the EPRI
6 calculation even though we will not use it in any way, but it
7 gives me some confidence and it also gives us some
8 indications of where we can probably get more performance out
9 of the natural system looking at their assumptions and
10 looking at our basis. And, I think, the S&T program makes a
11 promise in the further future to bring us closer to some of
12 those things.

13 But, as far as doing this, okay, what's your real
14 expected case? Here is what the TSPA does. That's a very
15 difficult proposition.

16 ANDREWS: Let me add because I'm--

17 MOSLEH: Bob, if you could make your comment short
18 because we're running out of time.

19 ANDREWS: I'll try.

20 MOSLEH: Okay.

21 ANDREWS: But, we do, Dr. Kadak, do sensitivity
22 analysis, you know, of the sort that you're, I think,
23 proposing at, more or less, the process or abstraction level.
24 If I take an example of the unsaturated zone transport at
25 the process abstraction level, given these alternate

1 conceptualizations of the type that I mentioned here, you
2 know, scale dependency and effective matrix diffusion, there
3 are in the documents sensitivity analyses showing the
4 possible effect of these alternate representations. So, add
5 that, if you will, to subsystem level--in this case, we're
6 talking about the unsaturated zone and the capability of the
7 unsaturated zone to retard or reduce radionuclide movement
8 which is a capability of a barrier on Part 63--we are
9 evaluating it. And, we do that for other parts of the
10 system, you know. So, it may not be rolled up into a
11 compliance demonstration or evaluating the effect on TSPA--
12 some things are. In some cases, the alternate conceptual
13 model is propagated into TSPA and, if you will, sensitivity
14 analyses from a dose perspective are also performed which are
15 enlightening and they're included in the TSPA documentation.

16 KADAK: What is your best guess as to the degree of
17 conservatism in the current model if you add up all these
18 things? What do you think? Is it a factor of 10, a factor
19 of 100, 1000? What do you think it is?

20 ANDREWS: Oh, I hate to speculate because I'm not sure
21 all of them have been factored in.

22 MURPHY: I have one short comment. Could I look at
23 Slide 18, please? And, this may be apparent to you, but
24 solubilities are not concentrations in general. They are in
25 your performance assessments and upper limits on possible

1 concentrations and the Argonne experiment plotted on this
2 figure were not designed as solubility studies and probably
3 are not solubility measurements, at all. So, to the extent
4 that the calculated solubility curves are an upper bound to
5 those is an appropriate comparison to make.

6 ANDREWS: Yeah, we believed it was appropriate also and
7 reasonable.

8 MOSLEH: With that, I would like to conclude this
9 session. We had two questions from the floor, but we've just
10 run out of time. I thank you very much for this
11 presentation, and the exchanges, I think, had significant
12 room for continuing the discussion regarding the
13 conservatism, I think. I have a number of questions that I
14 didn't get the chance to ask and I look forward to the
15 opportunity to do so.

16 I guess, I can turn over the meeting to Dr.
17 Garrick.

18 GARRICK: Okay. We'll, quite likely, take them up when
19 we get to the public comment period.

20 I'd like now to ask Steve Frishman to come and
21 introduce our next topic and our next speaker.

22 FRISHMAN: I'm Steve Frishman with the State of Nevada.

23 For quite some time, we've been interested in
24 tunnel stability issues and that led us next to wondering why
25 we're interested in tunnel stability issues. When we started

1 looking at a basis for looking into tunnel stability, it sort
2 of led us to a couple different areas, and once we got into
3 those areas, we started thinking, well, it's really more than
4 tunnel stability. It's the operational aspects of a couple
5 areas and those are areas that have had some discussion, at
6 least one as late as yesterday, but still have never been
7 aired at the level that we think they have importance and
8 that has to do with the whole concept of drip shields
9 operationally and the concept of retrieval operationally.
10 These are both of real importance. We think about them in
11 terms of license application where retrievability is not only
12 a requirement of the Nuclear Regulatory Commission, but also
13 a statutory requirement and the use of drip shields has
14 become integral to the performance.

15 So, we decided that it was time to actually take a
16 look at what DOE, at least, has made available in
17 documentation about the operational approaches to drip shield
18 and also where retrievability is implementable. There have
19 been a lot of questions about it in the past. We've heard
20 the--I'll use the word again--the glib statement that it's
21 just the opposite of emplacement. Well, it isn't. There's
22 much more to it.

23 So, what we did was we asked Frank Kendorski who
24 has, oh, about 30 years experience in a broad range of
25 underground operations and evaluations in a lot of different

1 specialized areas. We asked him to take a look at what's
2 available from DOE on the drip shield concept and on the
3 retrievability concept and he's looked into it, has what we
4 think is kind of an interesting and revealing report on the
5 state of those issues at this point. So, I guess we have
6 about 20 minutes and Frank will go through some of the things
7 that he has discovered and applied his own experience to out
8 of the available documentation from DOE on those two
9 subjects.

10 ABKOWITZ: Do we have the report, as well?

11 FRISHMAN: No, we don't, but we will when we've got a
12 final copy of the report.

13 KENDORSKI: Thanks, Steve. I'm trying to get a cold. I
14 hope I can be heard.

15 What I'm going to talk about this morning is a
16 review of titanium drip shield concept and critique of that,
17 retrieval concept and critique, review of features common to
18 drip shield and retrieval concepts, identification of issues
19 that arise from this.

20 The titanium drip shield, this is already out-of-
21 date from what I saw from Charlie yesterday. The pin
22 arrangement on the leading front end there has now changed to
23 an overlapping ridge arrangement. I'm not sure what the
24 correct term for it is, but a lot of the issues are much the
25 same.

1 Drip shield requirements are to provide an
2 additional corrosion-resistant engineered barrier over all
3 waste packages and also to provide a physical barrier to
4 protect the waste packages from rockfalls. The overlapping
5 and interlocking are to be a continuous shield for the length
6 of the waste packages in the drift. Each drip shield is made
7 from Titanium Grade 7 and Titanium Grade 24. Each drip
8 shield weighs approximately four metric tons. I made a lot
9 of pains in this presentation to make everything metric.
10 Everything else is in English units. 12,500 drip shields
11 will be needed from the most current information I can find.
12 The total weight of titanium or titanium alloy--and the
13 alloy is 90 percent titanium--is 38,000 to 50,000 metric
14 tons.

15 This is the from the United States Geological
16 Survey website. The United States Geological Survey is
17 tasked by the Department of Interior and the government to
18 track metal statistics and mineral commodity statistics
19 worldwide and in the U.S. This is titanium statistics for
20 the United States. The consumption for the last five years--
21 2005, of course, is still current--the mean consumption in
22 the United States is 20,000 metric tons of titanium metal.
23 This is the domestic production from United States mines.
24 It's about 13,500 metric tons. The total weight of titanium
25 as we discussed is 38,000 to 50,000 metric tons. That will

1 be installed and manufactured over approximately a 10 year
2 period. This amounts to two-and-a-half years of annual
3 domestic consumption. It's not going to shut down
4 consumption or absorb all the consumption; it's going to make
5 a major dent in domestic consumption of titanium. The total
6 is about three-and-a-half years of domestic production of
7 titanium. This is going to be a major impact on the titanium
8 market and supply in the United States and the world. When
9 we first heard about this business, everybody said, well, go
10 out and buy ASARCO stock and it's going to be a hot item at
11 that time.

12 Next one, please? Where does titanium ore come
13 from? Titanium has two major uses. The primary use for
14 titanium is titanium dioxide white pigment. Most paints that
15 we use are based on titanium dioxide. That's probably half
16 or more of the titanium consumption in the world. The rest
17 of the titanium goes into metal production for aerospace and
18 structural uses. The largest suppliers of titanium in the
19 world are South Africa, Australia, and Canada. The United
20 States is the purple field at the upper top here. We're a
21 little minor player in the world market of titanium. China
22 has become a major importer of almost all mineral commodities
23 in the last four or five years and that's going to continue.
24 And, they are consuming a lot of titanium now rather than
25 exporting it. That's going to be a significant factor in the

1 future.

2 KADAK: What's the world production of titanium?

3 KENDORSKI: That's a difficult number to come up with.

4 We have the ore production. We don't have the metal
5 production because a lot of countries restrict that
6 information.

7 Drip shield installation, we install just prior to
8 closure and before retrieval if retrieval ever happens.
9 Minimum of 50 years after first waste emplacement will be
10 installed. And, possibly a 100-year, 300-year preclosure
11 period while the waste packages wait for drip shields to be
12 installed. This environment is going to be 50 degrees
13 Centigrade and the last information I have 122 degrees
14 Fahrenheit. Not bad; I've worked in 140 degree environments
15 underground. It's going to be radioactive which I don't work
16 in. Ventilated, but overall 15 cubic meter per second
17 airflow. That's overall. But, you've got the waste packages
18 that are going to be in the way. So, you're going to have
19 at-ease and turbulent flow in the drifts. And, likely very
20 dusty environment.

21 The drip shield transport gantry is not the biggest
22 piece of equipment in the project. The waste package
23 transport package is a very large beast. This is a very
24 large beast, itself, though. It operates in a radioactive
25 environment at 60 degree--or 50 degree Centigrade, I'm sorry;

1 that's a typo there. Remotely controlled by operators on the
2 surface, self-propelled by 750 volt DC electric motors on
3 each wheel from the third rail electrical source system.
4 Moves on steel rails, weighs 45 metric tons, almost 50 tons,
5 and is difficult to recover if it's inoperable in the drift.

6 Next one, please? This shows the tight clearances.
7 This is a drift envelope. We've got a matter of inches here
8 in this design in this corner. Another possibility is
9 corroded steel rails after 100 to 300 years, difficult to
10 detect, and a dusty environment. It's going to be difficult
11 for these optics to work in.

12 Okay. This has since changed, but who knows, it
13 may come back. This is a former pin arrangement, but it's
14 not that different than the ridges and upsets in the
15 interlocking system now. The idea here is that this has to
16 be done remotely in a difficult environment and the
17 tolerances are pretty tight.

18 Next one, please? The connection pins are locking.
19 It's primarily intended to lock shields together
20 mechanically to minimize separation during shaking from major
21 seismic events. The pin connection is conveyed by the drip
22 shield gantry by remote control, a dusty environment, and a
23 very tight clearance envelope. No feedback mechanism
24 instrumentation for verifying that successful interlocking
25 has been obtained has been described. I think there was a

1 brief mention of it in yesterday's presentation, but nothing
2 has been detailed on how this is going to be verified.

3 This shows the mating of drip shields and the pins.
4 Unsuccessful is a difficult problem here with the clearances
5 we've got. This gets misaligned. It probably should be
6 shown at an angle rather than an offset. This is a difficult
7 problem in this environment.

8 The tolerance with a pin connection in my brief
9 review of the new locking mechanism, the ridge mechanism,
10 it's a 1.2 degree longitudinal angular tolerance of--you can
11 be off by 1.2 degrees, no more. That's pretty tough to do in
12 this environment and this type of equipment.

13 Dust, numerous studies in industrial, mining, and
14 military environments have demonstrated the difficulty of
15 operator visual recognition in degraded visibility
16 environments such as dust. And, NIOSH, the former Bureau of
17 Mines, has a major research program in this area how to have
18 operators work in dusty environments. Dust gets in the way
19 of sight, it blocks your vision. It gets lit up by the
20 lights blocking what's beyond it. It coats lenses and gets
21 into the equipment.

22 Here's a picture I took on October 28th last in a
23 stone mine in Indiana and this was a--why I even bothered to
24 bring a camera in, usually I don't even bother because you
25 can't see anything except for when you're right up to it.

1 This is a picture looking from about 50 feet away of a piece
2 of equipment that is scaling the ribbon roof of the mine.
3 This is what my camera ended up showing because all the dust
4 is in the way. Very typical of what we have to deal with
5 underground in an active mine. This mine is a damp mine, but
6 as soon as this thing started operating, it started kicking
7 up dust everywhere.

8 This is from an advisory committee on nuclear waste
9 meeting from February of 2001. They're discussing,
10 obviously, the conditions in the repository at the closure
11 period. Let's just continue on. They're commenting that
12 there may be as much as 300 years worth of dust accumulated
13 before closure. And, noted from their observations in
14 walking around the existing facilities, they would start out
15 clean and end up covered up with dust. This is my experience
16 underground almost universally. The excavation operations,
17 drilling operations all generate dust. The rock itself will
18 generate dust with each change in temperature and humidity
19 and air pressure. Weather systems move in, the rock kicks
20 off a little bit of dust. One mine I worked in in Illinois,
21 a limestone mine, had dust six inches to a foot on the floor
22 strictly from the atmospheric effects.

23 This is one for retrieval. It requires innovation
24 and equipment development for a very difficult underground
25 environment. I worked first on retrieval about 1978-1979 for

1 the Nuclear Regulatory Commission. I used to use this
2 cartoon a lot at that time. It shows an alchemist, 13th or
3 14th century, in his workshop with a fully modern television
4 set explaining it to his colleague, "But then I realized in
5 order to make it work I'd have to have a socket and God knows
6 what else." Just because you can conceive of something
7 doesn't mean it's going to be easy to do. And, this is from
8 "Magazine of Fantasy & Science Fiction".

9 Emplacement drift retrieval environment. After it
10 was sitting for 50 plus years, it's 50 degrees Centigrade
11 nominally. I believe I'd probably be experienced on that. A
12 radioactive environment, ventilated at 15 cubic meters per
13 second which is when the airflow is going to carry dust and
14 you need to talk about filtering this airflow. The airflow
15 will have dust in it because of the spacing of the waste
16 packages or configuration in the drift. There will be
17 turbulent flow and at-ease and low spots that will drop the
18 dust out of circulation. It's a very dusty environment.
19 You're likely to have corroded steel or copper electric third
20 rail. There's going to be copper in this drift at the third
21 rail or possibly mild steel. The rails are certainly mild
22 steel. So, we've got a potentially corroded environment, as
23 well, for power distribution and for transport.

24 This is the emplacement gantry and retrieval
25 gantry, dual function. Remotely controlled, operates in a

1 radioactive environment, in a 60 degree heating temperature
2 environment, self-propelled by 750 volt DC electric motors on
3 each wheel on steel rails.

4 This shows a problem similar to the drip shield
5 gantry, very tight clearance system in the envelope of the
6 drift. One thing I have not had a chance to fully
7 investigate is the creep closure of the rock mass surrounding
8 the drift that proposes the drift. Those 300 years, that's
9 going to deform. I don't know whether it's been considered
10 if it's going to deform sufficient to allow these clearances
11 or the modification of equipment or the internal environment
12 is going to have to be made.

13 I made a flow chart up, just too busy to put in
14 here. But, at least, 23 distinct steps starting with drift
15 inspection, verification conditions through getting the waste
16 package out to the surface in order to achieve retrieval.

17 It's a pretty complicated situation.

18 Okay. The project, meaning Yucca Mountain Project,
19 has identified abnormal scenarios; derailment of an
20 emplacement gantry in an emplacement drift or a retrieval
21 gantry, rockfall or emplacement drift major ground failure.
22 I just don't want it to happen on a Monday morning.

23 Remember, these scenarios have to be dealt with and
24 successfully accomplished in a very difficult environment of
25 long time periods intervening since the last series of people

1 living there. High temperature radioactive ventilation with
2 dust coming in, tight clearances, dusty, settled in the
3 ground, probably corroded power systems, and rail systems.

4 Okay. This is the best depiction I could find in a
5 project document of an abnormal retrieval scenario of a
6 derailed gantry in the emplacement drift. However, on the
7 right, you see the other view. If this gantry has been
8 derailed in that fashion, it's going to hit the wall and be
9 damaged itself and damage the drift supports. This thing is
10 not a light piece of equipment. So, I think, moving at 50
11 miles an hour is going to be walking at walk speed, but it's
12 going to have enough momentum that it's going to damage
13 itself and the wall if it derails.

14 Okay. A large ground collapse, this also comes out
15 of the same project document showing a gantry or waste
16 package. It's trapped by a major roof fall in an emplacement
17 drift in the tuff. This is what's usually depicted in the
18 documents I've been finding, the most current ones.

19 Please, next one? My experience underground in
20 hard rock, this is what's actually going to happen. You're
21 going to get a widening-out collapse of the roof and
22 surrounding rock and because of what's called bulking factor,
23 blocky rock such as tuff, bulk out to 30 percent to 40
24 percent of their volume when just aggregated and made into
25 blocks. This is going to fill until the bulk rock support is

1 failing, too. This is my experience in almost all
2 underground opening failures which I specialized in in my
3 practice. What's going to happen, it's going to block the
4 ventilation. There's a very serious problem with
5 hydroelectric tunnels and it blocks your ventilation and your
6 water flow.

7 Next one, please? Okay. Here's the consequences
8 of a major ground failure. Buried waste packages or
9 gantries, blocked air flow, your heat is no longer
10 dissipating, dangerous radioactive environment, rising
11 temperatures. Tunneling in from adjacent drift or raised
12 boring up from the ventilation level will be slow and
13 difficult and final connection will have to be done remotely.
14 Almost all of this has to be done remotely. This is where
15 that cartoon comes in. If you invent the equipment to do all
16 this, it doesn't exist.

17 Okay. Common problems to both the drip shield
18 emplacement and retrieval. They're repository locomotives.
19 This is not a show-stopper. They're constantly read in the
20 project documents that the 50-ton class electric locomotives
21 are what's going to be used. And, Improvement Equipment
22 Corporation is cited as a source of these. They have never
23 made a 50-ton locomotive. And, also, they no longer exist.
24 They were liquidated and went out-of-business about five
25 years ago. There's no non-coal rail-haulage mines in the

1 United States that we can find. All operators have switched
2 to continued belt haulage or trackless haulage. Even
3 Henderson Molybdenum Mine in Colorado which had an 11 mile
4 long haulage tunnel under the Continental Divide switched out
5 to a belt conveyor a few years ago. Pretty awesome to think
6 about, an 11 mile long belt conveyor, but that's what
7 everybody is going to.

8 Next one, please? Mining locomotives. The Yucca
9 Mountain Project is probably the last market for heavy-duty
10 mining locomotives. The only place to get them is Sweden by
11 special order. That doesn't mean you can't get it. Like
12 most equipment, it's all special order, special design, but
13 it's not an off-the-shelf product. It never was an off-the-
14 shelf product. Goodman has never made a 50-ton locomotive,
15 another chief engineer now retired.

16 Next one, please? The retrieval locomotive, is has
17 to go beyond the doors, the sealed doors, shielded doors, is
18 hinted at being a 750 volt wet cell battery locomotive. 750
19 volt wet cell batteries don't exist. Above 300 volts, cell-
20 to-cell arcing and creep occur. I tried to find a greater
21 than 360 volt DC wet cell battery and you can't. The fuel
22 cells and other technologies of these power levels are still
23 in the very developmental stage. In Canada, I think, there's
24 an 8-ton locomotive that works on fuel cells. You can run a
25 750 volt locomotive with a 350 volt battery which operates

1 slow and with much less power. It won't be able to achieve
2 its cycle times inner-plant. A wet cell battery discharges
3 rapidly above 60 degrees Centigrade due to the lead-to-lead
4 oxide chemical reaction that creates the power for the
5 battery. That rapidly accelerates and the battery would
6 completely discharge in a very short time.

7 Okay. Drip shield issues wraps us up. Titanium
8 supply, achieving the drip shield interlock.

9 Next one? Retrieval issues. Retrieval under
10 realistic expected environments needs to be looked into.
11 Manipulating derailed gantries and other vehicles in tight
12 clearances. Recovering waste packages from ground failures
13 in tight clearances. Clearing ground failures remotely.
14 Blocked ventilation causing heat rise before recovery and
15 retrieval. Once that (inaudible) is blocked, the clock is
16 running.

17 Common issues are the availability of locomotives,
18 availability and performance of locomotive and batteries in
19 this environment, steel rail corrosion, third rail corrosion
20 and remote controlled optics and equipment operation in a
21 dusty environment.

22 Okay. If these operations are integral to safety
23 and licensing, there must be an up-front and credible plan
24 and design using currently available technologies for how
25 they are to be accomplished. We do not see such plans and

1 designs in the project documents.

2 Okay, thank you.

3 GARRICK: Thank you very much, Frank. I think that the
4 Board benefits a great deal from presentations such as this.
5 I think on of the pieces of information that we don't get
6 enough of is operational information and we'd like to very
7 much see similar kinds of discussions and presentations
8 having to do, for example, with the surface facilities. I'm
9 sure we would run into some of the same kinds of problems.

10 Are there questions from the Board? Andy, do you
11 have a question?

12 KADAK: It was good. It was certainly good.

13 GARRICK: All right. Thank you.

14 All right. We have now come to the point where
15 they have asked to make public comments. There were a couple
16 of questions before we get into the public comment statements
17 that were given to us during the performance assessment
18 presentation. I see that we still have the two presenters
19 here. So, I'm going to raise those questions and they can
20 comment on them.

21 The first question. If we assume the new EPA
22 standard of 1,000,000 years as adopted, what would the
23 southern extent of the hydraulic hydrologic system
24 performance model be extended to? Do you understand the
25 question?

1 ANDREWS: This is Bob Andrews. If the EPA standard is
2 adopted as it's currently written, I believe the location of
3 the reasonably maximally exposed individual has remained
4 unchanged and I think EPA discussed that yesterday morning.
5 In other words, there is not a change in the compliance point
6 or the compliance expectations and that the reasonably
7 maximum exposed individual would still be at, for purposes of
8 evaluation of this dose during the time of geologic
9 stability, would still be at that 18 kilometer boundary, if
10 you will. And, the characteristics of that individual would
11 be the same as the characteristics used in the 10,000 year
12 assessment of performance. So, there would be no change.

13 GARRICK: Okay. We've got one more here.

14 The question is isn't it more conservative to have
15 the water dry and re-wet rather than just staying wet with a
16 continuous wet film; that is buildup of salts or corrosive
17 materials?

18 ANDREWS: I'm going to have to lean on Dr. Hardin again,
19 but maybe he left. No, he is here. I presume the individual
20 is commenting on the in-package type environment. And, the
21 main issue of wetness, if you will, or water film continuity
22 is with respect to a diffusive transport. It's not an issue
23 really of the alteration of the fuel or alteration of the in-
24 package materials. And, given that it's mostly a transport
25 mechanism, were it to be "dry" as this question is asked, it

1 would reduce the diffusive transport of any radionuclides.
2 So, whether that dry and then wet and then dry, which could
3 happen, I suppose, it would not change the diffusive
4 characteristics through when it is wet. So, I don't think it
5 would have much of an effect. But, maybe there's something
6 more behind this comment that I'm not quite understanding.

7 GARRICK: Okay, thank you.

8 VAN LUIK: John?

9 GARRICK: Yes?

10 VAN LUIK: This is Abe Van Luik, DOE. Bob gave the
11 exactly correct answer in the TSPA. I think the person that
12 asked the question should know that we continue to be
13 involved with both Inyo County and Nye County in studying the
14 regional setting. So, we are not totally unmindful of the
15 need to know more. Thank you.

16 GARRICK: Thank you.

17 All right. Let's allow some time for the comments.
18 The first one on this list is Dr. Jacob Paz. Is he here?
19 Will you introduce yourself?

20 PAZ: My name is Dr. Jacob Paz. I'm going to make three
21 brief comments. First, for yesterday, I spoke to a member of
22 the Board and on the afternoon presentation very clearly did
23 he not include in the matrix the effect of sulfate which will
24 be found in Yucca Mountain and their effect on corrosion.

25 Second is my comments for today on the total

1 performance assessment and I'm going to read a statement
2 which I wrote. "In order to assess the public health
3 associated with the behavior of radionuclides and heavy
4 metals in the environment, knowledge of the partitioned
5 coefficient of each radionuclide in heavy metals between
6 different phases is required. The YMP performance assessment
7 did not consider the competing effect of radionuclides and
8 heavy metals; why? While sorption properties of individual
9 radionuclides or heavy metals may be known mostly in the
10 near-field, variations in these properties when two or more
11 radionuclides and heavy metals are present have not been
12 investigated. And, therefore, heavy metals such as Ni, Cd,
13 and molybdenum will migrate from the site first and be
14 partially absorbed within the near-field, but some will
15 ultimately reach the far-field. This limits the number of
16 soil binding sites and subsequent radionuclide sorption.
17 Furthermore, the EIS stated that sorption parameters measured
18 for one single radionuclide are applicable to the case where
19 more than one radionuclide is present. Competitive effects
20 are assumed to be negligible. This requires confirmation
21 defined near-field and far-field conditions. Can the DOE
22 provide appropriate range scale data to justify their
23 assumption?"

24 I'm going to write to the Board and request that
25 the DOE will address it scientifically through the coop

1 agreement with UNLV and Weisman Institute which have this.

2 Last, it's a letter which has been sent to EPA by
3 Dr. Les Braby. "I'm a research professor at Texas A&M
4 Nuclear Engineering Department. Among other things, I
5 developed the first single particle microbeam irradiation
6 system for studying biological consequences of low-level of
7 ionizing radiation. A colleague in Nevada, Dr. Jacob Paz,
8 contacted me concerning possible consequences a bystander
9 felt when cells had been stressed by exposure to elevated
10 levels of heavy metals such as chromium, nickel, and depleted
11 uranium. He is particularly concerned because large amount
12 of such metal will eventually enter the environment. from
13 Yucca Mountain. In my opinion, there is a significant chance
14 that the effect of radiation and heavy metals will not be a
15 simple additive at all exposure levels."

16 Thank you.

17 GARRICK: Thank you.

18 PAZ: I will send you a copy.

19 GARRICK: Our next commenter is Charles Fairhurst if
20 he's still here.

21 FAIRHURST: This microphone?

22 GARRICK: Sure, either one. Whatever you're most
23 comfortable with. You get to lean on that one.

24 FAIRHURST: Thank you very much, members of the Board.

25 I just wanted to make a couple of comments on the

1 presentation by Frank Kendorski. Just by way of background,
2 I'm a Professor Emeritus from the University of Minnesota in
3 rock mechanics and I was trained originally as a mining
4 engineer. My very first job underground was a ventilation
5 engineer. I also should mention as a contemporary of Ray
6 Weimer on the ACNW and you saw a quote from those meetings
7 concerning dust, let me say, first of all, about that
8 discussion. I think it was very much concerning. Ray Weimer
9 is a chemist and he's very much concerned about things like
10 dust deliquescence and the sort of discussion that we were
11 having yesterday. I don't think he was talking about any
12 impairment of visibility in an operating mine. I'm sorry,
13 that's slightly out of context.

14 The second point is mentioned in the great dust
15 problem and quoting 15 cubic meters per second of air
16 movement. That corresponds in that tunnel to about 1 meter
17 per second which is about three miles per hour. It is the
18 same velocity approximately as exists in the current tunnels.
19 And, anybody going along there will see the level of
20 visibility that you can have.

21 So, if I want to quote somewhat to the other side
22 of the spectrum, say that those velocities are very similar
23 to what you see in the typical metro system, and the
24 underground visibility, you well-know, what it gets to in the
25 underground metro system. So, I think it needs to be put

1 into context. Yes, it is dusty. Dust is everywhere.
2 There's dust in this room and it settles on things and one
3 has to clean things and make sure if you're relying on
4 visibility that you have clean systems to operate them.

5 The second one which was the question showing major
6 groundfalls of rock in the tunnels during the drip shield
7 emplacement and so on, I think, as far as I can tell, Frank,
8 that drawing that you have is quite old. And, if one looks
9 at current designs, recently a couple of years ago, the
10 design support system for the preclosure tunnel is a
11 continuous 360 degree lining of stainless steel, a Banolt
12 (phonetic) type system with rock bolts. And, it's very hard
13 for me to imagine how you could get the kind of rockfall that
14 was shown by Frank in that system. I was shown, I think,
15 similar ones that have been found by analysis and the
16 consequences of a seismic analysis in the post-closure
17 environment when it is assumed that all the support system
18 has deteriorated to offer no resistance. And, these are very
19 different systems. Preclosure, we have an extensive support
20 system. It's very hard for me to imagine how you would get
21 that kind of design to carry loads if there was a seismic
22 disturbance which was shaking everything down. It would be
23 shaken down onto the top of the support system and not
24 through it.

25 So, I think it's important to, at least, take these

1 things into context. And, when I see a saying like "most
2 likely ground failure", I think that's slightly misleading.

3 Thank you very much.

4 GARRICK: Thank you.

5 Mike Anderson?

6 ANDERSON: Hello, again. I'm Mike Anderson. I work
7 with BSC and I manage waste package ancillary component
8 design. During the final presentation, there was a question
9 from the Board about titanium capacity worldwide. As you can
10 imagine, the project often talks with titanium vendors
11 including Timet and Alleghany Technologies. Recent
12 conversation held by one of my colleagues with the folks at
13 Timet said they estimate world capacity at about 50,000
14 metric tons a year of titanium. In the titanium business
15 when they do amounts, they're usually recycling about half of
16 that inventory. So, that would be metal production of 50,000
17 metric tons a year at present capacity just to give you some
18 more information on that.

19 GARRICK: What would you think the procurement rate
20 would be? You wouldn't buy it all in one year, of course.

21 ANDERSON: No, you wouldn't buy it all in one year. If
22 you assume on the baseline it takes about 23 years to
23 emplace, there's probably--if we follow the waste package
24 procurement model, if you will, there's probably multiple
25 vendors. I think that the presentation assumed, I think,

1 about 10 years of procurement. It would really depend on the
2 economics of that, the number of available vendors, and
3 things like that. Because the drip shields are emplaced out
4 there near the end of emplacement, I don't think a lot of
5 thought has been given to those particular economics from the
6 dynamics of acquisition of those.

7 GARRICK: Okay, thank you.

8 ANDERSON: Okay, thank you.

9 GARRICK: All right. Dr. Azel Topi?

10 TOPI: Well, on behalf of the Las Vegas Paiute Tribe, we
11 welcome you again here in Las Vegas, Nevada, and come back
12 again and I wish you the best of luck in your travel and your
13 business meeting and so on. That's the chairperson point.

14 Here's one point I think I'd like to say to the DOE
15 from the history. There was all these nice physicists and
16 the chemists sitting in a room talking about the (inaudible)
17 and Rutherford and Einstein and all these guys. And, there
18 was this young guy stood up and he was talking about
19 particles and all these other things and the physics. And,
20 after he finished two hours of presentation, a fellow in the
21 meeting by the name DuBois--I don't know if you know him or
22 not or heard about him; he was another physicist and a
23 chemist, famous in that time of the year--he said,
24 Shroedinger, instead of you talking and waving your hands,
25 why don't you put all these things in equations? And, you

1 know what, Shroedinger published in a year six papers. Now,
2 we call it the wave functions and the wave equation that he
3 started, the quantum mechanics and the quantum theory we all
4 know about.

5 Today, we know, for example, that you are here, and
6 before you come here and before you are made by whoever made
7 you, we had to have the hydrogen and the proton and all these
8 other things. So, I think the DOE listening to this
9 conversation, we need all these, call it, equation data.
10 Convince us. I have not been convinced so far with all these
11 beautiful unsaturated, saturated chemicals and models and all
12 that. I want to see one day before I die that I can take an
13 example and learn from one to 10. I'm going to add one plus
14 one equals two, or two plus two equal four. I want to see
15 you in your model instead of talking about all those things,
16 give us an example. We learn from example. All I get is
17 probability things. Give us an example. How do you produce
18 all these things in such a way that I can take it to my wife
19 who is a physician and doesn't know anything about that and I
20 say, honey, here it is. I can convince you of that. She
21 will vote for you. But, give us that little food to chew on.

22 Thank you again for coming. Have a good lunch,
23 have a nice trip home, and we look forward to seeing you
24 maybe in Christmas stocking. Just kidding. Thank you.

25 GARRICK: Thank you. Thank you very much.

1 Steve?

2 FRISHMAN: Steve Frishman, State of Nevada. Since I
3 wasn't here yesterday, I have to give the benefit of
4 something I--my thought on something I heard today. In Chris
5 Kouts' presentation, you seemed to be fairly interested in
6 how the total system model works and appears to have, at
7 least, gotten on the way to working in directions that you
8 think are beneficial for management of a very, very complex
9 program. Now, what Chris gave you was how the program worked
10 up until a month ago.

11 Now, with the new approach that we first heard of
12 in early October primarily aiming towards a multipurpose
13 canister, I think it's worth kind of looking at this model
14 for a couple different reasons. First, you have to remember
15 that a technical reason for why the multipurpose container
16 went out of business in about 1995 was because it was at that
17 time--and I think maybe at the current time--not easily
18 compatible with the actual mechanics of thermal loading
19 meaning planning how you're going to accomplish thermal
20 tailoring and loading. So, there was a technical reason why
21 the MPC was sort of out of the system. Of course, there were
22 some other reasons, too, but the technical reason, I think,
23 is one that should be of concern to you.

24 Now, the reason I'm bringing that up is because you
25 see the total system model as maybe a good tool. I think,

1 it's best that it just be looked at as a tool. So, now, a
2 tool is only as good as the inputs that you have. Now,
3 what's different between what Chris has put it to work for,
4 so far, and what it would go to work for in the context of a
5 multipurpose container is that the way it worked as presented
6 by Chris is the unit is the tool assembly. Under the new
7 approach, the unit would be the multipurpose container
8 regardless of what's in it.

9 And so, what I sort of envision having to happen is
10 Chris and his people are going to have to learn how to build
11 and operate this tool backwards. What they're going to have
12 to start with is the requirements for thermal management,
13 whatever those might be that they're going to put on the
14 repository, and work all the way backwards to the fuel
15 assembly where the last time you see it is when at the
16 reactor it's put in with a whole bunch of other fuel
17 assemblies, none of which have any constraints on the thermal
18 output. So, DOE is in a position where using the
19 multipurpose container, it's going to have to take whatever
20 it gets and carry that all the way through the system to
21 where it may or may not be compatible with the tail end
22 requirement which is thermal management.

23 So, this comes back to something that I sent to the
24 Board, I think, probably when the multipurpose container
25 first became an issue in about 1992. I suggested that there

1 was a possibility that the multipurpose container was, one
2 way or another, going to be involved in the extent to which
3 you can achieve the desired safety in the repository. And,
4 desired safety in this case is, at least, according to the
5 way DOE is operating its performance assessment, is at least,
6 in part, strongly connected to thermal management.

7 So, I just suggest to you that if you want to kind
8 of continue to follow this total system model which I saw
9 some interest in, then it would be worth sort of following
10 how they try to use it in a system that is almost the exact
11 inverse of the way they have already used it. See if you can
12 start it and run it backwards remembering that the unit now
13 is the unmanageable multipurpose container as opposed to
14 manageable individual fuel assemblies. Something to think
15 about.

16 Thanks.

17 KADAK: Can I just comment?

18 GARRICK: Sure.

19 KADAK: Just a correction, I think. This is Kadak. The
20 objective would be if MPCs were to be used was to load it at
21 the reactor in concert with the thermal management plan, as
22 you suggest. Now, this may or may not be possible. The
23 degree to which it is possible will be determined based on
24 what's in the fuel pools that exist in reactors. So, I think
25 the idea is, you're right, if it can, but the loading is

1 based on what can go right into the repository into the waste
2 package overpack. So, that is the plan. Otherwise, you
3 know, going through the trouble of making an MPC and then
4 having to unzip it when you get to Yucca Mountain and then
5 blend it again, that doesn't make any sense.

6 FRISHMAN: Right. And, what is behind my view of what's
7 in the MPC is the Department of Energy has no control over
8 what goes into the MPC and--

9 KADAK: No, but they would have--no, that's not correct.
10 They would have to specify what would go into the MPC if--

11 FRISHMAN: That's not what the contract says.

12 KADAK: Well, again--

13 FRISHMAN: And, also, you have planned sites where
14 more--and you will continue to have more and more of older
15 fuel in container--in dry containers and they're going to be
16 the last things to leave the repository--or to leave the
17 reactor.

18 KADAK: That's true.

19 FRISHMAN: Because they've already spent the money. So,
20 take advantage of it for as long as you can and cut down your
21 operational costs in the pool. So, the point is that the
22 Department has no control over what goes into an MPC unless
23 the owner of that fuel for some reason finds that his sharp
24 pencil says that he can give DOE what it would like to have.
25 Other than that, the Department gets whatever the plant

1 gives it. That's why the issue came up the first time and
2 the technical reason why the MPC was not consistent with the
3 thermal management plan and that's because the Department had
4 no control over the thermal input that came to them. And, if
5 you look at, what is it, Page 19, in Chris' handout, you can
6 see that there is some type of a--even in his old system,
7 meaning more than a month ago, there's a peak in how much is
8 in storage. Now, this diagram will change drastically with a
9 multipurpose container and I think that it's possible that
10 the end point, given that you don't know what you're going to
11 get, the end point is that that peak is going to be a great
12 big flat peak and you're going to end up with a default below
13 boiling repository which I'm not saying is a bad thing, but I
14 think you need to know that on the way in rather than as a
15 default. Something to think about.

16 GARRICK: Thank you very much.

17 Are there any other comments that anybody would
18 like to make at this point? Judy?

19 TREICHEL: I'm tired. I've been back and forth across
20 the country several times within two weeks.

21 Judy Treichel, Nevada Nuclear Waste Task Force.
22 The only thing I would say at this point is I find it
23 absolutely amazing that one of the things that the Department
24 now apparently appears to be looking for is a reducing
25 environment where three or four Secretaries of Energy ago, we

1 certainly wished that they had gone back to the Secretary and
2 said we've taken a look at this gift you've given us which is
3 Yucca Mountain which is unique because it's in an unsaturated
4 environment and we don't think that it has all of the great
5 stuff that we were hoping for. We might have a better deal
6 if we actually were in a saturated zone and had a reducing
7 environment like the rest of the world is looking at. I
8 mean, I think it's really interesting now that they're
9 finding that as being a real plus and sort of looking at the
10 facts on that. That's it.

11 GARRICK: Thank you. All right.

12 KADAK: Can I just ask how many members of the general
13 public are here?

14 (Pause.)

15 KADAK: Four, five? Thank you.

16 GARRICK: All right. Well, we've come to near the end
17 of our meeting. I want to thank all the presenters and the
18 briefing people for an outstanding job. I think we stuck to
19 our schedule very effectively and that's because the
20 presenters allowed the Board the time it wants to ask
21 questions and I'm very pleased.

22 I think this meeting was an excellent meeting. We
23 heard some new material that we probably didn't expect to
24 hear. We have lots to do in trying to decide where we go
25 from here with that information, but we're very grateful for

1 the involvement of everybody and the participation and we
2 want to thank you very much.

3 And, unless there's comments from a Board member or
4 a member of staff, we will call the meeting adjourned at the
5 present time.

6 (Whereupon, the meeting was adjourned.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2