

UNITED STATES

NUCLEAR WASTE TECHNICAL REVIEW BOARD

WORKSHOP ON LOCALIZED CORROSION OF ALLOY 22  
IN YUCCA MOUNTAIN ENVIRONMENTS

September 25, 2006

Las Vegas Marriott Suites  
325 Convention Center Drive  
Las Vegas, Nevada 89109

BOARD PARTICIPANTS

Dr. Thure Cerling  
 Dr. David Duquette  
 Dr. B. John Garrick, Chair, NWTRB  
 Dr. Ronald Latanision, Chair, Panel on the Engineered System

BOARD ATTENDEES

Dr. William Howard Arnold  
 Dr. George Hornberger  
 Dr. Andrew Kadak

WORKSHOP PARTICIPANTS

Tae Ahn, NRC  
 Randy Arthur, Monitor Scientific  
 Neil Brown, Bechtel SAIC Company  
 Charles Bryan, Sandia National Laboratories  
 Thure Cerling, University of Utah  
 David Duquette, Rensselaer Polytechnic Institute  
 John Garrick, NWTRB  
 Xihua He, CNWRA  
 Russ Jones, GT Engineering  
 Ron Latanision, Massachusetts Institute of Technology  
 Rob Kelly, University of Virginia  
 Fraser King, Integrity Consulting, Ltd.  
 Maury Morgenstein, GMII  
 Roberto Pabalan, CNWRA  
 Yi-Ming Pan, CNWRA  
 Joe Payer, Case Western Reserve University  
 Osvaldo Pensado, CNWRA  
 Raul Rebak, LLNL  
 Paige Russell, OCRWM  
 Don Shettel, GMII  
 John Walton, University of Texas El Paso  
 Lietai Yang, CNWRA

SENIOR PROFESSIONAL STAFF

Dr. Carlos A.W. Di Bella  
Dr. David Diodato  
Dr. Daniel Fehringer  
Dr. Dan Metlay  
Dr. John Pye

NWTRB STAFF

Dr. William D. Barnard, Executive Director  
Joyce Dory, Director of Administration  
Karyn Severson, Director External Affairs  
Linda Coultry, Program Support Specialist  
Davonya Barnes, Staff Assistant

I N D E XPAGE NO.

<b>Call to Order/Welcome</b>	
<b>Background/Scope of Workshop</b>	
<b>Introduction of Workshop Participants</b>	
B. John Garrick, Chairman, U.S. Nuclear Waste Technical Review Board. . . . .	5
Ron Latanision, Member, NWTRB and Chair of the NWTRB's Panel on the Engineered System . . . . .	9
 <b>Session on Environments on Waste Package Surfaces</b>	
 <b>Evolution of Environments in a Repository in Yucca Mountain</b>	
Charles Bryan, Sandia National Laboratories. . . . .	20
 <b>Chemistry of Water Contacting Engineered Barriers</b>	
Roberto Pabalan, Center for Nuclear Waste Regulatory Analyses, Southwest Research Institute. . . . .	51
 <b>Effect of Cyclic, Sporadic, or Episodic Processes on Evolution of Environments in a Repository in Yucca Mountain</b>	
John Walton, University of Texas at El Paso. . . . .	71
 <b>EPRI-sponsored Studies on Evolution of Environments in a Repository at Yucca Mountain</b>	
Randy Arthur, Monitor Scientific, LLC . . . . .	101
 <b>Update of State of Nevada Research on Corrosion of Alloy 22</b>	
Maury Morgenstein, GMII . . . . .	122
 <b>Recess Until 8:00 a.m. September 27, 2006. . . . .</b>	 149

P R O C E E D I N G S

1

2

1:00 p.m.

3 GARRICK: Good afternoon. My name is John Garrick, and  
4 I'm chairman of the Nuclear Waste Technical Review Board.  
5 This meeting is a little different from most of our meetings  
6 that at least I have presided over. It's a panel meeting,  
7 not a meeting of the full Board, and it's a workshop. Panel  
8 meetings are more narrowly focused than meetings of the full  
9 Board, and are, fortunately, less formal. Workshops are even  
10 less formal, in that there is more discussion and give and  
11 take among the participants. This is a workshop on localized  
12 corrosion, so, Ron Latanision and David Duquette are the  
13 Board members that are presiding, and they are the experts on  
14 corrosion.

15 I know most of you are familiar with the Board and  
16 how it works, so I'll be brief on those kinds of details.  
17 The Board, as you know, was created as a part of the Nuclear  
18 Waste Policy Amendments Act of 1987. We are eleven  
19 scientists and engineers appointed by the President from  
20 nominations--at least two per position--nominations made by  
21 the National Academies. Board members are part-timers, but  
22 fortunately, we do have a small, capable, and hard-working  
23 full-time staff to assist us and keep us honest. According  
24 to the Act, our job is very simple, very straightforward.  
25 It's to evaluate the technical and scientific validity of

1 DOE's actions regarding high-level waste and spent fuel  
2 management.

3           The issue for this day and a half workshop is  
4 localized corrosion of Alloy 22. The outer layer of the  
5 waste package is three-quarters inch thick Alloy 22. Once  
6 that layer is gone, DOE assumes--rather conservatively, I  
7 might add--that there are no more waste package barriers  
8 preventing water from contacting the spent fuel or solidified  
9 high-level waste. In a scoping-level peak-dose analysis DOE  
10 showed us earlier this year, waste package lifetimes, which  
11 were dependent only on general corrosion of Alloy 22 in that  
12 analysis, averaged well over half a million years, and the  
13 peak dose was found to depend strongly on the timing and rate  
14 of waste package failure. This result is not surprising.  
15 From a risk perspective, there is little doubt that the waste  
16 package is an important barrier whose performance greatly  
17 impacts the radionuclide source term and the magnitude and  
18 timing of the peak dose. In fact, waste package performance  
19 sets the stage for the response of the natural system,  
20 something I'll comment more on in just a moment.

21           The Board has had less than an hour in previous  
22 meetings to publicly explore localized corrosion of Alloy 22  
23 at high temperatures and the technical basis for DOE's  
24 apparent decision to screen out localized corrosion caused by  
25 dust deliquescence from its performance assessment. I know

1 the Board spent several hours in a meeting on a related topic  
2 before I became a Board member, but that meeting--in contrast  
3 to this workshop--was about deliquescent brines of much  
4 different composition and at significantly lower  
5 temperatures, and, very importantly, that meeting was before  
6 the court decision requiring a peak-dose performance  
7 assessment.

8           I am on the panel, but I think I will be reserving  
9 most of my questions and comments for tomorrow afternoon,  
10 when it appears we may be discussing, in part, the  
11 significance of screening in or screening out deliquescence-  
12 based localized corrosion. I am not an expert on corrosion.  
13 My interest is in the impact it has on the radiation dose.  
14 Would it decrease peak dose? Quite possibly. Would it  
15 increase peak dose? That's also possible, I suppose. Would  
16 any of these changes be significant? I don't know, but sure  
17 would like to.

18           Now, before I go any further, I need to make a  
19 blanket caveat about the workshop. Board meetings, including  
20 panel meetings and workshops, are open and spontaneous by  
21 design. Anything you hear from a Board member, including me,  
22 should not necessarily be construed as a Board position, or  
23 even the position of a Board minority greater than one. The  
24 Board comes to its positions deliberately and iteratively,  
25 and generally puts them in writing and posts them on our

1 website.

2           The natural system provides an environment and a  
3 "home" for the waste packages. Even though it may take a  
4 very, very long time, eventually and inevitably the waste  
5 package will fail, and the capabilities of the natural system  
6 as a barrier will come into play. DOE chose to deemphasize  
7 the capabilities of the natural barrier back in the days of  
8 the 10,000-year dose standard. And, I think that that  
9 decision has come back to haunt them now that we are in a  
10 peak dose standard space. By deemphasis, I mean that they  
11 deliberately chose to model the behavior of the natural  
12 system very, very conservatively believing that doing so  
13 would make little difference for the 10,000-year case.

14           A key to the performance of the natural system is  
15 the source term--the complex mixture of solutes and colloids  
16 that the engineered barrier system delivers to the natural  
17 system. The source term is the product of interactions  
18 between waste forms, corrosion products, and rock and other  
19 materials in the engineered barrier system. It is an area  
20 where DOE has placed a lot of effort, but one that still is  
21 being modeled too conservatively and incorrectly, in my  
22 opinion. And, while this workshop is not explicitly  
23 addressing the source term, I am hopeful that it will make  
24 the linkage between localized corrosion and the source term  
25 more transparent.

1           So, having made my pitch once again for a more  
2 realistic source term for this project, I will now turn the  
3 meeting over to the experts, and in particular, to Ron  
4 Latanision. Thank you.

5           LATANISION: Good afternoon, everybody. Thanks for  
6 being here. I am Chair of the Board's Panel on the  
7 Engineered System, and together, Dave Duquette and I will  
8 moderate this workshop, as John has mentioned. What I'd like  
9 to do at this point is just give you some background that  
10 will hopefully orient the conversations we're going to have  
11 over the next day and a half, and give you a little bit of an  
12 introduction to each of the participants who are seated at  
13 the table.

14           At the Board meeting in Washington in May of 2004,  
15 we had a session which we gave the title "Corrosion During  
16 the Thermal Pulse." Many of you were there, and some of you  
17 actually gave presentations. The issue was pretty clear.  
18 DOE, as well as others, had much data showing crevice  
19 corrosion of Alloy 22 at elevated temperatures in brines  
20 containing high concentrations of calcium chloride. At the  
21 upper range of these data, in the range of 140 to 150 degrees  
22 centigrade and higher, nitrate, if present in the calcium  
23 chloride brine, seemed to lose most, if not all, of its  
24 capacity for mitigating localized corrosion.

25           After the meeting and based primarily on

1 information presented at the meeting, the Board wrote to Dr.  
2 Chu, to Margaret Chu, then Director of OCRWM, that dusts that  
3 would accumulate on the waste package surfaces appeared  
4 unlikely to contain significant amounts of calcium chloride  
5 and, thus, the localized corrosion during these high-  
6 temperature periods of the thermal pulse seemed unlikely. We  
7 also expressed our surprise and dismay about the testing in  
8 calcium chloride, which at that point seemed to be an  
9 irrelevant environment.

10           The letter we wrote to Dr. Chu was on our website.  
11 We thought then that the issue of deliquescence-based  
12 corrosion of Alloy 22 had been put to rest. But, later that  
13 summer, we began to hear from DOE that certain salt mixtures  
14 had been determined to deliquesce at even higher temperatures  
15 than calcium chloride, and that these salts were virtually  
16 certain to exist in the dusts depositing on waste package  
17 surfaces. As part of the presentations at the May 2004  
18 meeting, Tae Ahn and Bobby Pabalan, both of whom are here  
19 today, alerted us to the possibility that mixtures of salts  
20 containing sodium, potassium, chlorine and nitrate could  
21 deliquesce at very high temperatures. And, in a letter  
22 responding to our letter to Dr. Chu, confirmed that DOE had  
23 data in hand indicating that certain saturated brines  
24 containing these elements, sodium, potassium, chlorine, and  
25 the nitrate ion, could boil at maximum temperatures around

1 200 degrees centigrade. The letter also implied that  
2 experiments were underway or planned in order to obtain data  
3 at these higher temperatures in those brines.

4           Then, at our meeting last November here in Las  
5 Vegas, we heard about some of the corrosion data that had  
6 been generated in the interim from Gabriel Ilbevere, and we  
7 also heard that Alloy 22 specimens clamped between crevice  
8 formers showed crevice corrosion, but that the data were  
9 still being interpreted. A report on that data now exists,  
10 and is on the Lawrence Livermore website. I suspect we'll be  
11 hearing more about that from Raul Rebak tomorrow.

12           At the November meeting, we also heard DOE's  
13 technical basis for screening localized corrosion of Alloy 22  
14 due to dust deliquescence out of the performance assessment.  
15 Frankly, we did not find that argument very compelling. It  
16 doesn't mean it's wrong. We just simply didn't agree with  
17 it, largely because of the absence of an experimental basis  
18 on which to provide support for that analytical proposal.

19           It was at that November meeting at which we decided  
20 that a workshop was needed to fully understand this new data,  
21 the interpretations of the data, and the basis for screening  
22 out localized corrosion at high temperatures. We had hoped  
23 to hold this meeting in February of this year, or March,  
24 perhaps, but that was too early for all the parties which  
25 were interested. We then targeted May and found that wasn't

1 convenient, and, so, we're here today. At least it's in the  
2 same year. That's a good sign.

3           The objective of this workshop is to thoroughly air  
4 and discuss data, analyses, studies, and models of localized  
5 corrosion of Alloy 22 in aqueous environments that could  
6 exist in a repository at Yucca Mountain. This is a bit  
7 broader than the initial impetus for the meeting, but that is  
8 because it's not easy to draw the line between what is meant  
9 by high temperature and low temperatures, and because aqueous  
10 environments on waste packages can be influenced not only by  
11 dust deliquescence, but by seepage, dripping condensation,  
12 and cyclic or episodic events. From my own personal point of  
13 view, I want to know whether or not the "not compelling"  
14 label still applies. I want to know, in fact, whether there  
15 is a technical basis, and an experimental foundation on which  
16 to screen out localized corrosion from the assessment.

17           Now, the background. Let me introduce the  
18 panelists who are present today. They are listed in your  
19 agenda in alphabetical order, and, of course, I'm assuming  
20 we've aligned you in alphabetical order around the table.  
21 But, that's not true. I'm going to start with the Board, and  
22 as I call each name, if you would just raise your hand so  
23 people will know who you are?

24           I'm Ron Latanision. I'll raise my hand. I'm  
25 Professor Emeritus, recently Professor Emeritus, of Materials

1 Science and Engineering and of Nuclear Engineering at MIT,  
2 and I now practice as a Director of the Mechanics and  
3 Materials activity with the engineering consulting firm  
4 Exponent. I'm a metallurgist and a corrosion engineer, and  
5 I've had interest in the performance of materials and nuclear  
6 systems for a very long period of time.

7           John Garrick is our distinguished Chairman. He is  
8 a consultant, primarily in the application of risk sciences  
9 to a variety of industries, such as transportation, space,  
10 nuclear, chemical, and so on. His background and areas of  
11 interest are risk assessment and nuclear science and  
12 engineering. He holds degrees in physics, nuclear  
13 engineering and applied math and physics.

14           Dave Duquette is another of the Board members. He  
15 and I will share the duties of presiding over this workshop.  
16 Dave is Department Head and not quite ready for Emeritus  
17 status, Professor of Materials Engineering at RPI. Don't  
18 worry, I always do this. His areas of expertise include  
19 physical, chemical, and mechanical properties of metals and  
20 alloys, with special emphasis on environmental interactions.  
21 His current research includes studies of cyclic deformation  
22 behavior as affected by environmental conditions, stress-  
23 corrosion cracking. He has degrees in materials science and  
24 engineering.

25           Thure Cerling is a Distinguished Professor of

1 Geology and Geophysics as well as Biology at the University  
2 of Utah. He is a geochemist, with particular expertise in  
3 applying geochemistry to a wide range of geological,  
4 climatological and anthropological studies. His degrees are  
5 in chemistry and geology.

6           Also, on the panel at the invitation of the Board  
7 is Russ Jones. Russ is a materials scientist who recently  
8 retired from Pacific Northwest Labs after a long and  
9 distinguished career there. He is a senior materials  
10 scientist with GT Engineering. His degrees are in materials  
11 science and engineering.

12           There are also two Board members in the audience,  
13 and I expect there will be some others tomorrow. Howard  
14 Arnold is a consultant to the nuclear industry, having  
15 previously served in a number of senior management positions,  
16 including Vice-President of the Westinghouse Hanford Company,  
17 and President of Louisiana Energy Services. His degrees are  
18 in chemistry and physics.

19           George Hornberger is the Ernest H. Ern Professor of  
20 Environmental Sciences and Associate Dean for Sciences at the  
21 University of Virginia, also a Board member who is present  
22 today. His research interests include catchment hydrology,  
23 hydrochemistry, and transportation of colloids in geological  
24 media. He chairs the Board's Panel on the Natural System,  
25 holds degrees in civil engineering and hydrology.

1           Also in the audience are several members of the  
2 Board's staff: Bill Barnard right in front, Carl Di Bella,  
3 Dave Diodato, Dan Metlay, John Pye, Karyn Severson, Davonya  
4 Barnes, and Linda Coultry. If anyone wants to get a written  
5 comment or question to anyone on the panel, including whoever  
6 may be presiding, please give it to Davonya or to Linda.  
7 They will see that it is delivered to us.

8           Also, there is a special period for public comments  
9 at the end of the meeting tomorrow. If you want to speak  
10 during this period, please, again, register with Davonya or  
11 Linda.

12           Now, let me introduce the panelists. And, once  
13 again, if you would raise your hand? I'll start with those  
14 affiliated with DOE, that is, employees or contractors, or  
15 subcontractors. Paige Russell has a degree in Mechanical  
16 Engineering. Let's see, where is Paige. Oh, I'm sorry,  
17 there you are. She is general engineer in OCRWM here in Las  
18 Vegas.

19           Neil Brown. Neil has degrees in Mechanical  
20 Engineering. He is Manager in Engineered Systems, also in  
21 Las Vegas, for Bechtel SAIC.

22           Charles Bryan, Geochemist, Sandia National Labs,  
23 which will be taking over as lead lab next week. Charles has  
24 degrees in Geology and Geochemistry.

25           Raul Rebak is a senior scientist with Lawrence

1 Livermore National Lab, degrees in Materials Science and  
2 Engineering, and a corrosion engineer.

3           Joe Payer is not even close to being ready for  
4 Emeritus status, Professor at Case Western Reserve University  
5 in Cleveland. He also has the title of Director of DOE's  
6 Corrosion and Materials Performance Cooperative, and he is in  
7 charge of the Materials Performance Thrust in DOE's Science  
8 and Technology Program. He is a metallurgical engineer from  
9 Ohio State, as am I.

10           He and Rob Kelly, a Professor of Materials Science  
11 and Engineering at the University of Virginia, and Co-  
12 Director of the Center for Electrochemical Studies, will  
13 share a presentation as part of the agenda. Rob's degrees  
14 are in Materials Science and Engineering from Johns Hopkins.

15           From the Nuclear Regulatory Commission and its  
16 contractors, the Center for Nuclear Waste Regulatory Analyses  
17 at the Southwest Research Institute in San Antonio, Tae Ahn  
18 is a senior materials engineer in the Division of High-Level  
19 Waste Repository Safety. He has degrees in Metallurgy and  
20 Materials Science.

21           Xihua He is a Research Scientist in the Corrosion  
22 Science and Process Engineering Department of the Center.  
23 She has degrees in Electrochemistry and Corrosion Science.

24           Roberto Pabalan is the Institute Scientist at the  
25 Center, with degrees in Geochemistry and Mineralogy.

1            Yi-Ming Pan is a Principal Engineer at the Center,  
2 with degrees in Materials Science.

3            Osvaldo Pensado is a Senior Research Scientist at  
4 the Center, with degrees in Engineering Science.

5            Lietai Yang is a Senior Research Engineer at the  
6 Center, with degrees in Metallurgy and Chemical Engineering.

7            We have also two contractors from the State of  
8 Nevada. Maury Morgenstein and Don Shettel. Maury is  
9 president of Geosciences Management Institute and has degrees  
10 in Oceanography and Mineralogy. Don Shettel has degrees in  
11 Geochemistry.

12           From the Electric Power Research Institute, two  
13 contractors, Randy Arthur and Fraser King. Randy is with the  
14 Monitor Scientific Organization, has degrees in Geochemistry  
15 and Mineralogy. Fraser is with Integrity Consulting of  
16 Calgary, and has degrees in Materials Science.

17           Nye County in Nevada is represented by John Walton,  
18 who is Professor of Civil Engineering and Program Director of  
19 Environmental Science and Engineering at the University of  
20 Texas at El Paso, degrees in Chemical Engineering.

21           That identifies the people who are seated at the  
22 table. We put together four open-ended questions at the end  
23 of the agenda, which you all have. These are intended to  
24 help guide us during the workshop, and we'll be looking at  
25 them from time to time during our proceedings to see if we're

1 addressing them.

2           Let me just take a minute to read them. First of  
3 all, and this is all in the context of the charge really to  
4 explore the issue of whether or not a technical and analytic  
5 basis for screening out localized corrosion can be supported.  
6 The first question is are data, understanding, and models  
7 sufficient to bound potential environments on waste packages  
8 in a repository at Yucca Mountain with reasonable confidence  
9 from a corrosion standpoint? If so, what do they show? If  
10 not, what needs to be done?

11           The second question. Are data, understanding, and  
12 models sufficient to assess with confidence whether localized  
13 corrosion of Alloy 22 outer surfaces of waste packages in a  
14 repository at Yucca Mountain is likely to occur? If  
15 sufficient, how likely is corrosion? If not sufficient, what  
16 needs to be done?

17           Third question. If localized corrosion of the  
18 outer surfaces of the waste package occurs, will it be deep  
19 and/or widespread? And, what is the basis for whatever  
20 response emerges?

21           Finally, what are the consequences of localized  
22 corrosion?

23           Now, Dave and I will take turns moderating the  
24 workshop. Our main job is to try to keep us on schedule, and  
25 at the same time, to allow a lot of time, as much time as

1 possible, in fact, for questions and comments among the  
2 participants.

3           This is a workshop, and the agenda is designed to  
4 allow ample time for questions and comments and discussion.  
5 When making comments or questions, don't feel that you have  
6 to limit yourself to the presentation just made, but include  
7 questions and comments about any of the presentations,  
8 particularly, if you can integrate from one presentation to  
9 the next, questions that are of importance from your  
10 perspective.

11           Questions and comments from the audience, and by  
12 that, I mean the people not seated around the table, are  
13 certainly in order and welcomed at anytime during the periods  
14 for questions and discussion after each presentation. We  
15 will give priority to the people seated at the table, but  
16 everyone should feel comfortable asking questions and giving  
17 responses. The workshop will be recorded for transcription.  
18 There are microphones at the table, and microphones in the  
19 audience. So, we would ask you to identify yourself and to  
20 use a microphone each time you want to address a question or  
21 an issue.

22           So, with all that, let's now get started. The  
23 first speaker is Charles Bryan of Sandia. He will speak  
24 first, he spoke last November, and, Charles, it's good to see  
25 you again. Welcome.

1           BRYAN: Let me bring up the slides.

2           I'm going to talk about the environment on the  
3 surface of the waste package, and how it evolves through the  
4 history of the repository.

5           First slide. I'm going to talk about evolution of  
6 the environments on the surface of the waste package. We'll  
7 start out talking about the temperatures and humidity  
8 conditions, and how they evolve on the waste package surface,  
9 compare conditions for seepage and deliquescence, and then  
10 discuss the deliquescence environment, including the source  
11 and composition of the salts that will be present, how much  
12 salts accumulate, and how much brine will be generated, and  
13 then processes affecting the brine on the waste package  
14 surface.

15           Next slide. For the seepage environment, we'll  
16 talk about the water chemistry and how we estimate its  
17 composition and how it evolves over time, and finally, how  
18 it's represented in Total System Performance Assessment.  
19 And, finally, we will summarize the environments.

20           Next slide. These are the conditions on the waste  
21 package surface. Following emplacement, temperatures on the  
22 waste package will be fairly high. Once ventilation is  
23 implemented, the waste package temperatures drop to around  
24 ambient quite quickly. The RH goes up somewhat. Following  
25 closure at 50 years, the RH increases, and then over about 20

1 years, the waste packages heat to the maximum temperature.  
2 The hottest waste packages can reach over 200 degrees  
3 centigrade. Medium and cold waste packages can be as low as  
4 110, 120 degrees centigrade initially. And, then, they cool  
5 over thousands of years back to ambient conditions.

6           Conditions for deliquescence. To the best of our  
7 understanding, currently deliquescence can occur at just  
8 about any temperature, all the way up to 200 degrees  
9 centigrade, and I'll discuss that in a minute. However,  
10 seepage can only occur once the drift wall gets below 100  
11 degrees centigrade. The maximum temperature of the waste  
12 package surface at that time is about 105.

13           Next slide. Here are the two types of  
14 environments. Deliquescence forms because salts will be  
15 deposited on the waste package surface during the ventilation  
16 period. We think these salts will be approximately  
17 atmospheric, the composition of atmospheric salts. Following  
18 closure, there will be a drip shield on top of the waste  
19 packages. The drip shield is not displaced readily, and we  
20 do not expect there to be much accumulation of rock dust  
21 following closure, because the waste packages will be  
22 protected by the drip shields.

23           Multi-salt assemblages control deliquescence at  
24 higher temperatures. We think these are the assemblages that  
25 are characteristic of the atmospheric salts. The brine

1 compositions, of course, will become more dilute as the  
2 relative humidity goes up and the temperature drops. Very  
3 small amounts of brine will be present on the waste package  
4 surface, and the brine will be suspended largely within the  
5 dust in an unsaturated state. So, there will be ready gas  
6 exchange with the environment.

7           Chemistry will be moderated on the waste package  
8 surface by interactions with rock-forming minerals and also  
9 will be modified by degassing and other effects.

10           With respect to seepage, it can only occur after  
11 the drift walls get below 100 degrees centigrade. That's  
12 conservative. The actual boiling point is 96 degrees  
13 centigrade, 94 degrees centigrade. The waste package outer  
14 barrier is generally protected by the drip shields in the  
15 nominal case. The drip shield last hundreds of thousands of  
16 years, after which the temperatures are so low that localized  
17 corrosion will not occur on Alloy 22.

18           The residence time, the degree of equilibration  
19 with temperature, the relative humidity at the waste package  
20 surface will control the chemistry of the fluids. The  
21 chemical conditions are generally most corrosive during the  
22 early cooldown, during the hot phase. And, finally, chemical  
23 fractionation may occur during transport. We include salt  
24 separation on the waste package surface in our model.

25           Next slide. Our current understanding of the dust

1 environment is based upon two different sources of dust  
2 compositions. The first one analyzed Yucca Mountain tunnel  
3 dusts. These dusts were mostly rock forming minerals, with a  
4 small amount of salts. Zell Peterman of the USGS did these  
5 analyses. The most important deliquescent mineral  
6 assemblages in them are the ones shown here. Sodium,  
7 chloride, potassium nitrate, the same assemblage with sodium  
8 nitrate and, finally, four salt assemblage with calcium  
9 nitrate.

10           The atmospheric dust. Our current models are based  
11 upon this data. I'll present on the next slide some more  
12 current data, some new data. It's based on site specific  
13 data which suggests that there's about 10 percent soluble  
14 salts in the dust, and the compositions are based upon  
15 National Airfall Deposition Program regional data from the  
16 Red Rock area.

17           Here are the compositions of those salts. The  
18 important things are that the nitrate to chloride ratio is  
19 quite high, a factor of on the order of six to ten.

20           Next slide. The last time I presented this, there  
21 was some discussion of the use of site-specific data. We  
22 didn't have any at the time, and now we do. We've set up a  
23 cyclonic collector on the south pad. It's been operating for  
24 a year or so, and we've collected several samples. The  
25 collector cuts off during rainstorms and it collects both

1 relatively coarse particles and finer particles.

2           The analyses that we have to date, we have analyzed  
3 five samples. Of those five samples, you can see that they  
4 do confirm our assumptions about the nitrate to chloride  
5 ratio. Nitrate and chloride ratios vary from about four to  
6 seven. However, there are a few differences from what we  
7 predicted. The ammonium concentrations are much lower than  
8 expected. We thought that would be one of the major cations  
9 in the dust, and apparently it isn't. And, also, the TDS are  
10 lower than expected. We had predicted about 10 percent. As  
11 you can see, it's as low as less than 1 percent, up to about  
12 7 percent. It's possible we're losing some of the finest  
13 fraction, and we're exploring that.

14           Next slide. Conditions of deliquescence. Under  
15 what conditions can the minerals in the salt actually  
16 deliquesce and an aqueous phase form on the waste package  
17 surface? We've done a fair amount of experimental work on  
18 this, mostly at Lawrence Livermore, in fact, entirely at  
19 Lawrence Livermore. We have determined ammonium salts will  
20 thermally decompose. They are highly deliquescent, but they  
21 don't persist. Once they are heated up, they sublime away  
22 very rapidly. So, they won't contribute to deliquescent  
23 mineral assemblages on the waste package surface.

24           The three assemblages at interest are here. The  
25 two salt assemblage deliquescence is at fairly high

1 temperatures, 134 degrees centigrade. The three salt  
2 assemblage with sodium nitrate doesn't ever dry out. It  
3 transitions from a brine to a hydrous melt at about 220  
4 degrees C., and dries out at about 300 degrees centigrade.  
5 So, under the conditions expected in the repository, it would  
6 always be present as a brine.

7           The four salt assemblage has a boiling point of  
8 greater than 400 degrees centigrade. It would always again  
9 be present as a brine on the waste package surface. Again,  
10 the maximum waste package surface temperature is only, in our  
11 current model, is about 203 degrees centigrade.

12           Next slide. Once a brine forms in, our conclusion  
13 then is that there will be deliquescent brines on the waste  
14 package surface at just about any conditions, even the  
15 highest temperatures that will occur within the repository.  
16 Once these brines occur, will they persist on the waste  
17 package surface? Well, there are a variety of processes that  
18 will affect them. Acid-degassing will occur. Calcium  
19 chloride brines, we have experimental evidence that shows  
20 that these degas very readily, and they dry out. They form  
21 calcium oxide and chloride solids.

22           The multiple salt assemblages that we're interested  
23 in deliquesce at high temperatures. We've modelled these  
24 thermodynamically, but our model can't go to 200 degrees  
25 centigrade. It's only applicable to temperatures up to about

1 140 degrees centigrade. At those temperatures, we don't  
2 think the brines will degas sufficiently to dry out. This is  
3 a conservative assumption. We can't apply it to higher  
4 temperatures. But, we do know that the pH will go up. As  
5 degassing occurs, the pH goes up, and this has actually been  
6 observed experimentally at Oak Ridge.

7           The nitrate and chloride ratio also, the minimum  
8 nitrate to chloride ratio that can form by deliquescence  
9 increases as the temperature goes up. I think Raul will  
10 discuss this a little bit tomorrow. But, the minimum nitrate  
11 to chloride ratios get very high at temperatures above 150,  
12 as high as, oh, 60 or 80, or so. So, the brines that form  
13 will be very nitrate rich at high temperatures.

14           Reactions with silicate minerals in the dust can  
15 affect them. There will be some pH buffering that will  
16 occur. Calcium and magnesium will be removed from the brines  
17 if they're present in any significant amount as silicate  
18 phases. In general, these reactions can cause the RH to go  
19 up, and the brines might dry out if the reactions go to  
20 sufficient completion.

21           It's possible that chloride or other phases of the  
22 brine could be consumed by the formation of minerals. Some  
23 of these have been observed in the report on the autoclave  
24 experiments at Lawrence Livermore, for instance. They  
25 observed a phase they think was sodalite. So, it's possible

1 then that silicate phases that consume chloride from the  
2 brines can form. And, again, with decreasing temperature and  
3 increasing relative humidity, the brines will become more and  
4 more dilute.

5           Next slide. The amount of brine that forms on the  
6 waste package surface has been estimated by the amount of  
7 dust that could be deposited. We know what the atmospheric  
8 dust concentrations are at the site, 22 micrograms per meter  
9 cubed of air. We know what the ventilation rate in the drift  
10 is. And, we can assume certain particle sizes and calculate  
11 the amount of deposition that could occur on the waste  
12 package surface using a dry particle deposition model.

13           Once we have the amount of dust present, we can  
14 calculate how much salt is present in it, because we have a  
15 site specific salt content, and, again, we're using our  
16 original value, not the data based upon the more recent  
17 cyclonic collector data. We haven't incorporated that in our  
18 models yet.

19           We assume the ammonium minerals volatilize. Again,  
20 our more current data suggested ammonium isn't as important  
21 as we thought it might be at the site. And, we do  
22 thermodynamic modeling to model how much brine would actually  
23 be present.

24           Next slide. These graphs just show deposition  
25 along the drift, and you can see that the highest deposition

1 rates occur at the beginning of the drift, onto the first  
2 waste package. We chose the most conservative values for the  
3 size of the dust particles that were present, based upon our  
4 very limited amount of size information. And, we  
5 conservatively assumed then that the first waste package in  
6 the drift was the one of interest.

7           The upper bound then for the amount of dust  
8 deposited was only 26 milligrams per centimeter squared,  
9 fairly small amount. Of course, that's only 10 percent salt,  
10 so we're talking about 2.6 milligrams, approximately, of  
11 salts. This would be a very thin layer. I think it's 26  
12 microns. Yes, if rock dust is deposited on the waste package  
13 surface, the rock dust, as analyzed by Zell Peterman,  
14 contains very small amounts of salts, less than 1 percent.  
15 So, any dilution by rock dust would increase the amount of  
16 dust present, but would not significantly add to the amount  
17 of salts present.

18           Using these values, we use our thermodynamic  
19 modeling to calculate the amount of brine present. At 120  
20 degrees C, the maximum amount of brine present was about 1.8  
21 microliters per centimeter squared. That assumes, again,  
22 that all of the salts within the dust are actually in  
23 contact. These salts will not deliquesce individually. They  
24 have to be a mixture. If there's a physical separation of  
25 the salt particles within the dust, then deliquescence would

1 not occur. And, that corresponds to about 11 percent  
2 saturation within the dust. At 200 degrees centigrade,  
3 there's about an order of magnitude less brine present.

4           Next slide. So, we're dealing with extremely small  
5 amounts of brine that are present in a thin dust layer, and  
6 largely suspended in the dust. We looked at the dust, the  
7 physical characteristics of the dust, and determined that the  
8 capillary response is about 1 micron, which means that most  
9 of the brine will be retained within the dust, and very  
10 little of it will actually be contacting the waste package  
11 surface.

12           Because it's retained within the dust, it will be  
13 unsaturated. There's, as we said, about 10 percent  
14 saturation. There will be ready gas exchange between the  
15 atmosphere within the drift and the brine within the dust.

16           Also, because it's suspended within the dust, and  
17 because contact with the waste package will be very limited,  
18 we believe that scale limitations will limit the amount of  
19 compositional variation you can get within a single droplet  
20 of brine contacting the waste package surface. In other  
21 words, there will be hardly compositional gradients within a  
22 droplet of brine, only a few microns across.

23           Next slide. The seepage chemical environment is  
24 determined by the physical and chemical environment model,  
25 which basically dries out predicted seepage water

1 compositions from the THC seepage model, the thermohydrologic  
2 chemical model, which calculates water/rock interactions  
3 around the drift, brings them in equilibrium, thermodynamic  
4 equilibrium on the waste package surface, okay, applying our  
5 Pitzer model for evaporative evolution of the brines, which  
6 we call the in-drift precipitative salts model.

7           What's provided to TSPA from the physical and  
8 chemical environment model is the parameters which are  
9 important for the localized corrosion model, the pH, ionic  
10 strength, chloride concentration, and the nitrate to chloride  
11 ratio. These are provided in look-up tables as a function of  
12 temperature, PCO2 and RH.

13           Next slide. The THC seepage model develops initial  
14 boundary conditions for the pore water reactions on the basis  
15 of available pore water analyses. We recently completed a  
16 re-evaluation of over 100 different pore waters that were  
17 collected from the repository unit. And, approximately 100  
18 different pore waters, we analyzed. During this analysis, we  
19 realized that a large proportion of these, 60 to 70 percent  
20 of these, had actually been affected by microbial activity in  
21 the cores after collection. The effects of this, basically,  
22 the samples, the core samples were wrapped in plastic, placed  
23 inside sealed core tubes with packing on each end, and then  
24 the core tubes were wrapped in plastic.

25           Within the core tubes, conditions were anoxic, de-

1 nitrification occurred, sulfate reduction occurred, organic  
2 acids build up, and approximately 60 to 70 percent of the  
3 pore water compositions were compromised. After throwing  
4 those out, we found out that nitrate chloride issues in the  
5 pore waters were actually much higher than we had originally  
6 estimated. Many of the values, over half of them, in fact,  
7 were greater than .5.

8           Based on the chemistry and based upon statistics,  
9 we have divided those into two to three different clusters of  
10 water compositions, which will now be input as feeds into the  
11 new simulations for the THC model.

12           Our current model simply examines conditions of the  
13 repository center. The new model, which we are developing  
14 right now, will have simulations at both the repository  
15 center and the repository edge. It will identify potential  
16 seepage water compositions which can enter the drift, and it  
17 will be validated using the drift scale test results. The  
18 output of it will be the compositions, but also the CO<sub>2</sub>  
19 fugacity within the repository drifts.

20           Here is just a plot of the available water  
21 compositions. This plot includes the water that has since  
22 been screened out, which are basically all of the waters on  
23 this side of the plot, which are heavily super-saturated now  
24 with calcite because of microbial activity and the build-up  
25 of CO<sub>2</sub> within the core tubes. And, this is the kind of

1 output we get. This is the pH within the fractures above the  
2 drift over time, and from this, we have extracted data which  
3 is fed to the P&CE model.

4           Next slide. The physical and chemical environment  
5 model takes the waters from the P&CE model. It calculates  
6 the corrosion environment. It estimates the corrosion  
7 environment. It does this by assuming evaporative  
8 equilibrium with the RHs on the waste package surface at the  
9 temperatures on the waste package surface. It also  
10 incorporates salt separation. At any time if seepage  
11 contacts the waste package surface, and the relative humidity  
12 is below that of that of pure halite, of the deliquescence  
13 point of pure halite, it's assumed that halite will  
14 precipitate, the remaining brine will advect off of the waste  
15 package surface, and that pure halite will be left on the  
16 waste package surface. At some future point, this will  
17 deliquesce, and the waste package will corrode.

18           The way it's implemented in TSPA is if the relative  
19 humidity is such that halite is predicted to precipitate,  
20 localized corrosion is assumed to occur immediately.

21           In order to determine the composition on the waste  
22 package surface, the waters from the THC model were  
23 chemically binned and were grouped into similar chemical  
24 groups. And, then median water asserted for each group, and  
25 bin history amounts, which were ordered by mapping these bins

1 back to the original THC runs. And, that's what these are.  
2 There were eleven bins in our previous model. And, this is  
3 how the water is mapped back to different time steps within  
4 our THC output. The most corrosive waters are the Bin 2 and  
5 3 and 4 waters, and they occur only during the boiling  
6 period.

7           The outputs of the P&CE model are, again, nitrate  
8 to chloride, pH, ionic strength and the nitrate to chloride  
9 ratio, essentially. Uncertainty is propagated through the  
10 model based upon the uncertainty, the statistical uncertainty  
11 within the bins, and also the uncertainty from the IDPS  
12 model, the thermodynamic model for evaporative evolution of  
13 the waters.

14           Next slide. To summarize the seepage environment,  
15 seepage only occurs on the waste package composition,  
16 temperatures are below about 105. The RH varies. It can be  
17 as low as approximately 40 percent to as high as about 99  
18 percent when seepage occurs.

19           Salt separation is implemented whenever the RH is  
20 less than 77 percent. Again, the deliquescence point for  
21 pure sodium chloride. This is a little conservative. The  
22 actual predicted RHs at which halite precipitates is actually  
23 between 73 and 68 or so percent for our current water  
24 compositions.

25           Nitrate to chloride ratio is controlled by the

1 ambient water composition. In other words, the nitrate to  
2 chloride ratio, the THC model does not fractionate nitrate  
3 and chloride. So, whatever the initial compositions were  
4 that were fed into the THC model, that's what will come out  
5 on the other end. Okay? At least for input into the P&CE  
6 model, and then because we implement salt separation at 77  
7 percent RH, this value does not change in our model. Below  
8 77 percent RH, this value would change, but we implement salt  
9 separation and localized corrosion if we get below that  
10 value.

11 Calcium chloride brines are predicted during the  
12 peak thermal period. They can occur. The range of pHs that  
13 are possible is quite wide, 4.5 to 10.5, plus uncertainty,  
14 which is anywhere from 1 to 2 pH units. Generally, 1 pH unit  
15 or less, unless we have very concentrated brines. The pH  
16 increases as the repository cools, and after cool down, the  
17 pHs are generally much higher. They're on the order of 7  
18 plus.

19 The corrosive seepage chemistry occurs mainly early  
20 in the cool down, between say 2 and 600 years in our current  
21 model. And, again, these system are open with respect to  
22 gases, particularly with respect to acid gases. Within the  
23 drift, the acid gas concentration is based upon the water  
24 compositions within the rock, are very low.  $10^{-12}$ ,  $10^{-14}$ .

25 Next slide. Deliquescence environment. Brines can

1 only form in very small amounts at elevated temperatures, a  
2 few microliters at most, per centimeter squared of the waste  
3 package surface. The conditions are unsaturated. The brine  
4 is suspended within the dust, and it's an open system with  
5 respect to gases. In other words, acid degassing could  
6 readily occur. CO<sub>2</sub> diffusion and absorption by the brine  
7 could readily occur.

8           Capillary and adsorptive retention in the dust  
9 layer further decreases the amount of contact that can occur  
10 with the waste package surface.

11           The composition of the brines, as you can see, as  
12 we've discussed, there is basically sodium chloride,  
13 potassium nitrate brines, with some sodium nitrate and/or  
14 calcium nitrate present as well. They can deliquesce at very  
15 high temperatures. They are very nitrate rich, and at  
16 temperatures above 150 degrees C, especially the nitrate to  
17 chloride ratio can be as high as 60, or must be as high as  
18 50, 60, 80, so, very nitrate rich.

19           Acid degassing will occur. As it occurs, the pH  
20 increases, and as the pH increases, the amount of acid  
21 degassing that occurs decreases. It is unlikely to result in  
22 dryout based upon our current models, which are only  
23 applicable at 240 degrees centigrade.

24           The background acid-gas pressures are very low,  
25 again, within the drift. So, we don't believe that the

1 absorption of acid gasses is going to have any significant  
2 effect on the composition of the brines formed by  
3 deliquescence.

4           And, finally, again, the nitrate to chloride  
5 minimum ratio is controlled by the temperature. The higher  
6 the temperature, the higher the nitrate to chloride ratios.

7           Reaction with silicates. If it's sufficient, it  
8 will buffer the pH and it will remove the divalent cations.

9           LATANISION: Let's take some questions. The first  
10 question.

11          CERLING: Cerling, Board.

12                 I'm just trying to understand Slides 6 and 7, and  
13 I'm just wondering if you can explain to me the units on six  
14 compared to seven.

15          BRYAN: Okay.

16          CERLING: They're vastly different.

17          BRYAN: Right, yes. In six, the units are milligrams  
18 per liter. That's rain out. So, it's the composition within  
19 the rain.

20          CERLING: Yes. And, seven?

21          BRYAN: Right. And, in seven, okay, actually I'm fairly  
22 certain that's incorrect. The units should be milligrams per  
23 gram of the total solids present.

24          CERLING: And, that's of the salts then? So, the salts  
25 have then been separated?

1           BRYAN: No, that's milligrams per gram of dust  
2 collected.

3           CERLING: Milligrams per gram of dust?

4           BRYAN: Yes.

5           HARDIN: This is Earnest Hardin. I'm with Sandia.

6                    The gentleman next to me, Zell Peterman, tells me  
7 the units are milligrams per kilogram.

8           BRYAN: I'm sorry, milligrams per kilogram. I'm sorry,  
9 yes, my mistake. Micrograms per gram, yes. So, parts per  
10 million.

11          HARDIN: Okay.

12          MORGENSTEIN: Morgenstein, State.

13                    I'm kind of worried about the THC seepage model,  
14 and how confident one can be relative to the chemistries.  
15 Could you speak to that a little bit more?

16          BRYAN: Relative to?

17          MORGENSTEIN: The actual chemistries, based on the fact  
18 that you see bacterial attack.

19          BRYAN: Right. Well, we spent all summer re-analyzing  
20 the water compositions. We're fairly confident, in fact,  
21 we're highly confident that most of the bacterial activity,  
22 perhaps all of it, or probably all of it, occurred after the  
23 cores reflected. The USGS did a good job of analyzing more  
24 samples. They showed that--well, let me describe what  
25 actually was--how the cores were collected and what we

1 noticed.

2           The cores were collected. They were wrapped in  
3 Saran wrap. They were placed within core holders with packer  
4 to eliminate the head space, and then those were wrapped in  
5 another layer of plastic. Now, what we observed in these  
6 samples is that in some of the samples, there were high  
7 levels of organic acid, specific propionic acid. Propionic  
8 acid only forms under reducing conditions. In fact, oxygen,  
9 molecular oxygen inhibits the formation of propionic acid,  
10 the reaction of the first enzyme in the formation of  
11 propionic acid.

12           So, we know that conditions were anoxic when this  
13 stuff formed. We think it formed within the cores. If you  
14 calculate the equilibrium PCO<sub>2</sub>s with the water samples,  
15 they're as high as 3 to 10 percent. Okay? This is, again,  
16 far higher than anything that's ever been measured in situ in  
17 the rock, the highest values of which were .3 to .4 percent.

18           We see that de-nitrification apparently occurred.  
19 The higher levels of organic acids, which correspond to poor  
20 charge balance in the analyses, correspond to much lower  
21 concentrations of nitrate, and also lower concentrations of  
22 sulfate. Apparently, sulfate reduction also occurred.

23           Bryan Marshall of the USGS has also noticed that  
24 there are some trace element trends, which are directly  
25 linked to these things. He also, upon interviewing the

1 people who were actually present when these cores were  
2 unwrapped for analysis, the cores were actually slimy to the  
3 touch. And Bryan has analyzed some additional cores and  
4 showed that only the cores that were wrapped in Saran wrap  
5 had high levels of organic acids. We're quite certain that  
6 conditions within some of the wrapped cores went anoxic, and  
7 that a lot of the compositional variation we see is due to  
8 this process.

9           As far as we can tell, essentially, most or all, of  
10 the microbial activity occurred within the cores. The most  
11 recent analyses that have been done, which were not wrapped,  
12 which were analyzed very quickly after collection, had much  
13 higher nitrate to chloride ratios, and had no evidence for  
14 organic acids, and are, in general, chemically quite distinct  
15 from the others.

16           Also, if you calculate the PCO<sub>2</sub>s in equilibrium  
17 with these waters, they are much closer to those that are  
18 expected at the repository level as opposed to being, you  
19 know, as high as 10 percent, which some of the others came  
20 out.

21           MORGENSTEIN: Two comments on that. One, might we take  
22 a look at that information relative to using the bacterial  
23 action there as an analog, or potential analog, for what  
24 might happen above the repository to vadose waters in a water  
25 system above the repository due to keting heating? We've

1 been looking for something like that to analog, and this  
2 seems like an interesting way to go about it.

3       BRYAN: One comment there would be the amounts of  
4 organic acids that were actually measured were quite high. I  
5 mean, as high as a half a gram per liter. There is no source  
6 for that in the natural environment. You know, as you know,  
7 organic acids, propionic acid, acetic acid, these things are  
8 only one step removed from sugars. They are very rapidly  
9 metabolized under oxidizing conditions. They don't persist  
10 in unsaturated zones.

11           As far as we can tell, the source for those was  
12 breakdown of the Saran wrap that the cores were wrapped in.  
13 Within the natural environment, there is no source, you know,  
14 underneath a thousand feet of unsaturated zone, for this  
15 organic material, for food for the microbes. In the ambient  
16 system, we don't see these large changes in the nitrate to  
17 chloride ratio, and we don't believe that this process would  
18 be important, because there's simply no organic material  
19 present even should the heating generate steam and drive away  
20 most of the oxygen from the environment around the drift.

21       MORGENSTEIN: Okay. Understood. Thank you.

22           The second part of that, how confident are you in  
23 the analyses you actually do use, to the extent that these  
24 are pristine?

25       BRYAN: Well, we, in selecting the values that we are

1 choosing to use, we've been conservative. We're trying to--  
2 we're probably not eliminating all effects of microbial  
3 activity. I would say that I think if we collect more  
4 analyses, we're not going to see any major changes in the  
5 range of values that we're using. This is based upon the  
6 results of our analyses. We actually ended up with a fairly,  
7 purely by chance, we ended up with--well, not exactly by  
8 chance--but, we ended up with a very consistent set of  
9 values, a very consistent trend when we applied our simple  
10 criteria for microbial activity.

11 I don't believe that will change much if we analyze  
12 more samples. What it might do would be to tighten down our  
13 criteria and allow us to eliminate some of the waters which  
14 were on the cusp of our selection criteria.

15 MORGENSTEIN: Thank you.

16 LATANISION: Dave Duquette?

17 DUQUETTE: Duquette, Board.

18 As you probably know, we've had questions before on  
19 whether or not bacterial action might deplete the nitrate, in  
20 this particular case, changing those ratios. Your data  
21 seemed to indicate that that happened very quickly in the  
22 Saran wrap situation. Of course, that will do two things,  
23 because Saran wrap is basically polyvinyl fluoride and  
24 polymeladine (phonetic) fluoride, so that could add to the  
25 fluoride loading, and change that ratio.

1           But, wouldn't you be concerned that if that  
2 happened that rapidly, with microbes that are present there,  
3 and there are nitrates which do act as food sources for  
4 bacteria, that over hundreds of years, that the nitrate to  
5 chloride ratios won't decrease considerably?

6           BRYAN: Well, two reasons why I don't think that's  
7 important. First, again, there's very little organic  
8 material in the natural system. Within the Saran wrap, the  
9 concentrations reached a half a gram per liter, but there's  
10 only 10 milliliters collected. So, you're talking about a  
11 few micrograms of organic material actually present. Within  
12 the natural system, you would have to have many, many  
13 kilograms of organic material within the molars. There's  
14 just no source for all that organic material.

15           Also, de-nitrification occurs much more rapidly  
16 under anoxic conditions. Even when there's steam build-up  
17 within the drift, even when it drives away and most of the  
18 atmospheric--in the drift and surrounding rock, conditions  
19 will not be anoxic. There will still be a significant amount  
20 of oxygen present. And, oxygen will inhibit microbial de-  
21 nitrification.

22           DUQUETTE: Right. Okay, thank you.

23           LATANISION: Russ Jones?

24           JONES: I have a question about your capillary retention  
25 of dust in the brine. It's mainly to do with the way that

1 water would behave would be dependent on surface energies.  
2 The dust and the metal, I wonder where that data was acquired  
3 and how confident you are in some of those surface energies.

4       BRYAN: Well, that's a good question. Of course, we  
5 don't have any data for wetability of, you know, 60 molal  
6 brines on silicate minerals. So, that's an assumption--  
7 neither for the silicate minerals, nor for the metal surface,  
8 so, that's an assumption that the wetting properties will not  
9 be so sufficiently different between the two that the brine  
10 will be drawn to metal surface.

11       MORGENSTEIN: Yes. Can we revisit the bacteria again?  
12 Much of the argument that you're making presupposes that the  
13 major mechanism for metabolism is organic, and that's an  
14 organic pathway. What if we're dealing with bacteria that  
15 doesn't focus in that direction, rather looks toward metals  
16 as a metabolic pathway? Might this not still, even though  
17 we're dealing with a different metabolism, like say, for  
18 example, iron oxide, mechanism for metabolism, we're still  
19 going to get the use of nitrate in the environment during  
20 that process. To what extent can we totally rule this out?

21       BRYAN: That's a good question, and actually, there's  
22 currently a CR, a condition report, on that, and it will be  
23 evaluated in the next version of the physical and chemical  
24 environment. With respect to many of the metals present in  
25 the drift, soft steels will be gone long before seepage can

1 enter, because they corrode very rapidly. But, there are  
2 stainless steel supports present in the drift, and those will  
3 survive for a long period of time. So, I'd have to say we're  
4 evaluating that in the next revision of the physical and  
5 chemical environment.

6 CERLING: Cerling, Board.

7 On Slide 11, I was just wondering about you have  
8 the upper and lower bounds for dust deposit and the brine  
9 volumes, and I was just wondering how you or what  
10 variabilities are counted in your modeling?

11 BRYAN: The amount of dust deposit?

12 CERLING: Yeah, like if we could go to Slide 11? I  
13 mean, is that an average of many runs, so your total, that  
14 total curve, that appears to be something with respect to--

15 BRYAN: No, again, that's based upon the limited amount  
16 of information we have on dust particle sizes. We have some  
17 information that states basically the distribution of dust is  
18 larger than and smaller than 10 microns. And, we have one  
19 number for that, essentially, where they call it the T-10, or  
20 whatever. We assumed that in order to get the maximum amount  
21 of dust deposited, we tried all different sizes of dust, and  
22 chose those, which fit the T-10 criteria. Russ, do you  
23 happen to remember how much?

24 JONES: Yeah, that's the less than 10 microns.

25 BRYAN: Yeah, so we had some fraction of dust that was

1 less than 10 microns, and some fraction that was larger. We  
2 chose the size fraction that yielded the greatest deposition  
3 within that known distribution, which turned out to be using  
4 10 microns for the less than 10 micron fraction, and using 30  
5 microns for the greater than 10 micron fraction. And, then,  
6 we calculated for those two fractions, and the constraints  
7 that we knew how much was larger than and less than 10  
8 microns.

9       CERLING: I guess my question had to do with, you know,  
10 is this a single idealized tunnel, or is this multiple  
11 tunnels that intersect?

12       BRYAN: This is a single idealized tunnel, with the  
13 typical turnout. Okay? Particles larger than 30 microns are  
14 deposited in the turnout limb. Particles that were too small  
15 would be largely transported throughout the entire tunnel, as  
16 shown right here. As you can see, the smaller particles end  
17 up being transported all the way through the tunnel instead  
18 of deposited. So, this would be for a single drift close to  
19 the inlet, essentially, assuming the entire loads of the  
20 inlet as being transported.

21       HARDIN: Now, this is a bounding calculation. It  
22 probably grossly over estimates the amount of soluble salt  
23 could be deposited on the first waste package in the  
24 ventilation stream.

25       MR. LATANISION: Identify yourself for the record.

1           HARDIN: Yes, it's Earnest Hardin, Sandia.

2           PABALAN: Pabalan, CNWRA.

3                    On Slide 16, Bullet Number 6, you indicated calcium  
4 chloride brines are predicted during the peak thermal period.

5 Do you expect these types of brines to occur in seepage  
6 waters? Because the previous DOE analysis indicates these  
7 waters have very low probability of occurring in seepage  
8 waters.

9           BRYAN: According to our analysis, you're right, calcium  
10 chloride brines occur primarily within the invert. They  
11 rarely occur within the crown. However, under some  
12 conditions, let me see, which slide is it. Go back to Slide  
13 15. In some conditions, the Bin 4 brines and Bin 3 brines  
14 can evolve into calcium chloride brines, not under all  
15 conditions, but under some conditions, some of our conditions  
16 in some of our look-up tables.

17          PABALAN: So, this conclusion about calcium chloride  
18 brines are still based on a previous THC--

19          BRYAN: Yes, exactly. We haven't looked at the new data  
20 yet. We haven't run it with the new waters. Our new waters,  
21 it's been eliminated on largely the waters which are calcium  
22 carbonate rich, actually heavily super-saturated with respect  
23 to calcite, which tend to evolve towards the sodium potassium  
24 rich corner, as opposed to the calcium chloride corner. We  
25 do still have some waters without incorporating all of the

1 THC interactions, evolve to the calcium chloride corner. We  
2 haven't run the simulations yet to see whether that will be  
3 affected by the THC interactions.

4       LATANISION: Okay. Any questions from anyone in the  
5 room? Yes.

6       YANG: Lietai Yang from the Center.

7             On Page 9 of your presentation, acid degassing, you  
8 listed this reaction, hydrochloric acid, how about nitric  
9 acid?

10       BRYAN: Both will. Both, of course, will degas. Our  
11 original analysis in the dust report suggested that degassing  
12 of HCL would occur more rapidly than nitric acid. This was  
13 based upon our current thermodynamic database. At least two  
14 studies since then have suggested that perhaps nitric acid  
15 degasses more rapidly than HCL. We're, again, going to  
16 reevaluate that when we look at the dust, when we redo our  
17 analysis.

18       YANG: Because if hydrochloric acid degasses first, then  
19 you will deplete the chloride.

20       BRYAN: Right.

21       YANG: The other thing is--

22       HARDIN: This is Earnest Hardin. Dr. Yang, the other  
23 result that applies here is that you have, in order for there  
24 to be an aqueous space at an elevated temperature, you need  
25 to have a sufficiently high ratio of nitrate to chloride in

1 solution. So, if you lose, let's say  $\text{HNO}_3$  to the gas phase,  
2 then you essentially draw out the brine. Okay?

3 YANG: The other thing is that the pH of the salt  
4 mixture, you measure the sodium, potassium, chloride,  
5 nitrate.

6 BRYAN: Yes.

7 YANG: So, what is the range of pH? It goes high, then  
8 it actually stops?

9 BRYAN: Yes. Again, it doesn't even stop, but it gets  
10 very, very low, of course. Again, we can't model it above  
11 140 degrees C. Our model is not applicable. At 140 degrees  
12 C, what we see as degassing occurs is the pH rises until a  
13 cognate phase precipitates out and buffers the pH, and then  
14 the pH is constant and the rate of acid--or, the composition,  
15 the P acid gas in the atmosphere becomes fixed.

16 For calcium chloride, this occurs at fairly--values  
17 because it's internally buffered. Basically, calcium, oxide,  
18 chloride precipitates out. For the monovalent salts, it  
19 doesn't happen until sodium carbonate or potassium carbonate  
20 precipitate out, or calcium carbonate. And, those don't  
21 occur, sodium and potassium carbonate don't precipitate out  
22 until the pH gets around 10 to 11 in our current, you know,  
23 again, at 140 degrees centigrade, or so. At that point,  
24 their composition becomes invariant, and has to be gasean  
25 contingent occurred at a very, very low rate.

1 YANG: Thank you.

2 LATANISION: Last question.

3 PAN: Yi-Ming Pan, CNWRA.

4 Back to your Slide 12, regarding the capillary  
5 retention effect. Can you give us a sense of what is the  
6 range of the dust and brine ratio in this assumption?

7 BRYAN: I'm not sure. We did the calculation earlier.  
8 There's about 10 percent saturation within the brine.  
9 Perhaps can you restate the question?

10 PAN: I'm not asking this assumption, the capillary  
11 retention effect is applicable to what range of dust and  
12 brine ratio? I notice it's a very low--

13 BRYAN: Yes, that's a good question. We've calculated  
14 about 10 percent saturation. In general, and in geologic  
15 materials, 10 percent saturation doesn't yield much in the  
16 way of movement. You get a lot of retention. I'm not sure  
17 at what point, it would depend upon the wettability, at what  
18 point the brine would become mobile within the dust.

19 Maybe, Ernie, do you have any estimate of how much  
20 saturation is usually required for transport?

21 HARDIN: Earnest Hardin, Sandia.

22 I don't have a characteristic curve for this dust.  
23 This work was done to show what the capillary response could  
24 be for dust. Let's look at dust. It's a fine grain material  
25 with incredibly high surface area. These aqueous brines do

1 have affinity for silicate surfaces, so there will be wetting  
2 behavior. So, that's the essence of the argument. This is a  
3 qualitative argument that says there's no reason to believe  
4 that that tiny amount of brine that we calculated to exist  
5 has to be in contact with the metal surface. A lot of that  
6 brine is going to stay in contact with the dust particles  
7 themselves.

8 PAN: Thank you.

9 LATANISION: Ernie, I just want to understand something  
10 you said a moment ago. What I just heard was that both  
11 nitrate salts and chloride salts, they degas to produce  
12 hydrochloric and nitric acid. There's a possibility that  
13 nitric acid may be formed faster than nitrochloric acid; is  
14 that correct?

15 HARDIN: Yes.

16 LATANISION: Okay. But, you said something about it  
17 drying out because--what was the end point of that  
18 conversation?

19 HARDIN: Well, let me ask Raul. Are you going to show  
20 the slide?

21 REBAK: Yes.

22 HARDIN: Okay. And, I believe that someone like Joe  
23 Payer may have shown the slide previously. It shows  
24 experimentally what nitrate to chloride ratio you have to  
25 have in a--the experiments were done using equal molar

1 combinations of sodium nitrate, sodium chloride.

2       LATANISION: I understand. The point being that we're  
3 interested in the nitrate/chloride ratio, and if both may  
4 acid degas, then the question is which degasses faster, and  
5 what's the consequence of that. So, we're going to hear some  
6 more about that tomorrow?

7       REBAK: Yes. I think Ernie--it would be that the nitric  
8 acid degasses, the amount of nitrate increases, so the brine  
9 may dry out because you need very high nitrate to keep the  
10 brine moisture.

11       LATANISION: All right. So, we'll hear more. All  
12 right. It's obviously important in terms of corrosion  
13 protection by the inhibition of the nitrates.

14               Roberto, you're up.

15       PABALAN: Good afternoon. My name is Roberto Pabalan  
16 from the Center for Nuclear Waste Regulatory Analysis in San  
17 Antonio. I'm here to talk to you about the studies that have  
18 been conducted by the Center for the NRC pertaining to the  
19 chemistry of water that may contact the engineered barriers,  
20 and hopefully, to give you a little bit of perspective with  
21 respect to the talks that my colleagues will be presenting  
22 tomorrow. Xihua He, Lietai Yang and Osvaldo Pensado will be  
23 talking to you about the corrosion experiments and the  
24 corrosion modeling that supports the NRC's performance  
25 assessment calculations. And, Tae Ahn from the NRC will

1 provide tomorrow a summary of the work that's been done for  
2 the NRC, as well as some of the risk insights that have been  
3 gained from these experiments and modeling.

4           Next slide. This is the outline of my  
5 presentation. I will give a brief introduction, then go into  
6 the objectives of the Center studies pertaining to in-drift  
7 water chemistry. Then, I'll give you the key points that we  
8 would like to convey to you in this workshop, and then  
9 discuss the technical approach that may be used in our  
10 studies, give some of the results, and then provide a  
11 summary.

12           Next. As we all know, the mode and the rate of  
13 corrosion of engineered barriers will depend on a number of  
14 factors, and this includes water chemistry, and chemistry of  
15 the water will be altered by a number of coupled thermal-  
16 hydrological and chemical processes. Two of the thermal  
17 chemical processes that we think are important to waste  
18 isolation are deliquescence of inorganic salts that may be  
19 present with the dust that deposits on the engineered barrier  
20 surfaces, as well as the evaporation of initially dilute  
21 seepage waters. These two processes can form brines on the  
22 surfaces of the engineered barriers, and may initiate and  
23 propagate corrosion of those materials.

24           Next. Those two processes are relevant to the two  
25 environments that we considered in our performance assessment

1 calculations. If the temperature is sufficiently high and  
2 seepage water is unable to enter the drift, there is a  
3 potential for elevated temperature corrosion that occurs from  
4 the presence of brines that form by deliquescence of  
5 inorganic salts.

6           When the temperature is low enough, wherein seepage  
7 water can enter the drift, but the temperature is still  
8 relatively high, such that you have evaporation of initially  
9 dilute seepage waters, then under this environment, there is  
10 a potential for localized corrosion. So, these are just  
11 schematic diagrams illustrating the periods of those two  
12 environments that we are concerned with. Shown here in this  
13 figure, of course, are the waste package temperature and also  
14 the relative humidity for a degraded drift scenario.

15           Next. The studies that we have been conducting  
16 with respect to water chemistry are designed to help us  
17 determine the range in the chemistry of waters that could  
18 contact the engineered barriers at the potential repository  
19 at Yucca Mountain. This information will be used to review  
20 the DOE technical bases for its Total System Performance  
21 Assessment abstractions. And, also, the information will be  
22 used to be abstracted into the NRC's Total System Performance  
23 Assessment code. This is something that Osvaldo Pensado will  
24 talk about tomorrow.

25           In addition, some of these studies on water

1 chemistry helps us guide the laboratory studies that we are  
2 conducting. For example, we have been doing corrosion of  
3 Alloy 22 in salt environments at elevated temperatures,  
4 something that Lietai Yang will talk about tomorrow. Darrell  
5 Dunn from the Southwest Research Institute will talk about at  
6 the MRS meeting some of the results of our integrated tests  
7 on corrosion and the evolution of the near-field chemistry.  
8 We have presented some of the results for the deliquescence  
9 of Yucca Mountain dust salts at the Goldschmidt meeting I  
10 believe a couple weeks ago.

11           Next. So, the two key points that we would like to  
12 convey to you are these. Dust deliquescence appears unlikely  
13 to promote localized corrosion, at least up to a certain  
14 temperature. Based on our studies, this temperature, we have  
15 data to 110 degrees centigrade. We believe that dust  
16 deliquescence will be unlikely to promote localized corrosion  
17 because there is a high proportion of localized corrosion  
18 inhibitors in the dust samples that have been taken from the  
19 Yucca Mountain area and vicinity.

20           However, at more elevated temperatures, there is  
21 some uncertainty about the effects of these inhibitors. And,  
22 so, there is a potential for generalized corrosion and  
23 localized corrosion, which we're still studying. Some of the  
24 results will be presented tomorrow. And, also, we think that  
25 we need to do additional characterization of dust salt

1 chemistry.

2           The second point that we would like to convey is  
3 that based on our studies, it looks like evaporation of  
4 seepage waters could form brines that support localized  
5 corrosion of Alloy 22. However, our studies need to be  
6 updated with new thermodynamic analyses to give more  
7 confidence in the results of our calculations.

8           Next. The approach that we have used in our  
9 studies comprise essentially thermodynamic modeling.  
10 Essentially, we have used modeling to look at the evaporation  
11 of initially dilute seepage waters, for example, to give us  
12 an idea of the ranges in the concentrations of corrosive  
13 species, as well as the ranges and concentrations of the  
14 corrosion inhibitors.

15           We have also done some thermodynamic modeling to  
16 give us a handle on the deliquescence behavior of salts and  
17 salt mixtures, specifically with respect to the effect of  
18 composition, because this, in turn, affects the time and the  
19 temperature of brine formation in the potential repository.  
20 This deliquescence modeling has been supported by some of our  
21 deliquescence measurements below 100 degrees centigrade.

22           In addition to the thermodynamic modeling, we have  
23 also done sampling and characterization of dusts at Yucca  
24 Mountain, so we can have an idea of what are the chemistries  
25 or compositions of brines that may form from these salts

1 present at Yucca Mountain and vicinity.

2           Next. The thermodynamic modeling that we have  
3 conducted essentially has used the Environmental Simulation  
4 Program and StreamAnalyzer codes. These are steady-state  
5 process simulators for evaluating aqueous chemical processes  
6 in industrial and environmental applications. These codes  
7 have been developed at OLI Systems in New Jersey. The reason  
8 we selected this code is because it has a fairly large  
9 thermodynamic database. The temperature and pressure limits  
10 are 300 degrees centigrade and 1500 bars.

11           The concentration limits, at least for the standard  
12 electrolyte model, goes up to at least 30 molal, but there is  
13 a new model incorporated into these two codes, which is  
14 called the mixed-solvent electrolyte model, that allows  
15 calculations of the thermodynamic and transport properties  
16 from essentially dilute concentrations, and up to the pure or  
17 fused salt compositions.

18           Next. The thermodynamic modeling of the seepage  
19 water evaporation that we did essentially used the chemistry  
20 data on Yucca Mountain unsaturated zone porewaters published  
21 by the USGS. These data, for example, are shown by the  
22 process in this. We have selected some of these chemistry  
23 data and used those as input into our thermodynamic  
24 calculations. We have made simple assumptions in this kind  
25 of analysis. We have assumed that the seepage water is

1 similar to the ambient Yucca Mountain porewaters that are,  
2 again, based on the chemistry data provided by the USGS. We  
3 have also neglected the interactions of these waters with the  
4 natural and in-drift engineered materials.

5           To help us in the abstraction process for our  
6 performance calculations, we have essentially supplemented  
7 this kind of thermodynamic modeling by using the chemical  
8 divide approach which allows us to group these water types  
9 into three groups, the calcium chloride, neutral, and  
10 alkaline water types.

11           Next. This allows us to group the numerous  
12 chemistry information on the porewaters and on the evaporated  
13 compositions into three. As indicated in these diagrams,  
14 these are box plots for the different brine types showing the  
15 pH and concentrations of the different cations and anions.  
16 These three different water types exhibit specific ranges in  
17 its pH or in its calcium concentration or chloride and  
18 magnesium and fluoride concentration. There's a little bit  
19 of overlap with respect to the nitrate concentration, but  
20 it's a convenient way for us to be able to abstract  
21 information from our thermodynamic simulations into our  
22 performance assessment calculations.

23           Next. Essentially, what results from this kind of  
24 analysis is that it shows that some brines that result from  
25 evaporation of initially dilute seepage waters can have

1 elevated concentrations of chloride, and also fluoride.  
2 Fluoride wasn't a concern to us some time ago with respect to  
3 the generalized corrosion of titanium drip shield. But, for  
4 our discussion today and tomorrow, I think the important  
5 thing is the elevated concentrations of the chloride species  
6 after evaporation.

7           The figure on the right shows the ratio of the  
8 inhibitors, inhibitors that include nitrate, sulfate,  
9 bicarbonate and carbonate, the ratio of those inhibitors, the  
10 chloride, which is the corrosive species. And, here we plot  
11 for the three water types, the ranges in those inhibitor to  
12 chloride ratio.

13           Based on the results of the thermodynamic  
14 calculations, it appears that most of those waters that form  
15 by evaporation of those porewaters have high ratios of  
16 corrosive inhibitors to chloride. So, most of the  
17 compositions resulting from evaporation are outside the  
18 window of susceptibility to localized corrosion of Alloy 22.

19           This kind of information is abstracted into the TPA  
20 code, NRC's TPA code, as Osvaldo Pensado will be talking  
21 about tomorrow. But, there is, of course, some uncertainty  
22 here with respect to, for example, some of the thermodynamic  
23 data for calcium, nitrate, and sodium nitrate, the aqueous  
24 complexes, and also, of course, the threshold value for the  
25 inhibitor to chloride ratio that we use here of 0.1, as of

1 course some temperature dependence also, hence, it also  
2 depends to some degree on whether the Alloy 22 is mill  
3 annealed or thermally aged.

4           Next. We go next to the thermodynamic modeling of  
5 the deliquescence behavior of salts. As we know, the DRH is  
6 a function of the salt composition and temperature. When we  
7 initiated this kind of modeling a couple of years ago, there  
8 was really very limited data for salt mixtures. There's some  
9 data perhaps up to about 100 degrees centigrade for single  
10 salts, but very limited data above 25 degrees centigrade, and  
11 especially above 80 degrees for mixtures of two or more  
12 salts. So, we had to rely on thermodynamic modeling to get  
13 at the DRH behavior and the different salt mixtures.

14           It's easy enough to calculate this if you have the  
15 thermodynamic data. The DRH can be calculated from the  
16 activity of water or from the partial pressure of water in a  
17 saturated zone solution versus the partial pressure of pure  
18 water. These numbers are calculated using the Environmental  
19 Simulation Program or the StreamAnalyzer code.

20           Essentially, the figure on the right shows the  
21 calculated deliquescence relative humidity as a function of  
22 temperature for salts in the system, sodium, potassium,  
23 chloride, nitrate, which are believed to be the likely  
24 dominant system in the Yucca Mountain in-drift environment.

25           The red curve is just the calculated curve for one

1 atmospheric condition. Off to the right of that red curve,  
2 will be the inaccessible temperature and relative humidity  
3 because of boiling. What this figure is meant to show is  
4 that there is a significant decreasing trend of deliquescence  
5 relative humidity as a function of temperature. What's shown  
6 here, the calculated curves for, for example, for mixtures  
7 that contain sodium chloride, sodium nitrate, potassium  
8 nitrate. These can have very low deliquescence relative  
9 humidity, hence, brine formation can occur at times during  
10 which high temperatures can be present in the potential  
11 repository. Also shown as symbols in this figure are more  
12 recent experimental data from Joe Rard and others.

13           Next. So, if deliquescence relative humidity can  
14 be very low, and can occur at relatively high temperatures,  
15 then the question then is what are the compositions of the  
16 salts that may occur at the potential repository and  
17 deliquesce.

18           I believe I showed this to you about two years ago.  
19 These are literature data on chemistry of dusts collected in  
20 the vicinity of Yucca Mountain.. I think these samples are  
21 specifically from Death Valley, collected by Reheis. At the  
22 time, I indicated that it looks like the dominant anions are  
23 chloride, nitrate and sulfate. But, there are significant  
24 concentrations of the oxyanions, nitrate and sulfate, that  
25 potentially can mitigate localized corrosion of Alloy 22.

1           The ratio of nitrate to sulfate is highly variable,  
2 but mostly are greater than 0.1, the threshold value that we  
3 have used to indicate whether localized corrosion of Alloy 22  
4 is possible or not. Since then, we have tried to collect  
5 additional samples from the Exploratory Studies Facility,  
6 both underground and also at the Yucca Mountain surface.  
7 These are just some pictures of the sampling stations that we  
8 have set up of a couple of days or maybe a week or so to  
9 collect those samples.

10           In addition, samples have been provided to us by  
11 the U.S. Geological Survey, specifically Zell Peterman. We  
12 have characterized the samples by a number of techniques, and  
13 some of the results are shown here. The results demonstrate  
14 that there's really a very low fraction of soluble salts  
15 present, less than 1 percent. Consistent with the data from  
16 Reheis, the nitrate and sulfate--the chloride ratios greater  
17 than 0.1, and, so, we think that localized corrosion of Alloy  
18 22 could be mitigated in the presence of sufficient nitrate  
19 and sulfate indicated by the chemical data presented in this  
20 slide.

21           Next. Additional information from our sampling  
22 indicates that the dusts are mostly in soluble minerals, such  
23 as feldspars and silica phases. The presence of these  
24 relatively insoluble minerals has been used by the DOE, and  
25 Charles Bryan talked about this earlier, that likely could

1 form brines to contact the waste packages, would be reduced  
2 because of the small volume of the brine that's mixed in with  
3 the rock dust. But, this is something that still we don't  
4 have a good handle on. I guess Charles has not been able to-  
5 -as Charles indicated, these are based on qualitative  
6 arguments. So, what we have been doing is we have been doing  
7 experiments to evaluate the corrosion by a small amount of  
8 salts mixed in with rock dust. These experiments are still  
9 ongoing.

10           So, in summary, the chemistry of water that could  
11 contact the engineered barriers at the potential Yucca  
12 Mountain repository was evaluated, both evaporation of  
13 initially dilute seepage waters, as well as the deliquescence  
14 behavior of inorganic salts.

15           The evaporation of seepage waters looks like could  
16 form brines that support localized corrosion of the Alloy 22  
17 waste package material. The studies that we have done have  
18 provided us ranges in the brine chemistry, which are proposed  
19 to support the NRC's Total System Performance Assessment  
20 calculations. However, our thermodynamic analysis needs to  
21 be updated based on ongoing simulations that incorporate  
22 coupled thermal, hydrological and chemical processes. We  
23 also need to look at the potential effect of drift  
24 degradation on water chemistry.

25           In addition, there are some salt mixtures that can

1 deliquesce at elevated temperatures and form brines that  
2 could initiate and perhaps propagate corrosion of the Alloy  
3 22. We have ongoing experiments to evaluate the potential  
4 corrosion at elevated temperatures in salts containing  
5 sodium, potassium, chloride, nitrate. Lietai Yang, again, is  
6 going to talk about that tomorrow.

7           There is still very limited data on the dust  
8 samples from the Yucca Mountain surface and the tunnels.  
9 However, current information indicates that the soluble salts  
10 in those dusts have significant concentrations of corrosion  
11 inhibitors, like nitrate and sulfate. So, at present, the  
12 proposed approach for the NRC performance assessment is to  
13 assume no localized corrosion due to salt deliquescence.  
14 However, I believe, we need to do further sampling and  
15 characterization of samples from Yucca Mountain, and these  
16 samples are still being planned, and we plan to--I believe we  
17 are still doing experiments to evaluate the potential  
18 corrosion by small volumes of brines mixed with rock dusts.

19           I think that's all I have.

20           LATANISION: Latanision, Board.

21           I'm going to take the opportunity to ask the first  
22 question. If we could go back to Number 11? The figure on  
23 the right showing the ratio of inhibitors and brine type.  
24 You've made it very clear that nitrate to chloride ratio of  
25 1/10th looks to be very useful in terms of inhibiting

1 localized corrosion. But, I guess the question is--well,  
2 there's two questions. One is how effective is it? I mean,  
3 does it limit it in the sense that it just doesn't occur, or  
4 does it occur less frequently? What is the metric you use to  
5 determine that line of separation?

6           And, then, secondly, this phenomenology is  
7 temperature dependent, as I understand it. So, what  
8 temperature does this refer to?

9           PABALAN: One of our corrosion guys can answer this  
10 better than I can, but let me try. The 0.1 ratio is based on  
11 experiments, I believe, at 80 or 85 degrees centigrade for  
12 mill annealed material. So, the ratio of inhibitor to  
13 chloride will be higher, required to mitigate--first, your  
14 question does it--it prevents the initiation of localized  
15 corrosion, but I believe we also have data that indicates it  
16 will stifle localized corrosion if the nitrate and chloride  
17 ratio is higher.

18          LATANISION: Are we going to see some of that tomorrow,  
19 or at some point?

20          PABALAN: Yes.

21          LATANISION: Okay.

22          PABALAN: So, it depends on whether it's mill annealed  
23 or thermally aged, higher nitrate to chloride is required for  
24 thermally aged material. Temperature dependence is also  
25 important, I believe experiments at 110 degrees, which Xihua

1 He might talk about tomorrow, indicates at, say, 110 degrees,  
2 you need .3 as the ratio of the inhibitor to chloride ratio.

3       LATANISION: Okay. Before I take your question, I'd  
4 like to, in the spirit of this workshop, get a sense of  
5 whether there's general agreement on that point. Does anyone  
6 have any difference with that? Maury?

7       MORGENSTEIN: Yes, I definitely have disagreement with  
8 that. As we raise temperatures, we don't see inhibitors  
9 being affected at all, as we get temperatures higher for just  
10 a simple chloride system of magnesium, calcium chloride,  
11 there's no indication that if we add nitrate to the system it  
12 affects the outer coating so that we get inhibition. We  
13 definitely get corrosion. So, we think that there's some  
14 serious problems with respect to temperature. We actually  
15 find that nitrate forms nitric acid at high temperatures, and  
16 is as effective a corrosive as HCL, or HL.

17       LATANISION: Let's get a project perspective. Raul?

18       REBAK: This is Raul Rebak from Livermore.

19               We find that Livermore is similar to what the  
20 Center found. We see inhibition to localized corrosion above  
21 a certain ratio of nitrate or chloride, even at high  
22 temperatures. I have some data to present, up to 150 degrees  
23 C showed a chemical test, and always showed the inhibition.  
24 But, also, we have data that is not part of the talk  
25 tomorrow. We have the immersion test in nitrate over

1 chloride ratio, .5 for over two years, and we didn't see any  
2 localized corrosion under normal--conditions. So, the ratio  
3 of chloride over nitrate as an inhibitor works at high  
4 temperatures.

5 LATANISION: Joe Payer?

6 PAYER: Joe Payer, Case Western.

7 I think the point is, and we'll have to try to have  
8 the discipline here when we talk about higher temperature,  
9 you know, what temperature range are we really talking about.  
10 I think, Maury, I'm not sure, but you're talking about  
11 higher temperatures, ones above--

12 MORGENSTEIN: That's correct.

13 PAYER: And, the empirical evidence is quite strong that  
14 temperatures up to certainly 120, 130, and Raul will present  
15 some at 150, that the nitrate still is an effective  
16 inhibitor. So, I think we've got to be careful to try to  
17 narrow down some ranges we are talking about.

18 LATANISION: I agree. In fact, I'd like to think that  
19 by the end of the day tomorrow, we're going to have some  
20 convergence on this question. There were another couple of  
21 hands up. Where were they? Yes?

22 XIHUA HE: This is Xihua He from the Center.

23 I just want to clarify on the--on point one. The  
24 experiments were at a temperature of 80 degrees C, and 110  
25 degrees C, in magnesium chloride, and magnesium nitrate

1 solutions. And, the reason we show that we did observe  
2 corrosion at the ratio of .1 is based on electrochemical  
3 tests. We scanned the potential, and thermodynamic  
4 polarization, and we didn't observe any localized corrosion  
5 when the ratio was .1 for mill annealed--

6 LATANISION: Okay. Yes? Identify yourself, please.

7 WALTON: John Walton, Nye County.

8 Bobby, we just saw that DOE is now looking at close  
9 separation, observed the close separation of nitrate and  
10 chloride. So, to what extent are you looking at it? Is it  
11 in the TPA code? Should it be in the TPA Code?

12 PABALAN: That is something that I haven't looked at  
13 personally, but if DOE is considering including it into its  
14 abstractions, certainly that's something we will also take a  
15 look at.

16 BRYAN: This is Charles Bryan. I just wanted to say  
17 that it's already included in our TSPA abstractions. It's  
18 been in there since the last iteration. On the waste package  
19 surface, we incorporate salt separation.

20 LATANISION: Other questions or comments? Yes?

21 HARDIN: Earnest Hardin, Sandia.

22 I noticed from this slide, your comment on the  
23 right there about calcium and sodium complexes of nitrate.  
24 Do you think--this is kind of an open ended question--do you  
25 think that the question of nitrate inhibition, and at what

1 ratio it becomes important to us, hinges on the actual  
2 concentration of free nitrate in solution? And, is there  
3 hope to that line of inquiry? And, can you calculate that  
4 above 140 degrees C, which is our limit of validation?

5 PABALAN: We can calculate it. It doesn't mean the  
6 calculation will give correct results. I haven't personally  
7 evaluated the thermodynamic data on which, you know,  
8 especially above 140 degrees centigrade, on which the  
9 calculations, the results rest. And, so, the window of  
10 susceptibility illustrated in this figure assumes that is the  
11 free nitrate that is causing the inhibition of localized  
12 corrosion. So, this window actually will become smaller if I  
13 assume that it's all nitrate bearing species that contributes  
14 to localized corrosion.

15 HARDIN: I see.

16 PABALAN: It will shrink.

17 HARDIN: Okay. Hardin again, Sandia.

18 So, let me put that back to you. It means that the  
19 point one threshold will be a higher threshold? So, our  
20 interpretation of point one is that that's--

21 PABALAN: Well, actually, it's not the window that will  
22 actually move. It's really the composition will move away  
23 from--the range, the calcium chloride brines, the lower, the  
24 left edge of that box will move essentially to a higher value  
25 if I include all nitrate bearing species into the numerator.

1 So, more of the waters that form evaporation will lie  
2 outside the window of susceptibility. The point one remains  
3 the same, except the compositions will kind of shift to the  
4 right.

5 LATANISION: Thure?

6 CERLING: Cerling, Board.

7 If we could just keep on this? What have you  
8 included in this for your calcium nitrate and sodium nitrate  
9 values? They are included in this figure; right?

10 PABALAN: Actually, no.

11 CERLING: So, this has no complexing of calcium and  
12 sodium?

13 PABALAN: That is correct. The numerator in that ratio  
14 only includes the free nitrate.

15 CERLING: Without those two complexes?

16 PABALAN: Without those two complexes. So, much of the  
17 nitrate is actually, at least based on the thermodynamic  
18 calculation, is tied up in the form of the aqueous complexes.

19 KELLY: Rob Kelly, Virginia.

20 On Page 16 where you have the characterization of  
21 the tunnel dust, do you have any idea that the water  
22 compositions are so different from the sample in the tunnel?

23 PABALAN: Yeah, essentially, the surface samples have  
24 been washed by precipitation.

25 LATANISION: Maury?

1 MORGENSTEIN: Back to 11. What if we took a look at  
2 this situation and we threw away the chlorides and just  
3 looked at, say, magnesium nitrate?

4 PABALAN: The pH would be lower.

5 MORGENSTEIN: I mean, this is an inhibitor, right,  
6 magnesium nitrate? So, you wouldn't expect to see any  
7 corrosion at all at any of our temperatures?

8 PABALAN: I don't know. Maybe one of our corrosion guys  
9 can answer that.

10 XIHUA HE: Xihua He from the Center. We have done some  
11 work, you know, where a high ratio of nitrate to chloride  
12 solution. We did the electrochemical test. We didn't  
13 observe any localized corrosion. So, based on this figure,  
14 what we can see is either the temperature, we start at 120  
15 degrees C, with the ratio of nitrate to chloride is, I would  
16 say, at--we never have observed any corrosion in this kind of  
17 test condition.

18 MORGENSTEIN: These are saturated tests; correct? We  
19 would expect the same results with vapor?

20 XIHUA HE: Just in fully immersed conditions. The  
21 temperature--the solution, I would say that maybe it's not a  
22 saturated, it is still below the saturation limit.

23 DUQUETTE: In each case, would you identify yourself?  
24 Because the record needs to reflect who's speaking.

25 MORGENSTEIN: Morgenstein. Would you anticipate, based

1 on your experience, that vapor phase would be similar to  
2 saturated tests that you're doing, or will it be different?

3 AHN: Tae Ahn. We will present that issue tomorrow.

4 REBAK: Raul Rebak from Livermore. I second what Xihua  
5 He said about the high nitrate. We never saw localized  
6 corrosion. We did also some tests in pure nitrate, sodium  
7 and potassium, and show it tomorrow, and also in a calcium  
8 nitrate, pure, and we never saw localized corrosion. You can  
9 see transpassivity, because you have very high potentials,  
10 but we were never able to initiate localized corrosion in  
11 pure nitrate solution, fully immersed again. Thank you.

12 DUQUETTE: Thank you. Any other questions from the  
13 Panel?

14 (No response.)

15 DUQUETTE: Any comments or questions from the floor?

16 (No response.)

17 DUQUETTE: If not, let's take a 15 minute break.

18 There's some coffee, I think, outside in the corridor. And,  
19 we'll see you in just 15 minutes.

20 LATANISION: All right, let's come back to order.

21 We're continuing along in a theme of characterizing  
22 the environment that the waste package will see, or is  
23 anticipated to see, and, so, we'll next turn to John Walton.

24 John, welcome.

25 WALTON: Thank you. I'd like to thank Carl Di Bella for

1 inspiring this great sounding title. I hope we can live up  
2 to it.

3           Next slide. I'm going to show you a bunch of  
4 results from the Multiflux Code that George Danko developed,  
5 and is applied for Nye County. I'm going to go pretty fast.  
6 But, basically, the vapor transport dominates the near field  
7 during the thermal period. Vapor in near field moves  
8 predominantly towards the drifts. What happens is you get  
9 evaporation in the middle of the drifts that transport out to  
10 the ends where it's cold, and you get condensation.

11           Three time periods we see. One is called drift  
12 attractor, where a lot of the vapor is being attracted and  
13 moved into the drifts. Follow that with the transition  
14 period, and finally, beyond the thermal period, we see very  
15 strong lateral diversion around the drift, the drift shadow  
16 effect.

17           Next slide. This is a picture of what George is  
18 doing. And, this is just a snapshot at 600 years for  
19 multiflux. There is the boiling front right here. There is  
20 the liquid flux, there is the vapor flux. Several things  
21 you'd want to look out. We still do see drainage through the  
22 pillars. We don't say that doesn't occur, but the big thing  
23 we see is you notice inside the boiling right here, the vapor  
24 is going very strongly towards the drift. And, furthermore,  
25 if you look even outside below it, the vapor is coming up and

1 going into the drift very strongly.

2           Next slide. Here is just a snapshot of--not a  
3 snapshot, but here's a bunch of results that are kind of  
4 maybe hard to read. Here's the drift in this direction. The  
5 red part is the heated portion of the drift. The white part  
6 is the end of the drift with no waste containers. The top,  
7 we have condensation, and what happens is you get evaporation  
8 in the middle of the drifts, the temperature gradient drives  
9 the moisture out to the ends, where you get much  
10 condensation, so you get a big dryout along the drifts there.

11           Down below, we have something we call a water  
12 attraction ratio. The idea is to, rather than just putting  
13 numbers that don't mean much to people, put it in some kind  
14 of qualitative format. The attraction ratio is the ratio of  
15 the amount of vapor going into the drift, to the amount of  
16 water percolating over the drift footprint. And, what you  
17 see is, early on, this is the water that was already in the  
18 rock, and a lot of it's going into the drift.

19           The green line is the one to one ratio, where  
20 beyond this point, the drifts get less than their fair share  
21 of water, and you start to see capillary diversion, drift  
22 shadow effect beyond the thermal period. But, for a very  
23 long time, out to here, on the drift, it depends on what you  
24 assume for design and infiltration rates, the drifts get more  
25 than their fair share of water. I think that this ratio is

1 greater than one.

2           At the bottom, what we do is we have approximate  
3 estimate of the salt accumulation. What happens is when you  
4 start putting the vapor towards the drifts, you get a larger  
5 accumulation of salt in the system. And, we don't have a  
6 fully coupled model, so this is just a simple bounding type  
7 calculation. But, what you see is over time, you get very  
8 large accumulations of chloride. This is chloride here,  
9 actually. And, you see this is like numbers like 15, 20  
10 kilograms per meter of drift. This means you've got tons of  
11 salt, chloride, in the drifts along each drift in the rock.

12           Eventually what will happen is things will cool  
13 back down. The water will start to burn around here, and  
14 these salts will be washed out. We have modelled that. We  
15 just kind of show an arrow, just point out that it's going to  
16 happen.

17           Next slide. This is the historical perspective for  
18 about 20 years. We've seen simulations that showed the vapor  
19 behavior around the drift, and the arrows show the vapor  
20 going out where it condenses, and then this excess water goes  
21 down the pillars in a process some people refer to as thermal  
22 shedding.

23           What we have now is is that George Danko has shown  
24 for several years that, in fact, these arrows should be going  
25 into the drift. And, at this point in time, my understanding

1 is the DOE models also show the vapor this close goes into  
2 the drift. So, I think that while we may fuss about the  
3 numbers, the qualitative direction I don't think is subject  
4 to debate anymore.

5           Next slide. You can see that was an old DOE  
6 graphic. This is my graphic. There's a little difference  
7 there. But, it's kind of a paradigm shift in how we view  
8 vapor transport in the near field. The old system is you had  
9 the vapor going out, condensing, it forms kind of a washing  
10 effect, it washes out the salt. Certainly, there's some salt  
11 accumulation in here, but it's a different flow system.

12           Now, what we see is the vapor is moving very  
13 strongly into the drifts, and what you get is very much  
14 accumulation of salt in the middle of the drifts in the  
15 rocks. Now, where is this at? We don't know exactly.  
16 Presumably, it would be where low and high permeability  
17 contrasts are along fractures, maybe where there's high  
18 permeability, next to low permeability, but, it's in the  
19 rocks somewhere around the drift. And, we refer to this as  
20 drift attractor behavior.

21           Next slide. So, to summarize what we're getting  
22 here, early time flow system. Water does flow through the  
23 columns between the drifts. We're not saying it doesn't.  
24 But, what we do say is the net flux, the dominant flux, tends  
25 to be towards the drifts and mostly as vapor. You can

1 debate, you know, semantics, but I would say that thermal  
2 shedding doesn't occur, because the drifts get more than  
3 their fair share of the water, and you can't have it both  
4 ways. That is, if the drifts get more than their fair share,  
5 you can't also have the columns getting more than their fair  
6 share of water, which is what thermal shedding implies.

7           Accumulation of salts. The drift attractor period  
8 depends upon design, thermal loading, and it also depends on  
9 the infiltration history of water that we assume to occur in  
10 the future, because you have to assume something to model.

11           Next slide. Barometric pressure. The USGS has  
12 done a lot of work to look at barometric pressure and how it  
13 propagates into the rock. What they found is that, even  
14 predevelopment, that the pressure waves from barometric  
15 pressure would propagate down to repository level. When you  
16 talk about barometric pressure, you talk about a pressure  
17 wave, not amounts of air, that is, I stand up here and you  
18 can hear me speak, because my voice creates pressure waves,  
19 but probably you can't smell the onions that I had for  
20 breakfast, or anything. And, so, there's a difference, about  
21 a wave, and, so, the repository is more permeable than intact  
22 rock. So, we think there's every reason to believe that if  
23 barometric pressure got there before, it's going to get there  
24 more after the repository is built.

25           The important thing is that barometric pressure

1 caused the change in vapor flux. That is, if all of a sudden  
2 the barometric pressure rises, and that comes down the  
3 fractures and into the drifts, what it's going to do is in  
4 the middle of the drifts, force a little bit of air into the  
5 rocks. And, when barometric pressure falls, what happens is  
6 more moisture comes out of the rock into the drift.

7           Now, normally what happens is the sooner the drifts  
8 get depleted of water because this temperature gradient  
9 causes the flux of vapor from the center to the edges, and  
10 then all of a sudden, when we get this resupply of moisture  
11 in the center, the relative humidity rises. And, so, what  
12 we're saying is barometric pressure fluctuations lead to  
13 fluctuations in relative humidity.

14           Next slide. Cycling of relative humidity leads to  
15 cycling of the corrosion environment. And, so, we believe  
16 that you get alternating deliquescence, efflorescence,  
17 wet/dry, wet/dry, under some sets of conditions. Other sets  
18 of conditions, you get alternations in ionic strength,  
19 changing solution composition, change in amount of adsorbed  
20 water.

21           Next slide. Here is some of George's early work on  
22 this, and I would stress that, you know, this is first of a  
23 kind work. We're trying to look at a process and say we  
24 think it's important. You know, we're not ready to stand  
25 behind and say these are the exact numbers that will finally

1 be out there. But, it's important to see if this process is  
2 important or not.

3           What we have here is the drift along this way. We  
4 have different points in time. And, the green area is the  
5 range, actually, it's half the range of relative humidity  
6 caused by changes in barometric pressure. So, the barometric  
7 pressure drops, relative humidity rises. Barometric pressure  
8 goes up, relative humidity goes down. And, so, what we're  
9 really saying is is that we have cycles of a few days  
10 schedule going between these green lines here, and you can  
11 see it changes in time, and it has to do with temperature of  
12 the rock and the non-linearity of vapor pressure curve. And,  
13 you can see these are pretty significant, and we're talking  
14 about 20, 40 percent changes in relative humidity. And,  
15 again, this is not the full range even.

16           Next slide. So, what does this do to the corrosion  
17 environments? I apologize. My art work isn't the best.  
18 But, hopefully, it will do. These could be A, B, C, are kind  
19 of arbitrary places on the Alloy 22, or in time. You could  
20 place them a lot of ways. But, let's say we have some salts  
21 on the Alloy 22, and they dry out. Then, relative humidity  
22 increases. And, what happens is they take the moisture out  
23 of the air, and they deliquesce. And, so, now it's an  
24 aqueous solution. And, then, relative humidity goes back  
25 down again. They dry out.

1            Now, in a different location, maybe a different  
2 salt, maybe a different point in time, you could have a case  
3 where it doesn't dry out. What happens is relative humidity  
4 drops and the vapor pressure of water and the solution is  
5 higher, and so it starts drying out and becomes more  
6 concentrated. Then, relative humidity increases, and the  
7 moisture comes back into the salts, and it becomes more  
8 dilute, and then it becomes more concentrated.

9            Or, you might have a case where there's no salts,  
10 where it's really hot and you have adsorbed water, and you  
11 have certain underlayers of adsorbed water, then you have  
12 more, and you have less, and more, and less. So, a time  
13 scale of days.

14           What we're saying is the corrosion environment is  
15 cyclical, wet/dry, wet/dry, concentrated, dilute, composition  
16 changing.

17           Next slide. Now, let's look at repository scale  
18 type processes. There are a number of things going on in the  
19 repository with vapor transport that are likely to cause a  
20 lot of transient changes in the environment, and this is just  
21 a picture, let's talk about some of them. But, it's a very  
22 heterogeneous fractured system, permeability changes. Some  
23 parts of the repository will be warmer than others. Some  
24 colder. Some wetter, some dryer, and that leads to  
25 circulation systems within the repository.

1           We've also modelled in the past, and showed the  
2 Board how you'd get u-tube circulation, where you could have  
3 cold air coming down one fault system, warming up, and coming  
4 up a different fault system. So, we get u-tube circulation.

5           On top of it, you have this forcing functions, like  
6 barometric pressure, superimposed on top of it all. We kind  
7 of look at it as a complex large lung. I kind of think of it  
8 as my dad has emphysema, and look at it kind of like it's his  
9 lungs, you know, very complicated breathing pattern.

10           Next slide. Above boiling repository system  
11 dynamics. This is just kind of some relation in the last  
12 slide, but there's convection systems. One convection system  
13 is up and down fault systems. George Danko has modelled  
14 that, and it looks like it's quite plausible. Cold air comes  
15 down one fault system, warms up, goes up the other fault  
16 system, sends the circulation through the drifts.

17           Repository scale. The repository is  
18 interconnected, that is, drifts are interconnected. They  
19 have seals at the end, but I've never seen a demonstration of  
20 what the permeability is. I've never seen a demonstration of  
21 whether they'll corrode or not. And, so, we don't know what  
22 the air permeability of the seals are over time. And,  
23 furthermore, there's fractures through the repository, and  
24 there's different places. So, all of a sudden, you've got  
25 this barometric pressure changing. You get to this part of

1 the repository and not that, you've got this funny  
2 circulation system going across the repository.

3           We also have drift scale from the center of the  
4 drifts, hot, out to the cold end. And, then, we've got  
5 circulations between hot and cold waste packages. And, all  
6 these are superimposed at once with different time constants,  
7 and the net result is we believe that the environment is like  
8 it would be fairly transient, that is, we're used to thinking  
9 that Yucca Mountain is it changes slowly over decades and  
10 centuries. Instead, we're saying now very rapidly changing.

11           Next slide. This is just a slide, you have to have  
12 George give a whole presentation to explain it, and, so, I  
13 said how can I explain a difficult concept in one slide, but  
14 what we have here is just a vapor pressure curve of water,  
15 different relative humidities. And, the point is is that the  
16 slope changes that you heat up. It's very, very non-linear.  
17 And, what happens is most transport phenomena move on total  
18 differences, they are arithmetic differences, not relative  
19 differences. And, so, what happens is we heat up the system,  
20 it becomes much more dynamic.

21           And, so, if you compare a hot repository with a  
22 cold one, you find that the cold repository has less of the  
23 transient phenomena we're talking about, tends to be much  
24 more stable and predictable than the hot repository, and it  
25 all gets back to this non-linearity in the vapor pressure

1 water curve.

2           Next slide. Coupling of chemistry and hydrology is  
3 stronger. If you get more salts in the system, which is what  
4 we say this inward flow system does, then all of a sudden,  
5 you've got this difficulty that if you got enough salt in the  
6 rock above, then the salt starts affecting the flow system.  
7 And, that complicates things. We're not saying it fills up  
8 the pores. It may locally, but not in general. But, all of  
9 a sudden, you've got all this salt that can deliquesce, in  
10 response to relative humidity, and you've got a lot of things  
11 changing the flow system.

12           Cool down would lead to deliquescence and  
13 mobilization of these salts potentially. And, you have to  
14 realize that this is within a system where barometric  
15 pressure is changing, and relative humidity is changing. So,  
16 now, we've got a transient unsaturated system where these  
17 salts up on the roof can deliquesce and effervesce and move,  
18 or not, and we've got a very complicated transient system to  
19 try to model the chemistry.

20           There is a heavy reliance on drip shields, that is,  
21 when you've got so much salt in the ceiling up there, and  
22 then you've got your Alloy 22 down there, and what keeps them  
23 apart is the drip shields, and, so, there's particular  
24 reliance on the drip shields to protect the Alloy 22. And,  
25 we think there's a pretty heavy reliance on models.

1           Next slide. This I just--you've got to keep people  
2 interested. We keep talking about deliquescence. These are  
3 my Carlsbad rock samples that used to be beautiful. But, we  
4 had a--in El Paso this summer, and my rocks started melting  
5 away. And, so, this is just a picture of my living room,  
6 natural deliquescence of my once beautiful rock samples  
7 forming that little puddle of water down there.

8           Next slide. Flow separation. In Nye County, we  
9 tried to push flow separation for a number of years because  
10 when we started doing this work back in, like, 2001, it  
11 wasn't in the DOE's stuff, and we thought it should be. At  
12 this point, it's in the DOE model, and we applaud that very  
13 much. But, what it says is that depending on the flow  
14 system, you get flow and evaporation, then the different  
15 salts would precipitate at different locations, and that can  
16 separate your chlorides from your nitrate. And, so, you  
17 don't necessarily always get mixture of chloride and nitrate.

18           Down here, we talk about how you could model as a  
19 single cell, evaporates at one point all together, and then  
20 this multiple cells model, and different models to see how  
21 much the chloride will separate from the nitrate, and the  
22 salts.

23           Next slide. This is just a complicated one where  
24 we can walk through and say how flow separation occurs and  
25 what happens over time. I think in the interest of time,

1 I'll just go ahead and pass through this slide, and we can  
2 come back to it if somebody is interested in it. We have a  
3 paper you can read on it if you're interested.

4           Nitrate reduction and uptake. I don't have a lot  
5 of new material to add on here, but I went and looked on the  
6 internet at what we could find, and I found this kind of  
7 generic statement in the DOE document about these  
8 microenvironments that could lead to nitrate reduction may  
9 exist in rock matrix. But, it's hard to capture by current  
10 analysis. Of course, what happens in the future is, and this  
11 is a direct quote in the future, as you heat things up, I  
12 don't mean above boiling, oxygen solubility depends very much  
13 on temperature, and it declines with temperature.

14           I think you can get anaerobic conditions along rock  
15 bolts adjacent to steel mesh, potential loss of inhibitory  
16 ions, and, so, just the question do current conditions really  
17 capture so much of the complex future?

18           Next slide. Drip shields. We said that drip  
19 shields are very important. It's important to protect the  
20 Alloy 22 from the salt on the roof. And, so, let's just do a  
21 little thought experiment. What happens is we put all the  
22 waste underground. We ventilate for 50 years, or whatever.  
23 And, meanwhile, a couple generations of people are being  
24 born. People have forgotten about Yucca Mountain. It's a  
25 footnote in the federal budget. And, then, all of a sudden,

1 the Secretary of Energy comes over knocking on Congress and  
2 saying, you know, that war we had on Mars, or that, you know,  
3 bridge in Ketchikan over to the airport that just got, you  
4 know, Grandpa Ted's--we can't do it, you know.

5           And, so, I'd just like to point out there's a  
6 dichotomy between licensing and risk. Licensing has to do  
7 with regulatory rules. That is, the drip shields will be put  
8 in the license. And, so, they count the licensing. But, if  
9 you're going to do risk, one has to look at what actually  
10 will occur. And, if one doesn't believe that they'll likely  
11 ever be there, then independent analysts looking at risk  
12 reduction has to look at the probability of risk reduction,  
13 even if the drip shields are there, and the probability that  
14 the drip shields are actually going to be there.

15           And, so, we've got this kind of difficult situation  
16 where we have something that works for licensing, but it  
17 really doesn't address risk, at least in my personal view.

18           Next slide. Assumed percolation rate. What we do  
19 is if we're to model the future, we assume that the  
20 percolation rate coming down the reposition will increase  
21 over time. And, those numbers are reasonable. They're right  
22 here. We have to make some kind of assumptions, and, so, we  
23 do, plausible arbitrary. What I'm trying to say, though, is  
24 that these predictions are important to the corrosion  
25 environment, and I think that not all corrosion people

1 understand that.

2           What happens is when infiltration increases over  
3 time, that tends to lead to higher relative humidity, tends  
4 to wash out the thermal period, to some extent. Past  
5 calculations have also underestimated drying processes, that  
6 is, axial transport in the drift, because of the stuff I  
7 showed you earlier.

8           Next slide. Alloy 22 corrosion issues are related  
9 mostly to concentrated solutions. That is, I've never heard  
10 anyone say that, well, a lot of--say we'll--the Alloy 22.  
11 And, that is what the issue of Alloy 22 is, it's very dry,  
12 hot environments that are crucial. And concentrated  
13 solutions are thermodynamically unstable at high relative  
14 humidity because they take on the water. And, so, high  
15 relative humidity protects against Alloy 22 corrosion.

16           So, models or assumptions that over estimate  
17 relative humidity under estimate the window of vulnerability  
18 for Alloy 22 corrosion. I think it's very important for us  
19 to cast a critical eye on anything that tends to increase the  
20 relative humidity in the repository.

21           Next slide. So, these are the conclusions. We  
22 studied the vapor for a very long time, and the last twenty  
23 years, what's happened is, at least close in, the direction  
24 of vapor transport has been reversed. I think I showed you  
25 the two pictures. I don't think this is really

1 controversial. You may hear it presented different ways, but  
2 project lines are also showing that. And, most people would  
3 think that it's easier to model the vapor than it is to model  
4 the chemistry. And, so, if we're switching on the vapor  
5 after all these years, how well do we know the chemistry.

6           Corrosion environment is dynamic, periodic. It's  
7 not static. Coupling of chemistry and hydrology is stronger  
8 than previously anticipated. There's going to be a lot of--  
9 but at least a high reliance on drip shields. And, I haven't  
10 seen a lot of corrosion testing under periodic conditions,  
11 cyclical conditions. And, so, I think we need to produce  
12 such data, or say that it won't be important, or show that  
13 George's predictions are wrong, the relative humidity won't  
14 cycle, the way we're doing it.

15           And, the other thing is, although I don't have time  
16 to show it, is if you cool down the repository, a lot of this  
17 cycling and difficult conditions tend to reduce the magnitude  
18 or vanish completely.

19           So, with that, there's one more slide. It's just a  
20 pretty picture. It's another one of my melting collections.  
21 You can see that it drips right here and down there. These  
22 are rock salt taken from mines in Carlsbad. So, I hate to  
23 see my collection go, but--

24           LATANISION: Okay, let's take some questions. Again, I  
25 think I'd like to begin the questions by asking the others

1 who have spoken before, John and others in the room, you've  
2 introduced something I hadn't heard before in our  
3 conversation, and that's the concept of a cyclical corrosion  
4 environment. Let's see, Roberto, what's your comment on  
5 that? This is in the spirit of a workshop and dialogue, so  
6 I'm going to ask some pointed questions. Roberto, what do  
7 you think?

8 PABALAN: I'm going to have to pass at this point.

9 LATANISION: That's not an acceptable answer. Come on.  
10 We have to think about this. This is a workshop.

11 PABALAN: I guess my question is in your conclusion  
12 slide that after twenty years, the direction of flow of vapor  
13 has reversed. And, you claim this is not controversial, and  
14 I guess my question is what is the response to this? Is this  
15 really the new model that's being accepted, that the thermal  
16 barrier and the capillary barrier doesn't work?

17 WALTON: I'm not saying the capillary barrier doesn't  
18 work. The capillary barrier is very strong. That capillary  
19 barrier is very strong. What we're saying is early on during  
20 the thermal period, you saw that two years old Bob Andrews  
21 slide, it's been shown it heats up. I mean, now, it goes in,  
22 and I've been told that the DOE models are now at least  
23 qualitatively showing the same thing, although it makes sense  
24 with George about the magnitude. You'll have to have  
25 somebody from DOE really comment on it. I'm just saying from

1 what I heard.

2 PABALAN: I want DOE to respond to that.

3 LATANISION: Let me just say before Ernie or Charles,  
4 whoever responds, I'm not trying to put people on the spot,  
5 but this is a workshop, and I really would like to have some  
6 conversation on issues that emerge. So, I would--Charles?

7 BRYAN: This is Charles Bryan.

8 I would respond a little bit on the amount of salt  
9 precipitated in the rocks. With respect to that aspect, our  
10 model predicts less. It predicts about 5 kilograms of salt  
11 precipitated over about 2,000 years. But, the amount of salt  
12 that's precipitated is neither--is small relative to the  
13 fracture volume in the dryout, around the repository. It  
14 won't be precipitated around the drift wall.

15 Also, with respect to that number, that 300 grams  
16 per liter of salt, regarding that, I want to say even at 20  
17 or 30 kilograms of salt, is small relative to the fracture  
18 volume in the dryout zone around the repository. It won't be  
19 precipitated on the drift wall.

20 Also, with respect to that, remember that 300 grams  
21 per liter of salt would dissolve in water. So, it only takes  
22 50 to 100 liters of water to wash away 20 kilograms of salt.  
23 It's a transient, the salt really is transient. Once  
24 rewetting occurs, the salt is removed quite rapidly.

25 Finally, under conditions when salt separation will

1 occur in the rock, the temperature on the waste package  
2 surface is hotter and salt separate will occur on the waste  
3 package surface. It will tend to our model to that degree,  
4 that if it's going to occur in the rock, it will occur on the  
5 waste package surface, and we will predict that it occurs on  
6 the waste package surface, and implement localized corrosion.

7 LATANISION: Maury or Don, do you have a comment?

8 SHETTEL: Don Shettel. I'd like to know the basis for  
9 why you think the capillary barrier is strong.

10 WALTON: First of all, I'd like to say that the salt  
11 members that I showed were chloride, not total salts,  
12 chloride. So, that's the mass of chloride we're predicting.  
13 The total mass of salt is much greater. But, nonetheless, I  
14 do agree that it doesn't, in general, clog the pore space,  
15 locally, but not on the bulk. And, we also agree that once  
16 you get out there a few thousand years and start rewetting,  
17 you can just look at our figure, we kind of made the salts  
18 disappear. So, we agree that, you know, this is an issue  
19 where the window of--it's a few thousand year issue, and  
20 after that, they wash away. So, that we agree on, although  
21 our numbers are much higher because the numbers I showed you  
22 were just chloride only.

23 SHETTEL: My question was on the capillary barrier.

24 WALTON: Oh, the capillary barrier? Well, the capillary  
25 barrier, what happens is is that in George's model, what he

1 shows is a very strong capillary barrier. Once you get out  
2 past the thermal period, the water tends to stay out of the  
3 drifts in his model, and he sees a drift shadow effect. And,  
4 so, why we haven't made a big deal of it, we think very  
5 strongly that that will be a long-term effect that will help  
6 performance of the repository.

7         SHETTEL: Doesn't the ground support affect the  
8 capillary barrier?

9         WALTON: I don't know. The capillary barrier, what I'm  
10 talking about is when you get capillary flow in the rocks,  
11 you've got the barrier when you hit the rock interface.  
12 That's different from this--

13         SHETTEL: There's ground support between the wall rock  
14 and the mined opening, and that ground support could affect  
15 the capillary barrier. Nobody seems to recognize that.

16         WALTON: We haven't looked at it. My sense is that it  
17 would not affect the capillary barrier. I don't see why it  
18 would. But, I haven't looked at it, frankly.

19         SHETTEL: Well, you have an impermeable sheet of metal  
20 with slots in it that's touching the rock. I don't see how  
21 that doesn't affect the capillary barrier.

22         WALTON: Well, because the capillary barrier has to do  
23 with what goes from small pores to large pores, tends to stay  
24 in the small pores.

25         SHETTEL: But, if the sheet of metal is touching the

1 rock, you have a capillary contact there, and that  
2 compromises the barrier if it weren't there.

3       WALTON: I disagree.

4       LATANISION: Use the microphone, and state your name,  
5 please.

6       GOPAL DE: My name is Gopal De. I work for RPC on the  
7 project.

8               This capillarity, if dissolution has got too much  
9 salt absorbed in it, then the surface tension will increase,  
10 and surface tension will reduce the wettability.

11 Consequently, the solution, even if the solution contacts the  
12 alloy. Still, there will be--because it is not wetting. The  
13 wettability is a very important parameter in the solution,  
14 and the metal has to come and interface, contacting, wetting.

15       WALTON: I couldn't make a lot of that out, but--

16       LATANISION: The first comment was the surface tension  
17 would increase and that would affect wettability. What I  
18 didn't hear was why would the surface tension change.

19       GOPAL DE: Because not too much salt concentration in  
20 the solution.

21       WALTON: In general, salt will increase surface tension,  
22 and helps keep things in the rock, but at the same time,  
23 increases density, and that would tend to make--the drift,  
24 and I think during this thermal period, that all this  
25 fluctuation relative humidity and the transient flow, once

1 that's--with the deliquescence, would make dripping more  
2 likely. But, I think Don's comment was more, as I understood  
3 it, was more after the thermal period where we see this  
4 capillary effect. And, so, we see a very strong capillary  
5 effect after the thermal period. During the thermal period,  
6 I think it's extremely complicated, and no one really knows  
7 exactly what will happen.

8       SHETTEL: Don Shettel again. It certainly could affect  
9 after the thermal period, but if you have episodic flow of  
10 water before or during the thermal period, and the capillary  
11 barrier is compromised, then you could have dripping during  
12 the hot period.

13       WALTON: Yeah, I agree with that.

14       SHETTEL: Where does the salt go when you wash it away?

15       WALTON: Well, what happens is is that you've got all  
16 the salt up there, and then you've got this fluctuation to  
17 the relative humidity, and so deliquescent dryout, and you  
18 see the extremely complicated system that I don't think we  
19 have the capability to accurately model right now, so we  
20 don't really know. But, then what happens is is it cools  
21 off, the water percolating down comes in and starts to vary  
22 my capillary action, not my thermal process, capillary action  
23 around the drifts, and that water would pick up any dissolved  
24 salts and remove them, flush them out. And, so, in the long  
25 run, these salts would be flushed out. But, I think mostly,

1 they're an issue for corrosion, and by then, the corrosion  
2 window is pretty--when it cools off.

3 SHETTEL: That depends on how good your capillary  
4 barrier is.

5 LATANISION: We had a hand up here, and then I'll come  
6 back.

7 KING: Fraser King, consultant to EPRI.

8 I have a couple questions or comments about the  
9 dynamic vapor with the variations in barometric pressure.  
10 This siting between the deliquescence and the efflorescence,  
11 that will only occur for a relatively short period of time,  
12 sort of a cusp of deliquescence, or as the temperature is  
13 dropping and the relative humidity is increasing. That's  
14 only going to take effect for a relatively short period of  
15 time.

16 WALTON: Well, Nye County is a small shop, so we haven't  
17 been able to try to evaluate that yet. If you look at some  
18 of those fluctuations, they're like 30, 40 percent relative  
19 humidity at some points in time. And, so, I think that  
20 condition could last, you know, a few hundred years in  
21 periods like that. But, it is a transient thing, and will  
22 go--you know, it gets wetter a little bit, it gets wet more  
23 and more and more, until it's completely wet, and just  
24 cycling the concentration.

25 KING: So, when do you get onto that period when you're

1 cycling the concentration? If the parameter would concern  
2 the localized corrosion is the ratio of nitrate to chloride,  
3 cycling the volume of water isn't going to affect that ratio.  
4 So, that ratio will be relatively--so, the overall  
5 concentration will change. The ratio will be the same.

6       WALTON: The ratio will not necessarily be the same  
7 because what happens is is that the experiments then dries  
8 out, you could theoretically get flow separation of the  
9 nitrate and chloride. But, we really haven't processed that  
10 to see if it's likely to occur under those conditions or not.  
11 So, I would just have to say I don't know. I don't assume  
12 that it would stay mixed, but it may.

13       LATANISION: Let's see, we had two hands. Thure and  
14 then Howard. Go ahead.

15       CERLING: Yeah, I would still like to come back to the  
16 issue of vapor flowing into the drift versus the other  
17 direction, because I just find it hard to understand how we  
18 can have lower humidity if we have all the vapor flowing into  
19 the drift. So, there's an incompatibility with some of the  
20 presentations.

21       WALTON: Yeah, if you go back to that slide that showed  
22 the vapor pressing water towards the end, that's a good  
23 question. It takes a while to explain it properly. I'll try  
24 to give you the short answer, because it is quite confusing.  
25 What happens is if you look back, I guess, the one right

1 after vapor--there, that one. What's real confusing is it's  
2 hotter in the middle of the drift than it is at the edges,  
3 and also, the relative humidity in the middle of the drift is  
4 drier, lower than it is at the edges. Okay? So, why doesn't  
5 water go from 100 percent relative humidity at the edges,  
6 into the lower relative humidity in the center? That's one  
7 way of stating the question. So, why is it not going the  
8 opposite direction?

9           So, what happens is is it has to do with the non-  
10 linearity and the vapor pressure curve, because it's hotter  
11 in the middle of the drifts, even though the relative  
12 humidity is lower, the humidity, the vapor pressure water is  
13 greater in the middle of the drifts than it is at the edges.  
14 And, that's what drives the transport along the drift, and  
15 it's quite confusing. Perhaps someone here can do a better  
16 job explaining than I can. George Hornberger would probably  
17 do a better job than I could explaining it. But, that's the  
18 essence of it. It has to do with the barometric pressure  
19 curve, in which you can have low relative humidity in the  
20 middle, and yet have a higher vapor pressure than you do at  
21 the edge because of the temperature gradient.

22           And, then, the permeability is so high in the  
23 drifts, you get very, very rapid transport. And, what's  
24 happened is early on when we modelled Yucca Mountain, we did  
25 these 2-D slice models, because that's all we had available,

1 and we kind of like didn't let things run down the drift, and  
2 George had been very big about letting things move down the  
3 drift. So, I hope that helps.

4 LATANISION: Howard?

5 ARNOLD: Arnold, Board.

6 You caught my attention with the short times, the  
7 fluctuations.

8 WALTON: Sure.

9 ARNOLD: You're right in that some of the driving forces  
10 have short time periods. But, has anybody done an actual  
11 dynamic analysis that includes the equivalent of the inertia  
12 terms and the damping terms that you'd have to do to get a  
13 real answer on whether it fluctuates like that?

14 WALTON: Well, I don't have a real good answer for you  
15 because this, of course, George Danko has done this modeling.  
16 The USGS has definitely looked at the barometric pressure  
17 and has done the analysis and done some publications, which  
18 they could send you. But, look at this question, how long  
19 does the pressure take to get down there, what fraction of it  
20 makes it all the way down to particular millibars. What  
21 George Danko did to model this is said let's assume the  
22 pressure really gets down to the repository, he assumed a  
23 thousand millibar shift, 1 percent change, and then said  
24 okay, now we'll model this flow in and out of the rock and  
25 see what it does to relative humidity.

1           ARNOLD: The actual time constants involved?

2           WALTON: What George did was he assumed a--I think he  
3 did a heavy side step function, or something. I'd have to go  
4 back. He posted it on his model.

5           ARNOLD: I don't pretend to know the answer, but what  
6 I'm saying is if you take a series of steady states, you  
7 don't get the right answer.

8           WALTON: Well, no, we don't take a series of steady  
9 states. What he does is he runs his model transient in the  
10 drift, and he imposes an arbitrary change in barometric  
11 pressure and saw what that did to the relative humidity. I'd  
12 be quite up front. This is new material. George has been  
13 predicting this. I haven't seen anybody else predict it. I  
14 think it a really important question. That's why we present  
15 it, and I'd like to see answers.

16          ARNOLD: Yeah, me, too. Thank you.

17          LATANISION: We'll take a couple more. Ernie?

18          HARDIN: Yes, Hardin, Sandia.

19                 I could try to answer that question. The modeling  
20 group at Livermore has coated up enough to run on a parallel  
21 super-computer, and has done some 50 year and 100 year  
22 simulations of the type of phenomenology you're talking  
23 about. However, the work they've done so far hasn't applied  
24 the barometric fluctuation at the ground surface. Now, there  
25 are analytical solutions for the attenuation of the amplitude

1 of the periodic surface pressure signal at depth. However,  
2 you've got to go to a more impedance matching or finite  
3 discretization scheme in order to accommodate the effect of  
4 the large open void storage volume, which is the drift and  
5 its associated tunnels.

6           And, the other thing that the approaches that we're  
7 talking about here haven't taken into account yet is the  
8 attenuation of the pressure signal that you get when you try  
9 to move the gas phase total pressure front through a region  
10 where the gas phase is already at a state of condensing  
11 humidity. So, these are, I guess you could say these are  
12 research topics that, in sum total, I think tend to attenuate  
13 the phenomenology we're talking about.

14       LATANISION: Okay, last question?

15       YANG: Yang from the Center, CNWRA.

16           The first bullet in this, vapor transport driving  
17 force is the vapor pressure. Does that include or take  
18 account of the known thermal condition?

19       WALTON: Yes. If I understand your question right, what  
20 George does is he has enough embedded into his code, and so  
21 he has a full simulation of the temperature and vapor  
22 pressure in the rock, and then he applies this barometric  
23 pressure fluctuation on top of it, and sees what happens.  
24 So, it does consider what we think happens in the rock pretty  
25 completely.

1           LATANISION: I lied, I guess I'm going to ask the last  
2 question. There's clearly evidence of efflorescence and  
3 deliquescence. There's no question that they can occur under  
4 certain circumstances. But, is there physical evidence of  
5 the cyclic appearance of both phenomenon in such a short time  
6 constant in geological terms?

7           WALTON: Excellent question, and I don't know. I mean,  
8 George came up with these predictions, and it's the first  
9 I've heard of it. So, it's an excellent question, but I  
10 don't know.

11          LATANISION: Okay. I lied twice. Maury is going to  
12 have the last question.

13          MORGENSTEIN: I'd like to speak to that. My guess is  
14 there isn't on the basis that we currently don't have  
15 chronology that could take a look at short-term, we'd have to  
16 actually observe it.

17          LATANISION: Yeah, that's what I was asking.

18          WALTON: Well, the other thing I forgot to say, though,  
19 is is that if you look at the predictions, is what George  
20 says is this occurs at elevated temperatures. He doesn't  
21 predict it to occur at room temperature. It's predicted to  
22 occur in the hot repository. And, so, you have to have very  
23 special circumstances to see this.

24          LATANISION: Okay. All right, let's move on. Randy?  
25 We'll get an EP review at this point.

1           ARTHUR: Good afternoon. My name is Randy Arthur. I'm  
2 going to be discussing today some of the EPRI-sponsored  
3 studies on the evolution of environments at Yucca Mountain.  
4 I'd like to acknowledge my co-presenters and co-authors on  
5 this effort. Mike Stenhouse, Don Langmuir, Fraser King, Mick  
6 Apted, and John Kessler.

7           Next slide. What I'd like to do first of all is to  
8 add some focus, or to present some focus about what I'll be  
9 discussing this afternoon. And, the focus really has to do  
10 with the first of the panel discussion questions, and that is  
11 basically are the data, understanding and models sufficient  
12 to bound potential environments that will exist on waste  
13 package surfaces, and are they adequate from a corrosion  
14 standpoint. So, this is the first major thing in question  
15 that we'll be discussing, or focusing on today.

16           The second aspect, or the related aspect of that  
17 question is the possible dust deliquescence scenario, and  
18 what I'll be discussing in relation to that, in particular,  
19 is the soluble salts that are initially assumed to be present  
20 in repository dusts.

21           Next slide, please. These are the topics that I'll  
22 touch on briefly in the discussion. First of all, I'd like  
23 to discuss what about the importance of dust mineralogy, why  
24 is it important. Secondly, I'll discuss some of DOE's  
25 geochemical modeling approach that has been used to bound

1 dust mineralogy. Third aspect or topic that I will discuss  
2 is in EPRI's alternative model. Also, the next point is I'll  
3 discuss some tests of model predictions, and then wind up the  
4 discussion with some concluding remarks.

5           So, the first topic then is why is dust mineralogy  
6 important? Why do we care about this?

7           Next slide. I believe that to put this in some  
8 sort of context, we need to go back to this decision tree  
9 that DOE has developed for FEP screening. That is portrayed  
10 schematically here. They consist of a series of questions.  
11 Can multi-salt deliquescent brines form at elevated  
12 temperature? If they form at elevated temperature, will they  
13 persist? If they persist, will they be corrosive? If the  
14 potentially corrosive brines form, will they initiate  
15 localized corrosion? And, once initiated, will localized  
16 corrosion penetrate the waste package outer barrier.

17           Now, each of the questions, or all of the questions  
18 have to be answered yes in order for a dust deliquescence  
19 scenario to be screened in to perform this assessment. If  
20 any one of the questions is answered no, then a dust  
21 deliquescence scenario can be screened out of Total System  
22 Performance Assessment.

23           Next slide. Now, with this background in mind, why  
24 is dust mineralogy important in this context? And, I think  
25 that the point that I'd like to make is that this screening

1 actually starts with an assumption, and that assumption is  
2 that one of three possible salt assemblages will exist in the  
3 dust in the repository on waste package surfaces before the  
4 surfaces are actually heated up. So, the first aspect of  
5 this is that this assumption has to apply. We have three  
6 different salt assemblages, A, B and C. You can see what the  
7 salts are here. This assumption is made before the screening  
8 process is actually entered into. So, it's a top level  
9 initial assumption that underpins the entire FEP screening  
10 process. That's why it's important.

11           Can I have the next one, please. So, given the  
12 fact that the dust mineralogy is very important, then the  
13 question naturally arises are these initial salt assemblages,  
14 A, B, and C, reasonably bounding. Now, our position, EPRI's  
15 position is that the answer to this question is actually no,  
16 they're not reasonably bounding. The reasons for this is,  
17 first of all, that the point has to be made that there is, as  
18 far as we are aware, a complete lack of analytical data  
19 actually characterizing the soluble-salt mineralogy of  
20 repository dust.

21           In addition to that, these assemblages, A, B, and  
22 C, are actually inferred assemblages, based on geochemical  
23 modeling. So, we have no data characterizing the dust  
24 mineralogy. We have geochemical inferences. Now, our  
25 position is that the model appears to be unrealistic in the

1 sense that with respect to the mass transfer of all relevant  
2 gases in the system. And, finally, we think that the more  
3 realistic assemblages would be much less deliquescent. So,  
4 this is basically what our conclusions are, and now what I'd  
5 like to discuss is the basis for these conclusions.

6           Next slide, please. The first aspect of this  
7 discussion then has to do with DOE's evaporation model. I'd  
8 like to spend a few minutes on this.

9           Next, please. An overview of the model is shown  
10 here. DOE starts with 54 leachates from dust samples that  
11 were collected at various locations in the Exploratory  
12 Studies Facility. The leachate from each of these samples  
13 was in--the evaporation of the leachate was simulated, at 25  
14 degrees, one bar total pressure, and atmospheric PCO2 levels.

15           The simulations were carried out using DOE's in-  
16 drift precipitants and salt models. The model was evaluated  
17 using EQ3/6, Version Number 8, and a high-temperature Pitzer  
18 thermodynamic database that is shown here.

19           Next one, please. This is a conceptual model, as  
20 we understand it, of DOE's approach. Basically, you can  
21 imagine a glass of water continuing to leachate. The system  
22 is assumed to evaporate. That is, water and vapor is free to  
23 leave the liquid phase. The relative humidity is assumed to  
24 be low enough that it's an irreversible process, continuous  
25 evolution of water from the liquid to a gas. At the same

1 time, carbon dioxide, the partial pressure of carbon dioxide  
2 is assumed to be fixed as an equilibrium constraint, the  
3 value is fixed at atmospheric values. As evaporation  
4 proceeds and continues, the solution becomes progressively  
5 more concentrated. Eventually, it reaches, the solution  
6 reaches saturation with respect to a number of salts, and the  
7 salts then precipitate. This is a conceptual model.

8           Now, there are a number of approximations that are  
9 made in this model. First of all, as DOE acknowledges, the  
10 ESF dusts may not be totally representative of dusts that  
11 will exist on waste package surfaces. These dusts are mostly  
12 crushed tuff with only a very small amount of soluble salts.  
13 In comparison, wind-blown dusts, which will be brought into  
14 the repository during the ventilation period, will have a  
15 higher soluble salt content, and they will also have a quite  
16 different composition.

17           And, in connection with this point up here is some  
18 recent data presented by DOE and as discussed earlier by  
19 Charles, suggesting that much of the nitrate in tunnel dust  
20 leachates is produced actually by the dissolution of ammonium  
21 salts. The point being that if ammonium salts initially  
22 exists in the repository dust, they will tend to decompose  
23 with increasing temperature, or sublime and will  
24 effectively be lost from the dust at the time when they are  
25 exposed to high temperatures.

1           So, for that reason, DOE believes that these ESF  
2 dusts still represent a viable approach to bounding the  
3 mineralogy of dusts that will exist in the repository.  
4 Basically, any ammonium salts will be lost from the system as  
5 the temperature increases.

6           Another important point to make is that the model  
7 itself is based on equilibrium, and the equilibrium  
8 mineralogy is considered by DOE to be an end member case of  
9 what is probably actually in reality a mechanical mixture of  
10 dust from a variety of different sources.

11           Next one, please. These are the results of DOE's  
12 modeling. This is just a fairly simple histogram showing a  
13 number of salts that are considered in the models. There are  
14 numbers. The results of the modeling show that there is a  
15 distribution of salt and non-salt minerals that are produced  
16 by evaporation of the tunnel dust leachates. There are 17  
17 unique assemblages of salts, each assemblage containing ten  
18 different minerals. And, you can see how these are  
19 distributed in the histogram.

20           Now, the main point is is a fairly complicated  
21 result is then abstracted by DOE based on groupings among the  
22 most deliquescent salts in those assemblages, and that is how  
23 these three different assemblages, A, B, and C, are  
24 identified and used.

25           Next slide, please. Now, what I'd like to discuss

1 is EPRI's alternative approach, or alternative model, to  
2 DOE's model.

3           Next one. This is a schematic view or a conceptual  
4 view of what the differences are. Now, what we have done is  
5 to take our assumptions about what actually is in DOE's  
6 model, and try to develop a separate model called EPRI-1.  
7 The objective here is to confirm our own understanding about  
8 what DOE has done in their evaporation simulations.

9           Now, an alternative to this model is shown here  
10 with the EPRI-2 model. The key difference, the only  
11 difference in fact is in this model, the EPRI-2 model, we  
12 assumed that other acid gases are free to leave the liquid  
13 phase and enter the gas phase. The system is open with  
14 respect to all gases that can be adsorbed from the liquid to  
15 the gas, not only with respect to carbon dioxide. That's the  
16 key difference.

17           Next one. This is a diagram showing the results of  
18 our model. I'd like to point out first of all that nitrate  
19 salts are not predicted in the EPRI-2 model, the one that is  
20 open with respect to all gases.

21           This is an example of our results for the so-called  
22 P07 leachates that were considered by DOE. These are the  
23 ones that produce Assemblage C in the DOE or EPRI-1 models.  
24 Assemblage C being the ones that contain most of the four--  
25 it's the four salts system that contains three nitrate salts,

1 very highly deliquescent.

2            Basically, this diagram shows, as represented by  
3 bars, if the mineral is present, it's represented by a bar,  
4 if it's absent, there is no representation of that. The main  
5 point to take away from this is that the DOE and EPRI-1  
6 models agree exactly. All of the minerals predicted in DOE's  
7 model are also predicted in our assumption of what that model  
8 is.

9            The EPRI-2 model, on the other hand, predicts a  
10 quite different salt assemblage. Some of the minerals are  
11 the same, for example, calcite, sepiolite and amorphous silica  
12 (phonetic). Others are very different. In our model, the  
13 EPRI-2 model, glauberite and arcanite are predicted  
14 precipitate, as well as syngenite and thenardite. These are  
15 sulfate minerals, and carbonate minerals. They are not  
16 nitrate minerals. The EPRI-2 model does not predict that any  
17 nitrate minerals would form as a result of evaporation.

18            Next slide, please. The next slide is exactly--  
19 it's a different example focusing on the so-called P14  
20 leachates, which are important because they produce  
21 Assemblage B in the DOE and EPRI-1 models. It's the same  
22 kind of a diagram, the same conclusion applies. Nitrate  
23 salts are not predicted in the EPRI-2 model. The ones that  
24 are predicted in the EPRI-2 model are sulfate salts and  
25 carbonate salts.

1           Next slide, please. Now, the key point of the  
2 differences, I think, in these two modeling approaches are  
3 two different conceptual models, the consequences on the  
4 relative humidities predicted at the eutectic, or so-called  
5 dryout point, after all the liquid phase is gone. This is a  
6 comparison of the two models, looking at the relative  
7 humidity for a variety of leachate categories. P07, as we  
8 discussed, is the most highly deliquescent one. P14, P22 and  
9 S82c produce the Assemblage B salts.

10           Now, the DOE and EPRI-1 models predict very  
11 strongly deliquescent solutions, very low relative  
12 humidities. The EPRI-2 model, in contrast, predicts much  
13 higher relative humidities, indicating that the salts  
14 predicted in this model are much less deliquescent.

15           Now, the relative humidities here would translate  
16 into lower temperatures, as the salts are heated up on the  
17 surface of the waste package. So, for example, if we have  
18 deliquescence of these kinds of salts at temperatures  
19 exceeding, say, 190 degrees celsius, the corresponding  
20 temperature for the EPRI-2 salts would only be slightly above  
21 boiling. It would be on the order of 100 to 105 degrees  
22 celsius. So, the consequences are very important. They  
23 predict much lower temperatures in this model as compared to  
24 that model.

25           Next slide. So, just a summary of what I just

1 said. We believe that equilibrium constraints on gas partial  
2 pressures will have a very strong effect on the mineralogy  
3 that is predicted for these evaporated dust leachates.

4           There are significant mineralogical differences  
5 that are predicted by these two different assumptions.  
6 Nitrate salts are predicted to precipitate in the DOE and  
7 EPRI-1 models. The nitrate salts do not precipitate in the  
8 EPRI-2 model. And, as a consequence, the EPRI-2 models would  
9 be much less deliquescent. We believe that the EPRI-2 model  
10 is more realistic. It makes sense to us that consistent with  
11 respect to all gases, not just with respect to CO<sub>2</sub>, it's  
12 difficult to imagine any kind of physical or chemical system  
13 that would be selective with respect to the open or closed  
14 system nature of acid gas volatilization.

15           Next slide. Now, what we'd like to do at this  
16 point is make some tests. We have a test, I think, of these  
17 various modeling approaches, so, I'd like to discuss that  
18 now.

19           Next slide. This test is based on a USGS study on  
20 evaporation of tunnel-dust leachates. This study has been  
21 presented to the Board before in the 2004 meetings. It's  
22 also described in Appendix E of this new report. It  
23 provides, this study that I'll discuss now, provides a basis  
24 for an evaluation of the evaporation model predictions.  
25 However, the study itself is not a natural characterization

1 of dust that actually exists in the dust. However, it is a  
2 model that we can use to test these model predictions.

3           Now, just briefly, what is involved in this study,  
4 five different dust samples were obtained by vacuum sampling  
5 of dust at various locations in the ESF. The dust samples  
6 were immersed in deionized water for about an hour. The  
7 leachates were separated from the remaining solids, and the  
8 samples were analyzed for major cations and anions.

9           The leachates were then evaporated to dryness at  
10 room temperature. The minerals that were precipitated as a  
11 result of evaporation were then identified by x-ray  
12 diffraction.

13           Next slide. This is the result of a study. The  
14 main point to be taken away from this result I think is the  
15 fact that no nitrate minerals are detected in this XRD study.  
16 What are observed, actually, chloride salts, halite and sal  
17 ammoniac, and ammonium salt, sulfate, a variety of sulfate  
18 minerals, and a phosphate. But, we don't see in this study  
19 any evidence for the existence of these nitrate salts, which  
20 are the real drivers for these very low deliquescent systems.

21           Next slide, please. Now, there's a number of  
22 discrepancies in both of the models that I discussed, the  
23 EPRI-1 model, as well as the EPR-2 model, and the DOE models.  
24 There is a number of them that I point out here. But,  
25 neither of these models compare exactly with the USGS

1 results. A very important, I think, point to make is that  
2 neither model predicts what is observed experimentally.

3           Ammonium salts are not present in these models, and  
4 the reason for that is quite obvious. Ammonium as well as  
5 total carbonate and pH were not included in the original  
6 leachate analyses. So, it's a fairly simple explanation for  
7 the discrepancy.

8           On the other hand, there are some other  
9 discrepancies that are much more difficult to explain. Two  
10 of the ones that are most important I think to mention is the  
11 fact that nitrate salts that are predicted in the DOE and  
12 EPRI-1 models, but not in the EPRI-2 assemblages, and are not  
13 detected by x-ray diffraction.

14           On the other hand, halite is not predicted in the  
15 EPRI-2 assemblages, but it is predicted in DOE and EPRI-1  
16 assemblages, however, it is detected in all of the XRD  
17 analyses. So, there are some very fundamental differences  
18 between the model predictions and what is actually observed.

19           Could I have the next slide, please? So, those are  
20 the differences. What I'd like to focus on here just briefly  
21 is make some comments about this apparent absence of nitrate  
22 salts in the USGS assemblages.

23           It could be argued, for example, that the nitrate  
24 salts were present, but that they were below the detection  
25 limit of XRD, which is on the order of 1 to 5 volume percent.

1 We believe this is not the case, however, because if you  
2 look at the modeling results, niter and soda niter, the  
3 nitrate minerals, are predicted to be present in abundances  
4 that are comparable to halite. Halite was detected by XRD.  
5 The nitrate salts should have been detected by XRD if they  
6 were present in these kinds of concentrations.

7           The second point I'd like to make in regard to this  
8 question about the nitrate salts and their absence is if we  
9 look at the dehydration equilibria involving the minerals  
10 gypsum and anhydrite, for gypsum to be found, or to be  
11 stable, the relative humidity would have to be greater than  
12 about 79 percent. Now, this relative humidity is much higher  
13 than the relative humidities that are required to stabilize  
14 the nitrate salts. And, so, this is further evidence that  
15 the nitrate salts were not present in the experimentally  
16 evaporated mineral assemblages. Two points indicating,  
17 again, that there is very little--that there is no evidence  
18 for nitrate salts being present in these experiments.

19           Next slide, please. So, a summary then of this  
20 test of comparisons between the model predictions and  
21 experimental results, the first point I'll make is that the  
22 relevant experimental data are very limited. And, so, any  
23 conclusions that I am making today are very provisional.  
24 But, what I think we can say at this point is that there are  
25 very important discrepancies between the experimental

1 observations and both of the evaporation models that we have  
2 evaluated, both the DOE/EPRI-1 and EPRI-2 models.

3           Some of the discrepancies are fairly easy to  
4 explain. The lack of ammonium in leachate analyses clearly  
5 is a reason why we don't predict any kind of ammonium salts.  
6 Other discrepancies are much more difficult to explain. The  
7 chief one being that assemblages, the nitrate salts, and  
8 assemblages A, B, and C are not observed in these  
9 experiments, although they are predicted by DOE, but not by  
10 the EPRI-2 model.

11           Next slide, please. So, this is my last slide.  
12 This is a summary and concluding remarks about what I have  
13 just discussed. The points are basically that DOE is using a  
14 geochemical model to infer the existence of these key salt  
15 assemblages that are driving the entire FEP screening  
16 process. These are inferences. They are good inferences in  
17 one sense because they are used by DOE to conservatively over  
18 estimate the maximum temperature at which a deliquescent  
19 brine could possibly form on waste package surfaces. So,  
20 it's a conservative inference.

21           It's EPRI's position, however, that these  
22 assemblages are probably, or may be unnecessarily  
23 conservative because the evaporation model that is used to  
24 define them is based on a model that appears to be overly  
25 simplified with respect to acid-gas degassing.

1           In addition to this sort of modeling discussion,  
2 there are two important points I think that should be made.  
3 First of all, nitrate salts have not been detected in the  
4 experimentally evaporated leachates. This appears to  
5 contradict the results of DOE's model, suggesting that these  
6 nitrate salts are key assemblages comprising A, B, and C. A  
7 further point that is very important I think is the fact that  
8 as far as we are aware, there has been no direct  
9 determination of the soluble salt and mineralogy in  
10 repository dusts.

11           And, finally, I think it's important also to state  
12 that EPRI concurs with DOE that other factors, which are not  
13 addressed here, but will be discussed by Fraser King  
14 tomorrow, would mitigate the persistence and the corrosivity  
15 of any deliquescent brines that might be assumed to form in  
16 the in-drift environment.

17           That's my presentation. Thank you.

18           LATANISION: Okay, let's take some questions. Again,  
19 I'm going to ask the first one, seeing no hands up. I did  
20 give you a chance to raise your hands. That's the reality.

21           That seems to be a very important conclusion, the  
22 nitrate conclusion. They have not been detected, which  
23 appears to contradict DOE's inference. So, what is that  
24 saying about the inhibiting behavior of nitrates in this  
25 circumstance?

1           ARTHUR: That's the key question, I think. I think that  
2 there are two basic sort of countervailing portions. If you  
3 have no nitrate present in the salts, then the assemblages  
4 will be much less deliquescent, that is, they would  
5 deliquesce at a much lower temperature.

6           LATANISION: Yes.

7           ARTHUR: So, they would tend to inhibit the initiation  
8 of localized corrosion from a temperature point.

9           LATANISION: Right.

10          ARTHUR: On the other hand, if the nitrate salts were  
11 present, that would cause the temperature at which  
12 deliquescence could occur to be much higher. But, then,  
13 nitrates are present, which would tend to inhibit corrosion.

14          LATANISION: I see where you're going. Dave Duquette?

15          DUQUETTE: Duquette, Board.

16                 Go back to Slide 7, please. I think that answer of  
17 "no" is an interesting conclusion that you arrived at, given  
18 the fact that your first sub-bullet says that you don't have  
19 enough analytical data to characterize the soluble-salt  
20 mineralogy of plausible repository dusts. I'm not sure how  
21 those two tie with each other. If you're going to say that  
22 answer is no with a big capital "no" in red, and, then,  
23 indicate you don't know what the dust is, I'm not sure how  
24 you can make that conclusion. That's the first comment.

25          ARTHUR: I think that the question addresses whether or

1 not these salts are reasonably bounding, and our answer to  
2 that question is no. And, the reason we say that is because  
3 these models that have been used to predict the salt  
4 assemblages are not realistic, in our view. The earliest  
5 models will predict salt assemblages that are less  
6 deliquescent, and, so, for that reason, they are not  
7 reasonably bounded. They are certainly bounding in the sense  
8 that you could have very high temperatures. But, if you have  
9 a more realistic model of evaporation, we think that a  
10 reasonable bound would be assemblages that are much less  
11 deliquescent.

12 LATANISION: Charles?

13 BRYAN: Can we turn to Slide 10, please?

14 Let me see if I can clarify the conceptual model  
15 here. What this is based upon are less leachate  
16 compositions. In other words, a fraction of the dust, a  
17 gram, whatever, was taken and is dissolved in water, reacted  
18 with water. The soluble materials were drawn off. And, that  
19 was what we had to start with, was dust leachate  
20 compositions. Now, there is nitrate present in the leachate  
21 compositions, which presumably came from the dust that was  
22 leached. The presence of nitrate in the liquid shows that  
23 nitrate was present in the dust. Now, there is no doubt that  
24 nitrate salts were present.

25 Now, what we did here with this particular model

1 was we took the leachate and we attempted to derive what the  
2 salts were that were actually present in the dust by drying  
3 it out, because we didn't have bicarbonate data or pH data,  
4 we assumed equilibrium and CO<sub>2</sub> in the atmosphere, 10<sup>-3.5</sup>. We  
5 dried it out, and we ended up with a set of chloride and  
6 nitrate minerals which were the eutectic composition. We  
7 assumed that those were then the deliquescent minerals that  
8 are present.

9           Now, nitrate minerals had to be present, because  
10 there was nitrate present in the leachate. Now, your  
11 analysis in which you allow acid gassing to occur is more  
12 relevant with respect to what would happen if a brine formed  
13 on the surface and it completely degassed and equilibrium--  
14 and the degassing was fast enough for equilibrium to be  
15 constantly maintained. In that case, eventually all of the  
16 anionic species would degas and you would end up with nothing  
17 but a carbonate brine, or if you didn't allow a sulfuric acid  
18 to degas, then a carbonate sulfate would form.

19           So, that's kind of what your model predicts would  
20 be the end case, if complete degassing occurred, and there  
21 was no background concentration, and no minerals precipitated  
22 which buffered the composition of the brine at some point.

23           But, with respect to the salt minerals that are  
24 initially present in the dust, you wouldn't want degassing to  
25 occur because all you're doing is trying to dry out, to

1 concentrate what's in that leachate to the initial eutectic  
2 mineral assemblage. There is no opportunity to absorb acid  
3 degasses when that leaching process occurred. So, allowing  
4 acid degassing to occur when you reverse that process would  
5 be incorrect.

6         ARTHUR: Well, I'm not quite sure I understand your  
7 question. But, I think that what we're trying to show here  
8 is the fact that--it has nothing really to do with whether or  
9 not degassing occurs in the repository. This is a conceptual  
10 model that is used to define these three key salt  
11 assemblages.

12                 Now, the model is based on a series of assumptions.  
13 The assumptions, as far as we can tell, allow for CO<sub>2</sub> to  
14 equilibrate with a liquid phase, and not with respect to the  
15 gases. Now, these other gases, if they are allowed in the  
16 model to degas, to be open with respect to those gases, then  
17 we see a different mineral assemblage.

18                 And, so, the question, what's realistic for the  
19 repository, is what mineral assemblages are actually used in  
20 this FEP screening procedure.

21         BRYAN: Again, the process of evaporating the leachate  
22 is merely intended to concentrate the leachate back to the  
23 initial precipitated salts. The final salt assemblage must  
24 reflect the composition, the entire composition of the  
25 leachate.

1           ARTHUR: Yes, I agree with what you saw. And, where I  
2 differ with you, however, is whether or not these three salt  
3 or four salt systems are actually represented at the site.  
4 There's no doubt that there's nitrate in the salts, in the  
5 dust, but the question is not whether or not there's nitrate  
6 there, but what is the actual mineral assemblage, is very  
7 important, and that's what drives the deliquescence.

8           BRYAN: And, again, I didn't make this point in my  
9 presentation. Our mineral assemblages are based upon the  
10 tunnel dust samples and leachates. However, the same mineral  
11 assemblages control the eutectic and the atmospheric samples.  
12 Those mineral assemblages are very robust. It has to do  
13 with the relative solubilities of those different salts. So,  
14 there's not much doubt that if we're dealing with potassium,  
15 sodium, calcium, nitrate, chloride systems, those will be the  
16 important mineral assemblages.

17          LATANISION: Maury?

18          MORGENSTEIN: Morgenstein, State.

19                 We went through the same process of dissolving a  
20 variety, actually a large variety of dusts, and our results  
21 were that everything that DOE has done, we totally agree. We  
22 see the same mineral results. I know this is shocking. So,  
23 we have to concur and stick with that one.

24          PABALAN: Pabalan, Center for Nuclear Waste.

25                 I'm trying to understand your EPRI one and two

1 models. You used the same geochemical code as DOE did?

2       ARTHUR: Yes, I did. I'm sorry, I forgot to mention  
3 that.

4       PABALAN: What temperature?

5       ARTHUR: 25 degrees.

6       PABALAN: 25 degrees? And, the only difference, at  
7 least in the EPRI-2 case, is you considered the partitioning  
8 of HCL, nitric acid, you know, bromic acid, and hydrochloric.  
9 What constraints did you apply to the activities of these  
10 species?

11       ARTHUR: The partial pressures of those gases were fixed  
12 in simulations based on the initial equilibration of that  
13 liquid. So, the initial calculated partial pressures of 25  
14 degrees C for a given leachate composition was used for  
15 defining the partial pressures of those gases before the  
16 evaporation took place.

17       PABALAN: We did some calculations, looking at nitric  
18 acid and HCL degassing I'd say two years ago, or something,  
19 we did not observe such acid gas formation until you get to  
20 relatively high temperatures, you know, above, say, 110, 120,  
21 even 130 degrees. I'm quite surprised by this result that  
22 you got.

23       ARTHUR: I think that the point needs to be made again  
24 that this model is used to define these three salt  
25 assemblages. It's strictly a model calculation that is used

1 to refer to the existence of those salts.

2           Now, the assumption is that CO<sub>2</sub>, the system is open  
3 with respect to CO<sub>2</sub>, and in our EPRI-2 model, it's simply  
4 assumed that the model is open with respect to those other  
5 acid gases. The model is strictly equilibrium based. The  
6 key difference between the models is whether or not they're  
7 open or closed with respect to all or just one of the gases.  
8 And, because it's strictly a modeling approach based on  
9 these reasonable assumptions, we don't take into account the  
10 fact that the partial pressures may be exceedingly low, at 25  
11 degrees.

12       LATANISION: Other questions or comments?

13           (No response.)

14       LATANISION: Okay. Well, we're right on schedule then.  
15 Let's move on. Thanks, Randy. Maury?

16       MORGENSTEIN: I'd like to start out by saying that we're  
17 probably not going to come to any conclusions or major  
18 statements in this talk. My main purpose is to let you know  
19 of some of the considerations that we have that are coming up  
20 with respect to the environment, and how we're coming around  
21 to dealing with some of those.

22           The characterization of existing conditions, as we  
23 were just discussing, what happens when we dissolve some dust  
24 and pull salts off, we take a look at what we have, addresses  
25 the conditions that we have in the environment presently, the

1 dusts that we find now. For example, it is obvious that the  
2 major particle of dust that we have is ground rock flower in  
3 the environment, that that is essentially a silicate or an  
4 aluminum silicate, and that it's fairly rare, maybe 1 to 10  
5 percent, depending upon where you are in the repository,  
6 whether you're going to see any salts at all. And, when you  
7 start seeing salts, the most common salt that you're going to  
8 see is calcite. And, the next most common salt you're going  
9 to see is selenite.

10           Next, please. But, in reality, once we load the  
11 repository and we start moving the system, to the extent  
12 where we heat up, where we have water as vapor moving through  
13 the system, we assume that we're going to see an increase in  
14 salts. That assumption fits fairly well with John's  
15 presentation earlier. And, we are going to make the  
16 assumption that we see more salt eventually, or more salt  
17 surface eventually, than we're going to see rock surface.

18           And, the reason we say this is as follows. We  
19 believe that salts themselves will contribute to dust as they  
20 break from surfaces where they're deposited. And, we believe  
21 that present rock flower will be coated with vapors that will  
22 precipitate salt crystals.

23           So, we see two things happening as time goes on.  
24 We see an increase of salt coating existing rock, which is  
25 rock flower for the most part, and rock surfaces. This is

1 supported, in essence, by what we see in nature when we're  
2 looking at evaporative systems. And, we'll take a look at  
3 that in a little bit later in this talk.

4           A small fraction of these salts have the capability  
5 to deliquesce. A small fraction of those have the ability to  
6 form acid solutions that could address an attack on metal  
7 surfaces such as Alloy C-22.

8           Next slide. We have looked at dust collected in  
9 the repository tunnels in a host of locations. For each  
10 sample that we looked at, or took, we analyzed 1,000 dust  
11 particles through EDS, SEM. We did an autosystem. And, so,  
12 we have a fair--of each particle in size and composition.  
13 I'm showing you a few of those that are representative of  
14 essentially the things we've been talking about today, so you  
15 can actually see what the particles look like that we've been  
16 talking about.

17           It's rare, for example, to see a particle that is  
18 only calcite. It's rare to see just a gypsum particle.  
19 These are complex particles. They have a variety of sizes.  
20 Size does not necessarily conform to mineralogy. Mineralogy  
21 does not conform to size or shape. There is no uniformity to  
22 the system. This here is a mixture of sodium, potassium,  
23 calcium, chloride and sulfate. We have no ability to look at  
24 nitrates this way, so we don't do it. So, I can't really  
25 speak to nitrates through this process.

1           Next slide. When we looked at nitrates, what we  
2 did was, just as DOE has done, and others, we took for each  
3 of these samples, as much as we could, about 10 grams of  
4 dissolved and analyzed, and our results are the same as DOE's  
5 results. So, we see nitrates and we see sulfates and we see  
6 all the things that we formed in salts. I'm just showing you  
7 pictures here of some of the salts that we would see and how  
8 they formed on these particles so you get a sense of how  
9 these things really look. What are we really speaking about?

10           Here's a mixture of calcium, magnesium, chlorides,  
11 some sulfate salts, and this is sitting, of course, on rock  
12 flower. This is a coating. So, this is a coating on rock  
13 flower, something that we probably would see a lot of, and  
14 actually, we do see a lot of.

15           Next slide, please. This one is calcite, chlorides  
16 and sulfates. Again, this is a lot of stuff being deposited  
17 in a very small sample. These are very small samples broken  
18 off from a larger sample.

19           Next slide, please. The calcites in that last  
20 sample were fairly well crystallized. Mixed with magnesium,  
21 calcium, potassium, carbonate, sulfate, phosphates in this  
22 case, on rock flower. Again, notice almost every situation,  
23 we have a substrate of either aluminum silicate or silicate.

24           Next slide, please. This is a feldspar. All these  
25 are rock flower. And, actually, what we're looking at right

1 now is the predominant analysis that we would see, either  
2 pure silicate, sodium silicate, calcium silicate or potassium  
3 silicate or aluminum silicate. So, most of the particles  
4 that we see are actually just rock flower, with no coatings,  
5 no salts at all. And, if we saw a pure salt as a dust  
6 particle, it was extremely rare. It would be ridiculous to  
7 even try to calculate the percentage.

8           Next slide, please. So, in this list of service  
9 environmental parameters, some service environmental  
10 parameters that we're concerned about, mobile surfaces or  
11 dust, are pretty complex units. They're complex items.  
12 We're unable to summarize our study of samples to tell you  
13 that there were so many calcite or we can't really do that  
14 effectively, because if I did, it would be meaningless. It  
15 wouldn't have any value. It's probably better to just  
16 dissolve things and look at them from the point of view of  
17 what basic ions we have present.

18           With respect to fixed surfaces, we see mostly the  
19 fixed surfaces that will be present in the repository are  
20 going to be surfaces that are man made. If we have a surface  
21 coating around the walls, we start out with, of steel and we  
22 have a drip shield and an invert, our largest two surfaces  
23 are the floor and the invert that were exposed natural  
24 materials. So, that's dominantly where the first silicates  
25 are.

1           Dripping water coming through the roof in the early  
2 sequences is probably going to have to come through rock  
3 bolts that tie everything to the ceiling. And, if that's the  
4 case, then we'd better be really concerned about iron in our  
5 chemical modeling. And, so far today, no one spoke of. And,  
6 if we were concerned about dust in those early, early times,  
7 we'd better be concerned with iron oxyhydroxides as well.  
8 And, these are sorbers for a host of elements, and we can  
9 count salts on them, and it's a whole different environment  
10 than we have talked about at all today. But, yet it's  
11 probably the most likely environment that we're going to see.

12           So, if I come back to our first question, are we  
13 really addressing the environment, or the service  
14 environment, we have certainly missed the step in the early  
15 days of repository closure.

16           I'm going to skip the rest of the list. Most of  
17 those items are self-explanatory. We'll save time.

18           We just had a discussion about which salts we might  
19 see. Next slide, please. If I can side-step for a moment  
20 and look at an analogue, there's a publication out by the  
21 European Commission dealing with museum studies essentially,  
22 salts in museums in archeological materials and other  
23 materials are a big problem. You get efflorescence. It's a  
24 huge problem in preservation. And, so, a large effort went  
25 in from the European community to take a look at how they

1 could model what might happen behind glass cage in the museum  
2 at STV conditions.

3           And, what's really interesting about their list,  
4 and that's what I'm presenting here, their list of salts, is  
5 their list of salts, for the most part, looks pretty close to  
6 our list of salts for Yucca Mountain. Their list of salts is  
7 a little bit more comprehensive.

8           Next slide, please. So, that our list of salts is  
9 not necessarily unique. In our list, I have to say this  
10 again, is that DOE's list, and the State's list, we may in  
11 the State have a few more salts added to that as we're  
12 finding some other things that are out there that are in the  
13 DOE list.

14           Next slide, please. I'm just showing you single--  
15 next slide please--and double salts. We can get real  
16 complex. Now, based on those earlier slides that I showed  
17 you, you know and I know now that we're not going to see--any  
18 one of these items in a single particle. It's going to be a  
19 combination of these items in dust particles, or on surfaces.  
20 And, these are the babies that we have to worry about. In  
21 particular, there's some in here that are more problematic  
22 than others.

23           For example, tachyhydrite, we have put a lot of  
24 time and effort into it at the State. Just in simple salt  
25 systems, magnesium nitrate, we showed you in much earlier

1 times in presentations that we could take a beaker with just  
2 magnesium nitrate solution, boil it down to where we have  
3 almost complete dryness, drop in C-22, cover it and let it  
4 stand at atmospheric conditions and cool down--we cover it  
5 because we want to maintain some humidity in the beaker, so  
6 we essentially approximate humidity that we might see in the  
7 repository environment.

8           And, what happens is C-22 is attacked. We see  
9 corrosion. In this case, nitrate is not an inhibitor. The  
10 concept that nitrate is an inhibitor fits very nicely in  
11 solutions at low temperature. It does not fit in vapor phase  
12 conditions. Nitric acid that does vaporize is caustic.

13           Next slide, please. I'd like to take another side-  
14 step and take a look at what happens in natural environments,  
15 say, for the last 2,000, 3,500 years, because we're having to  
16 look at time as an element in this situation. What happens  
17 to open systems, open being somebody excavated something, and  
18 you have a hole or a mine or a burial chamber? What happens  
19 to these things in desert environments that actually are much  
20 dryer than Yucca Mountain in those periods of time?

21           And, so, I'm able to show you two situations in  
22 Egypt, in the Eastern Desert in a place called El Hibeh,  
23 which is three hours south of Cairo. I'm not going to give  
24 you a map. And, just about an hour south of a city called  
25 Bettiswait (phonetic). And, can we use some of this

1 information as analog? We see two situations.

2           Go to the next slide. We didn't quite get that  
3 last slide, but that's okay. There's a mud brick wall that  
4 you see. At the base of that wall, there's an oven. The  
5 oven is lined with a double lining of mud, built in mud  
6 brick. So, mud brick being very porous. We're in the desert  
7 system, and this system has a vadose zone that is a sulfate  
8 based chemistry. So, there's anhydrite and gypsum, mostly  
9 anhydrite at the surface. When it does rain, which is rare,  
10 or when we get dew drop, which is not rare, we dissolve some  
11 of that anhydrite, we move it down the system a little bit,  
12 and precipitate it out as gypsum.

13           Next slide, please. This is the inside of that  
14 oven. That even surface that you see is composed of selenite  
15 crystals that are coated with a clay dust, and actually a  
16 gypsum dust as well, selenite being calcium sulfate, hydrate.  
17 This is a very common feature in the desert environment.  
18 This oven is 2,000 years old. There's no evidence that we  
19 see--we don't see any other chemistries, salt chemistries,  
20 going on here. It's solely a gypsum system.

21           Next slide, please. This is a burial chamber and  
22 shaft located in the Eastern Desert. You can see what it  
23 looks like. There isn't much in the way of vegetation,  
24 essentially nil. It's extremely dry. It's at the same site,  
25 instead of looking in--I'm actually standing on the city wall

1 on the first picture here to the left, looking out to the  
2 desert. And, in the desert there, what you see is little  
3 potholes, and those potholes are actually shafts, they're  
4 burial chambers, they have burial chambers. And, the two  
5 shots on the side that were taken this season, this past  
6 summer, show you before and after clearing the shaft so that  
7 we can go into the chamber.

8           Approximately 20 centimeters, or so, before we get  
9 to the bottom of the shaft, it took a pick and ax to clear  
10 it. It took a pick and ax to clear it because when they dug  
11 the shaft, they left some debris on the bottom. It's a  
12 limestone environment. And, that debris is about hand size  
13 to larger, made out of limestone particles, for the most  
14 part, with large void spaces. The voids were all coated with  
15 selenite. The contact points were cemented together so that  
16 we started to fill in the end of that void with evaporate  
17 minerals, in this case, gypsum again, because we're in a  
18 sulfate system. That occurred, the age of this feature is  
19 about 3,500 years old, so that occurred within the last 3,500  
20 years.

21           So, the tendency for voids to fill by evaporite  
22 precip is common in at least desert regions. If we had more  
23 water in this system, where we had some flux that was  
24 worthwhile, we would see probably a lot more salt deposition  
25 because we'd see a lot more salt mobility. There's a

1 tremendous amount of evaporation that obviously goes on here,  
2 and we see, actually when we get out into the Nile system,  
3 which has the same environment, other than the salt  
4 environment is going to be different, it's a salt environment  
5 that is sodium chloride, and what we see there is we can see  
6 200 centimeters worth of suction up from the ground water  
7 table to the surface, and we get salt crusts on the surface.  
8 So, evaporation is a huge precipitator in this environment.

9           In those cases where we're in the Nile system,  
10 salts are quite complex, quite numerous. But, that is not an  
11 analogue to Yucca. This is closer, but it's certainly much,  
12 much dryer. So, we could assume on this basis as an analogue  
13 discussion that surfaces in the tunnel environment are going  
14 to be coated. They're going to be coated with whatever  
15 common salts we have in our system, and those common salts  
16 are going to be calcite carbonates, at least, and sulfates,  
17 or at least dominated by carbonates and sulfates. Nitrates,  
18 phosphates, chlorides will probably be less common. But,  
19 that will certainly depend upon where we are in the  
20 repository, and what the chemistry is of the various fluids  
21 coming in.

22           If, for example, above the repository, we see a  
23 high bacteria, because this is an incubator zone, and that  
24 bacteria chews up first the nitrate, then we're not going to  
25 see a lot of nitrate coming down through the system. If that

1 doesn't occur in some areas and we get nitrate through the  
2 system with chlorides, and nitrates and chlorides dominate  
3 the chemistry, then obviously calcite and selenite are not  
4 going to be the dominate salts.

5           At no point in time am I going to come out here and  
6 tell you where I anticipate seeing, because I have no idea at  
7 this point. We don't have any analysis in the field, sample  
8 taking, sample collection, that will allow us to make decent  
9 predictions. All Zell's mineralogy that he's presented and  
10 he did, and we totally concur with, don't tell us really  
11 anything about what we're going to see in salt precip dust  
12 particles in the future, unless we know something about a  
13 vadose chemistry and how we got it.

14           As far as I can tell, we don't know that. If we're  
15 going out and squeezing some samples that we're not totally  
16 sure about, we don't have a good list of what are the  
17 parameters going into the system from an aqueous point of  
18 view that could address our geochemical salt precip.

19           So, I don't think we're handling far enough to dry  
20 the models, other than having the models tell us what to look  
21 for. I think models are a great tool right now for us to use  
22 to be able to go into the field and collect sufficient data  
23 so that we could actually make predictions. I think if we  
24 tried to model based on the information we have, what we have  
25 is garbage going in. I'm sorry. And, garbage coming out.

1 Not that the information we've taken is bad, but it is  
2 insufficient, I think, in its scope.

3           I think the question of what the dust looks like  
4 now is not the right question. I think the question really  
5 is what the dust will look like in the future. And, I think  
6 if we're going to ask the questions about what is happening  
7 in the repository, we need to start looking at things like  
8 that.

9           Thank you.

10          LATANISION: Questions? Joe?

11          PAYER: Joe Payer, Case.

12                 Maury, a clarification. On your SED EDEX results  
13 that you showed several of, and you listed what these  
14 chemicals are, the EDEX analysis only gives us elemental  
15 analysis.

16          MORGENSTEIN: That's correct.

17          PAYER: So, then, you had to surmise what those were.  
18 But, you don't get any direct evidence of what they are.

19          MORGENSTEIN: No, you don't know for sure.

20          PAYER: Just a clarification.

21          MORGENSTEIN: Yeah, definitely. And, you also miss  
22 things like nitrate. We could take a guess at it, but it  
23 would be stupid, so, we don't.

24          LATANISION: Other questions? Thure?

25          CERLING: Cerling, Board.

1           So, Maury, it seems to me that you're point would  
2 be that these analogues would be good before closure, but  
3 then after closure when you've got a new temperature and  
4 moisture regime, you'd have a different situation. So, what  
5 it seems to me you might have been saying is you could have a  
6 period where salts would migrate towards the opening, and  
7 then, after you close the tunnel, you'd no longer have that  
8 migration, but then, you would have concentrate salts closer  
9 to the site where they could be important in later dust  
10 deliquescence. Is that right?

11       MORGENSTEIN: Yeah, you hit it on the head. What you're  
12 really doing is after closure, you have a new start point,  
13 and we haven't started to look at that start point. That's  
14 my point.

15       LATANISION: Yes?

16       YANG: Lietai Yang, from the CNWRA.

17           Just a clarification. The magnesium or nitrate  
18 test of the corroded Alloy 22 specimen, you were mentioning a  
19 vapor phase, also a molecular phase?

20       MORGENSTEIN: That was hygroscopic liquid. But,  
21 actually, most of the corrosion took place at the air/liquid  
22 interface, not in the liquid. In fact, I don't remember  
23 corrosion in the liquid at all in any of those experiments.  
24 And, I could be wrong.

25       YANG: Okay.

1 MORGENSTEIN: But, I think not.

2 YANG: Nitrate would be, for corrosion inhibition,  
3 nitrate would be in the liquid? So, if you didn't observe  
4 corrosion in the liquid--

5 MORGENSTEIN: What apparently happens is when you're  
6 looking at nitric acid as a vapor, coming off of that, and  
7 it's nitric acid concentrated, and when that coalesces on the  
8 C-22 surface above the liquid, it corrodes, and that's  
9 probably what's going to happen in the repository.

10 YANG: Thank you.

11 LATANISION: Joe?

12 PAYER: Joe Payer, Case.

13 Again, I think it's important to separate the two  
14 time periods. The seepage period, and I think there, it's  
15 not dust that we're talking about accumulates, but, it's  
16 evaporated minerals, is different than the dust that's  
17 ingested during the ventilation period, and occurs, and I  
18 think is the topic, primary topic, of this workshop, and that  
19 is high temperature dust deliquescence, and, it's my  
20 understanding that that dust is ingested during the  
21 ventilation period, builds up, and then you seal the  
22 repository. And, once you do that, I don't think there's  
23 another continuing source of that dust. You can have  
24 seepage, but in order to get the seepage, you've got to go  
25 through the thermal barrier and the capillary barrier. Am I

1 missing something, or are we talking about just two different  
2 time periods here again?

3           The other part is is the limitation of the  
4 thickness of the dust that can be adjusted during that 50  
5 year, whatever time period, of ventilation.

6           MORGENSTEIN: Charles, what's your answer to that?

7           BRYAN: I'm not quite sure what the question was there.  
8 I guess I'd say that he's right. We're assuming that most of  
9 the dust deposited on the package occurs during ventilation.  
10 After ventilation, the drip shield is in place, any dust that  
11 is generated on the walls of the repository would be  
12 deposited on the drip shield, not on the waste package.

13           As Joe pointed out, I think that, you know,  
14 evaporation of seepage water requires that the waters reach  
15 the repository wall, and isn't going to occur before the wall  
16 cools to less than 100 degrees centigrade. At that point, if  
17 the capillary barrier fails, or if evaporation occurs on the  
18 surface of the wall, then salts could build up. But, at that  
19 point, the RH is pretty high along the drift wall. I don't  
20 think salt precipitation occurs.

21           LATANISION: Ernie, do you have any comments on that?

22           HARDIN: Sure. This is Hardin, Sandia.

23           My take on it is that the soluble salt load  
24 deposited on the waste package during preclosure ventilation  
25 is the limit. There will also be soluble salts deposited on

1 the invert during that same period of time. Once we put the  
2 drip shield in place, what you've done is you've limited the  
3 velocity of air currents that could mobilize dust. And, so,  
4 the size of particles that could fly around in the air space  
5 under the drip shield is going to be very small. The net  
6 result of that would be redistribute the soluble load, make  
7 it even more homogeneously distributed. So, I don't see that  
8 as being a hole in the argument. I hope that helps.

9       BRYAN: I was thinking more if you could comment on the  
10 RH at the drift wall at the time at which it reaches boiling.

11       HARDIN: Well, yeah, there's something very basic here  
12 that I was going to offer anyway, and that is that the drip  
13 shield is there because it is a design feature intended to  
14 address an uncertainty in the evolution of the system. And,  
15 it is there because of the uncertainty that attends to the  
16 composition of seepage that might occur in the thermal or  
17 post-thermal period. It's there because of the possibility  
18 of efflorescence that might occur if you had a transient  
19 pulse of water that caused the salts to reach the drift wall  
20 and then evaporate, leaving behind crystals of salt. Now,  
21 that's why the drip shield was originally put into the  
22 design. After the system cools back down, that function of  
23 the drip shield may no longer be needed.

24       LATANISION: If the drip shield were replaced by  
25 bentonite, or some such material, that would change that

1 picture pretty dramatically, wouldn't it.

2           HARDIN: Oh, sure, yeah. We've contemplated  
3 alternatives to the drip shield we have now.

4           LATANISION: It's about 5 o'clock. We have a few more  
5 minutes, and I will take some more comments. But, I just  
6 want to make a couple of observations before we go on.

7                   This session was constructed with a view of getting  
8 some sense of this community's views on the environment that  
9 might generate in the repository and which could be of  
10 importance from the point of view of localized corrosion. I  
11 told you at the outset what our goals were. I didn't tell  
12 you what our goals are not.

13                   And, I do want to say that one of our goals is not  
14 to identify new science projects. And, I'm quite serious.  
15 At this stage, we're looking at an engineering project.  
16 We've got to make sure the engineering is right if this is  
17 going to go forward, and we've got to make sure that the  
18 engineering is doable. If it's neither right nor doable,  
19 then I think it presents a big problem. But, I really don't-  
20 -the consensus of our meeting is not going to be the  
21 evolution of a lot of new science projects, because, frankly,  
22 I don't think that's in anybody's interest right now.

23                   Having said that, we heard two observations today  
24 that I think we have to consider. One of them was the  
25 observation from Randy that contradicts the opinions or views

1 or perhaps even data of others, and that is the issue of  
2 whether nitrates are present or not. That's a pretty  
3 important point.

4           And, Randy, I'm going to ask you and Charles and  
5 Ernie and anybody who else is interested, to talk somewhere  
6 off-line over this next day, and maybe we'll get a short  
7 summary of your opinions at the end of that period. I really  
8 wouldn't like to leave this meeting with that dangling out  
9 there, because I think it's an important issue, and it either  
10 needs to be addressed, or we need to come to the conclusion  
11 that perhaps there's some mollifying phenomenology that we're  
12 missing.

13           The same is true of the cyclic corrosion  
14 environment, the efflorescence, deliquescence argument that  
15 John made. You know, this is a new observation. I hadn't  
16 heard that before. I don't know whether it's a first order  
17 of concern or a fourth order of concern. But, I think we  
18 need to have some clarity on that, and I think this room  
19 includes as much of the intellectual horsepower on this  
20 project as we're going to find anywhere.

21           So, John, I'd like to suggest that you and Roberto  
22 and anyone else who is interested, find some time over the  
23 next day to talk a little bit more about this, because I  
24 think it's an important issue.

25           The one other thing I'd like to do, and if I could

1 turn to Randy's presentation, and to Slide--I don't know  
2 whether it's 5 or 6, it looks like it's 5 in this outline,  
3 but it may be 6 in the--the decision tree.

4 I would like to take a poll. This is not a binding  
5 referendum. It's just a poll. But, I would like to ask the  
6 five organizational entities that are here as stakeholders in  
7 this process--as I say, this is not binding. I just want to  
8 get your sense at this point of the first two items on this  
9 decision tree.

10 Can multi-salt deliquescent brines form at elevated  
11 temperature? And, then, secondly, if they form, will they  
12 persist? I think the other questions we'll come to. I'm  
13 going to come back to this over the next day, because I think  
14 it's a particularly nice way of looking at this problem.

15 When I first saw this I think in 2004, I think all  
16 the answers were no. I want to find out right now from this  
17 group whether the answers are still no, or whether there's  
18 some ambivalence, or some other opinion. So, I'm going to  
19 keep score here as you give me your answers.

20 From the project's point of view, Charles, what do  
21 you think? Multi-salt deliquescent brines form at elevated  
22 temperatures?

23 BRYAN: Yes.

24 LATANISION: How about from the NRC's point of view,  
25 Roberto? Okay, Tae?

1           AHN: We continue to study.

2           LATANISION: Tae is becoming much too political. I want  
3 a yes or no. I'm going to be like an attorney in a  
4 courtroom. Yes or no?

5           AHN: I don't think we have enough information to say  
6 yes or no at this point.

7           LATANISION: That's not acceptable. I've got to get--  
8 I'm not trying to put anyone into a box. I want to get a  
9 sense of this--this is the intellectual strength of this  
10 whole discussion. We really do need to get some opinions out  
11 here, even if it's a reserved yes or no, just give me an  
12 answer.

13          PABALAN: Well, I can answer for the Center for Nuclear  
14 Waste Regulatory Analysis, and I will say yes. But, that's  
15 not going to be an NRC--

16          LATANISION: I'll put a small "r" next to it. How about  
17 from Nye County's point of view. John?

18          WALTON: Yes.

19          LATANISION: How about from the State's point of view?

20          MORGENSTEIN: Yes.

21          LATANISION: Randy, I guess I don't need to ask you.

22          ARTHUR: The answer is a definite yes. But, the  
23 question actually is qualified. The question really is are  
24 these salts that form, are they nitrate salts?

25          LATANISION: Okay. I think I have two qualified yeses

1 and three yeses; is that right?

2        APTED: Define elevated temperature.

3        LATANISION: We'll come to that. We'll come to that  
4 tomorrow. Yes, use the microphone. Otherwise, we lose this  
5 conversation, and I don't want to do that.

6        APTED: Mick Apted with Monitor Scientific. Again, we  
7 don't need all no's. We just need one no type of thing, and  
8 then we can all go home and save a lot of money, and stuff.  
9 Multi-salt, so even some of the salts that we saw that  
10 deliquesce at temperatures, like at 140 or 130, okay, and  
11 that's elevated temperature, and so on, so, our view is if  
12 you mean elevated temperature to 200 degrees, 190 degrees,  
13 then the answer is clearly no, is our opinion.

14       LATANISION: What about at 160?

15       APTED: Tell me the system. Again, tell me the multi-  
16 salt system you're suggesting at 160.

17       LATANISION: All right, no, I take your point. The only  
18 reason I'm asking this is when I first saw this in 2004, I  
19 think it was at the May meeting of 2004, the answer was  
20 definitively no. And, I sense there's a little bit of a  
21 change in attitude at this point. How about the second  
22 question?

23       ARTHUR: Let's go back. The answer was definitively no  
24 in that case because we're dealing then with a calcium  
25 chloride, pure calcium chloride.

1           LATANISION: No, no, I'll buy that. I agree. I  
2 understand. That's exactly right. That's more than a  
3 friendly addition. You're absolutely right. So, let's look  
4 at the second question. If brines form, will they persist?

5           Charles?

6           BRYAN: Well, by default, because we can't model what  
7 happens at really high temperatures above 140, or so, the  
8 answer is yes, they will persist. Certainly they will  
9 persist for some length of time. Our assumption is they will  
10 persist long enough to cause corrosion.

11          LATANISION: I'll buy that. Roberto?

12          PABALAN: I'd have to say a qualified yes also along the  
13 same reasons that Charles said.

14          LATANISION: Okay. John, Nye County?

15          WALTON: Yes.

16          LATANISION: Maury?

17          MORGENSTEIN: Yes, but I'd like to extend that to low  
18 temperatures.

19          LATANISION: I'm sorry?

20          MORGENSTEIN: Yes, and I'd like to extend both of those  
21 quests to low temperatures as well.

22          LATANISION: Okay.

23          MORGENSTEIN: I'm not satisfied with high temperatures.

24          LATANISION: And, then, from Randy?

25          ARTHUR: The answer to that is no. If the pH is

1 buffered (inaudible) by reaction to the dusts.

2 THE COURT: Okay. I'll buy that. All right, that's  
3 helpful. Let's see, yes? Sure.

4 PETERS: Mark Peters, Argonne National Laboratory.

5 I was to second what you said. I consider myself  
6 an informed observer sitting here listening, and I didn't  
7 hear any discussion of how likely anything was or what the  
8 consequences were. And, so, I don't know what to take away  
9 from this entire discussion. So, when you go home and sleep  
10 tonight, the panel needs to come back tomorrow ready to talk  
11 about service life and the environment in the context of how  
12 likely something is, and what the consequences are, because I  
13 don't know what the--I'm not going to walk away with anything  
14 meaningful if I don't hear that.

15 LATANISION: I agree with that, Mark. I think that's  
16 part of what our goal is. You know, I'm not of the opinion  
17 that we're going to reach 100 percent consensus. But, I'd at  
18 least like to have a sense on issues like these, because I  
19 think this decision tree is really the crux of the whole  
20 issue.

21 If, at the end of the day, we get down to the  
22 bottom and we've got a no somewhere along this line that we  
23 can really defend, then I think that answers a very important  
24 question. And, you know, that's part of what we're aiming  
25 at.

1 Dr. Payer?

2 PAYER: Joe Payer, Case.

3 I think the first two questions are legitimate  
4 questions, but they don't address the issue of is a dust  
5 layer a corrosive environment. And, we're going to focus on  
6 that quite a bit tomorrow in some of the talks, and that is  
7 the volume of water that you generate. So, can deliquescent  
8 brines form at elevated temperatures? Yeah, if the salts are  
9 close enough together and we can't rule that out. Will those  
10 brines persist? Maybe. But, if you distribute that small  
11 amount of brine in a dust layer, will it act as an effective  
12 electrolyte, and will it act as an effective crevice to  
13 prevent corrosion? And, that's sort of in between there.  
14 So, you know, it's a very important point that's not  
15 recognized in the straight question.

16 BRYAN: Charles Bryan. That's actually question Number  
17 4, which is if you do have the brine, if it's corrosive, can  
18 it still result in corrosion.

19 PAYER: I think it's before 4, but anyway, it's--

20 BRYAN: Yeah. All right, thank you, Joe.

21 APTED: Mick Apted, Monitor.

22 Picking up on Mark's point here, this is truncated,  
23 this is very much sort of the science fair part of the  
24 decision tree. There was a very key one on the bottom that's  
25 not listed, and I saw it's sort of Question 4 on the back of

1 the agenda here. And, that is, in a sense, does it matter?  
2 Is it going to affect some sort of peak dose standard  
3 compliance.

4           And, if you remember from the May 2004 meeting on  
5 this, when we were looking just at the calcium chloride  
6 situation, it doesn't matter whether it's got some chloride  
7 early penetrations, or penetrations by these, and so on, the  
8 answer that was at that meeting still stands in for the  
9 general case, is that we don't see any consequence, even of  
10 early penetrations in terms of meeting the NRC dose  
11 compliance.

12           And, I think if you recall back to, I think, the  
13 February meeting this year, Tim McCartin got up and he showed  
14 some of the early TPA results that was like a 4 millirem per  
15 year peak dose, and that was based like on a 10,000 year mean  
16 canister failure, or something, or 50,000 year, and the TRB  
17 members, I asked, well, what happens if it's longer or  
18 shorter mean time of failure, how does that peak dose change.  
19 And, Tim's answer was it moves it in time, but it doesn't  
20 change the peak.

21           And, I think that's really the answer you're going  
22 to find, is that we're straining at a question here that  
23 overall really is not going to, at the end of the day,  
24 strongly affect compliance.

25           LATANISION: Nick, I think you're right. I think that

1 really is the ultimate question, does it really matter?

2 What's the upshot, even if we think there is penetration?

3           So, yes, that should be on the agenda for our  
4 conversation. Dave?

5           DUQUETTE: Duquette, Board.

6           Just to address that comment, one of the reasons  
7 for having this meeting is as late as last year, I saw a  
8 defense for FEP-ing some of this stuff out, based on that  
9 decision tree, or fault tree, call it whatever you want,  
10 where the first two were no. And, now we've come to not a  
11 consensus, but at least a possibility that those two could be  
12 yes.

13           The Board questioned FEP-ing out on the basis of  
14 each of these, and now we find that at least in the first  
15 two, there may be some question. I agree with the last  
16 comment that Nick made, that in the final analysis it's going  
17 to be does it matter. But, that's different from putting  
18 together a document that says you can eliminate these things  
19 because they don't exist. And, I think that was one of the  
20 reasons for holding this meeting at all.

21           So, I just want to close my comments with that.

22           LATANISION: Yes.

23           BRYAN: And, I would just like to comment on that, that  
24 actually for the last year and about a half--

25           LATANISION: Identify yourself, and then use the

1 microphone so we can capture this.

2           BRYAN: This is Charles Bryan, Sandia.

3            Actually, for the last year and a half, or so, we  
4 have been saying that the answers to the first two are yes.  
5 It's been a while since we felt that the answers were no to  
6 those questions.

7           LATANISION: Okay. All right, any other comments?

8 Well, we're off schedule. We're about ten minutes off, but  
9 close enough, don't you think? In the Abkowitz tradition, I  
10 think we're right on target.

11           All right, we'll adjourn and meet again tomorrow  
12 morning at 8 o'clock. Thank you very much.

13           (Whereupon, the meeting was adjourned, to be  
14 resumed at 8:00 a.m. on September 26, 2006.)

15

16

17

18

19

20

21

22

23

24

25