

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WINTER 2012 BOARD MEETING

Monday
January 9, 2012

Ritz-Carlton Hotel
1250 South Hayes Street
Arlington, Virginia

**OFFICIALS OF THE NUCLEAR WASTE TECHNICAL REVIEW BOARD
PRESENT**

BOARD MEMBERS

Dr. B. John Garrick, Chairman, NWTRB
Dr. William Howard Arnold
 Dr. Sue Clark
 Dr. Rod Ewing
Dr. George M. Hornberger
Dr. Ronald M. Latanision
 Dr. Andrew C. Kadak
 Dr. Ali Mosleh
 Dr. Linda Nozick
 Dr. Henry Petroski

EXECUTIVE STAFF

Nigel Mote, Executive Director
Joyce Dory, Director of Administration
Karen Severson, Director of External Affairs

SENIOR PROFESSIONAL STAFF

Carl Di Bella
Bruce E. Kirstein
Daniel S. Metlay
Douglas Rigby
Gene W. Rowe

ADMINISTRATIVE STAFF

Linda Coultry, Meeting Planner
William Harrison, Systems Administrator

I N D E X

	<u>PAGE NO.</u>
Call to Order B. John Garrick, Chairman U.S. Nuclear Waste Technical Review Board	5
Overview - Office of Nuclear Energy Peter Lyons Assistant Secretary for Nuclear Energy Office of Nuclear Energy.	10
Questions and Answers	26
Overview - Office of Environmental Management Christine Gelles Director Office of Disposal Operations Office of Environmental Management.	42
Questions and Answers	58
Fuel Cycle Research and Development Monica Regalbuto Deputy Assistant Secretary for Fuel Cycle Technologies Office of Nuclear Energy.	68
Nuclear Energy System Evaluation and Screening Roald Wigeland National Technical Director Fuel Cycle Options--System Analysis and Integration Idaho National Laboratory	87
Questions and Answers	97
Compatibility of Commercial Storage Containers with the Waste Management System Jeffrey Williams Deputy Director Office of Used Nuclear Fuel Disposition Research and Development Office of Nuclear Energy.	112

I N D E X
(Continued)

	<u>PAGE NO.</u>
Generic Repository Concepts and Thermal Analysis	
Ernest Hardin	
Technical Lead for Repository and Nuclear Fuel Cycle	
System Studies	
Sandia National Laboratories.	127
Questions and Answers	140
Lunch	157
Planning for Future Disposal of DOE-Owned HLW and SNF	
Christine Gelles	
Director	
Office of Disposal Operations	
Office of Environmental Management.	158
Questions and Answers	175
Tank Waste Projects	
Ken Picha	
Acting Director for Safety Management	
Offices of Environmental Management	186
Questions and Answers	201
Calcine Disposition Project	
Joel Case	
Project Director	
Idaho National Laboratory	215
Questions and Answers	238
Public Comments	249
Adjourn	251

1

P R O C E E D I N G S

2

8:00 a.m.

3

GARRICK: Good morning.

4

AUDIENCE: Good morning.

5

GARRICK: I want to welcome everybody to this meeting of
6 the U.S. Nuclear Waste Technical Review Board. I'm John
7 Garrick, its Chairman, and you'll find biographical
8 information on all of the Board members on the table at the
9 back of the room, I believe.

10

Is that right, Linda?

11

COULTRY: Yes.

12

GARRICK: It's been more than a year since we met in the
13 Washington, DC area, and we're pleased that we're meeting
14 here because it facilitates the participation of the
15 distinguished leaders from the U.S. Department of Energy, and
16 they include today the Assistant Secretary, Peter Lyons, from
17 the Office of Nuclear Energy; Monica Regalbuto, Deputy
18 Assistant Secretary for Fuel Cycle Technologies; and it was
19 supposed to include Frank Marcinowski, Deputy Assistant
20 Secretary for the Office of Environment Management. I
21 understand Frank had a commitment and is unable to be here
22 and that his duties will be taken over by Christine Gelles.

23

As most of you know, the Congress created the
24 Nuclear Waste Technical Review Board as an independent
25 federal agency in the 1987 Nuclear Waste Policy Amendments

1 Act. Our mandate is a pretty simple one. It is to provide
2 independent and ongoing technical peer review of activities
3 related to the Department of Energy's implementation of the
4 Nuclear Waste Policy Amendments Act. Basically, it's our job
5 to advise Congress and the Secretary of Energy of our
6 findings, evaluations, and recommendations as a result of our
7 reviews of DOE work.

8 In the period since the Board was created, there
9 have been many changes in the nuclear waste field, but
10 suffice it to say that none of those changes have led to a
11 definitive conclusion. During the past two years, the
12 Secretary of Energy has terminated work on the Yucca Mountain
13 Project and, at the President's direction, has appointed the
14 Blue Ribbon Commission on America's Nuclear Future to make
15 recommendations concerning the path forward. Now, the
16 Commission's final report is scheduled to be released at the
17 end of this month, and in the short time of twelve months
18 from now we will have a new Administration, and who knows
19 what will happen then.

20 In the meantime, work goes on. DOE has initiated a
21 new research and development program housed within Nuclear
22 Energy's Office of Fuel Cycle Technologies, and the Office of
23 Environmental Management continues to work to prepare DOE-
24 owned high-activity radioactive waste and spent nuclear fuel
25 for ultimate disposal in a deep geologic repository.

1 The Office of Fuel Cycle Technologies is looking at
2 alternative fuel cycles whose high-activity waste may be
3 different in important ways from the now-familiar wastes from
4 the current light water reactor fleet. That office also is
5 exploring a set of generic issues related to the development
6 of a deep mined geologic repository to be decided somewhere,
7 sometime, in the still undetermined future. In addition, it
8 is examining issues associated with very long-term storage of
9 spent nuclear fuel and subsequent transportation to the
10 repository.

11 Accordingly, we in the Board have refocused our
12 reviews and our ongoing activities to evaluate the
13 alternatives that the Office of Nuclear Energy is
14 considering. Over the years, the Board has regularly
15 reviewed the Office of Environmental Management's activities
16 as they pertain to preparing DOE-owned high-activity waste
17 for final disposition. In the past three years, the Board
18 has visited four facilities where those efforts have been
19 carried out: the Hanford Site, the Idaho National Laboratory,
20 the Savannah River Site, and the West Valley Demonstration
21 Project. This year, we intend to publish a report based on
22 this onsite review.

23 Turning to the agenda for today, the theme is
24 integration. This has been an issue that has occupied
25 considerable Board attention, even when the Board was

1 focusing mainly on the Yucca Mountain Project. As I have
2 said, we are fortunate to have Assistant Secretary Lyons and
3 Deputy Assistant Secretary Monica Regalbuto today with us,
4 and we will be particularly interested in hearing what they
5 consider to be the most important areas for the integration
6 of projects and processes.

7 Following their talks, we will go into some detail
8 on selected activities, starting with DOE's Office of
9 Nuclear Energy. Deputy Assistant Secretary Regalbuto will
10 describe the importance of integrating waste storage,
11 transportation, and disposal. Roald Wigeland of the Idaho
12 National Laboratory will discuss the system studies now
13 being conducted. Jeff Williams of DOE will consider
14 "integration activities" within his division, the Office of
15 Used Fuel Disposition. And because thermal management may
16 profoundly affect various aspects of the disposition
17 enterprise, the Board has asked Ernie Hardin of Sandia
18 National Laboratory to discuss generic repository concepts,
19 with a particular focus on thermal analysis.

20 DOE's Office of Environmental Management has to
21 prepare for disposal of a wide variety of DOE-owned high-
22 activity wastes. Christine Gelles, who directs that effort,
23 will lay out the complexity of the program that will be
24 implemented over the coming years. Following her talk, Ken
25 Picha will discuss the tank waste projects at Hanford and

1 Savannah River. Then Joel Case, DOE-EM Idaho, will describe
2 the plans to manage the calcine waste at the Idaho National
3 Laboratory.

4 At the end of today's meeting, members of the
5 public will have time to comment and ask questions to the
6 Board and the presenters. This segment is always something
7 we allow and look forward to. If you would like to ask a
8 question or make a comment this morning, please put your
9 name on the sheet at the back of the room where Linda
10 Coultry is standing. If you prefer, remarks and other
11 material can be submitted in writing and will be made part
12 of the meeting record. These statements will also be posted
13 on our website.

14 Now, a comment we always have to make is about how
15 we conduct ourselves as a Board at these kinds of meetings.
16 We like to be free in our exchange, but we have to have a
17 disclaimer that the comments that are always made by the
18 Board are not always in accordance with Board positions.
19 We'll try to distinguish when they are and when they are not,
20 but we don't always successfully do that. So, you will hear
21 comments and questions that sometimes are taken by audience
22 members as positions of the Board, and I just want to caution
23 you that they are not necessarily.

24 I'd also like to note that it's very important for
25 those of you who do have questions or do wish to make a

1 comment that you do so with giving us full knowledge of who
2 you are and what organization you represent and that you
3 speak into one of the provided microphones.

4 So, with these few short preliminary remarks out of
5 the way, I'd like to ask our honored guest Pete Lyons to come
6 forward and give us his perspective on integration in the
7 Office of Nuclear Energy.

8 Pete?

9 LYONS: Okay. Well thank you for the introduction,
10 John. It's been quite a while since I've had the opportunity
11 to attend one of your meetings, so I don't know if you
12 typically start with reveille to call the meeting to order,
13 but I was impressed. As a former, primarily French horn, but
14 also a trumpet player, I was listening very carefully, and I
15 think you should be very happy that someone else was playing
16 that instead of me, but I was very impressed with the skill
17 of whichever one of your members you tapped to do that. So,
18 suitably impressed.

19 But it is a pleasure to be here. Over the years I
20 think I've interacted with probably at least half the folks
21 in the room and half the members of the Board here, but it is
22 a while since I've been able to join the NWTRB at one of your
23 meetings, and very happy to be here.

24 I guess, just before I start, let me just note that as
25 I've reviewed some of the more recent publications from the

1 Board, I have found several of them to be extremely useful to
2 me. The study that you did on reviewing international
3 programs I thought was a very, very useful document. Your
4 Lessons Learned document is another one that I think is very,
5 very positive. You also just recently--well, actually in
6 several documents, but also recently--have highlighted the
7 importance of international cooperation. And I think
8 throughout our program, you'll find that we couldn't agree
9 with you more, that where there are opportunities for
10 international cooperation, we will work towards seizing those
11 opportunities and taking advantage of whatever we can in the
12 way of international activities. And, at the same time, of
13 course, we want to position the activities within our office
14 and within this country to contribute to the international
15 body of knowledge in this area.

16 The talk I'm going to present is quite general;
17 it's more an overview of the Office of Nuclear Energy at the
18 Department of Energy. I was confirmed into this position in
19 April of last year, and before that Pete Miller had the
20 assignment. I was serving as Principal Deputy of Pete Miller
21 for quite some time and--although I have to admit that Pete
22 left much sooner than I was anticipating he would leave, so I
23 didn't serve in that position as long as I thought I would.
24 But, in any case, with the current administration, Pete
25 Miller came in as the Assistant Secretary, I was the

1 Principal Deputy, and then when Pete left to spend more
2 quality granddaughter time, I was asked to take on the
3 Assistant Secretary role.

4 I doubt that any of you need this sort of an
5 introduction, but just by way of the briefest set of comments
6 to set the stage on nuclear energy. I mean, you're well
7 aware that nuclear is a very clean, reliable, safe
8 contributor to the Nation's clean energy portfolio. That's a
9 position that's been emphasized repeatedly by the President,
10 as he's noted that nuclear energy needs to be component of
11 the Nation's clean energy portfolio moving forward.

12 You're probably well aware of the roughly 20
13 percent that nuclear energy is providing to the electricity
14 supply in the United States and the amount of carbon
15 emissions that that is displacing. Electricity use is going
16 to grow in the United States. Exactly how it grows using,
17 hopefully, clean energy sources, remains to be seen, but
18 certainly within our office we're exploring ways that nuclear
19 power could potentially contribute to that growth in power
20 across the country.

21 And the last bullet just notes the very impressive
22 capacity factors that have been demonstrated in the United
23 States now over a period of quite a few years, and I think
24 it's fair to say that the safety and capacity record of the

1 United States is the envy of most of the operators of nuclear
2 power around the world. It's very, very impressive.

3 Within the Office of Nuclear Energy, I indicate
4 here our mission, it certainly would not surprise you, but to
5 advance nuclear power as a resource capable of making major
6 contributions. And we look at those contributions in a
7 number of different areas, and certainly energy supply is the
8 obvious one, but there are environmental aspects of this:
9 there's energy diversity; there's national security aspects
10 associated with virtually anything that has the word
11 "nuclear" in the title. And I view our challenge as to
12 understand the ways that nuclear can contribute and to
13 understand the vast array of factors everything from
14 technical, proliferation, safety, public acceptance, many
15 areas that can be addressed through RD&D programs within the
16 Department of Energy and within my office.

17 As some of you know, one of the first things that
18 Pete and I began to work on as we arrived was development of
19 a roadmap to guide the research and development activities of
20 the Office of Nuclear Energy. We involved certainly the
21 federal staff, but also the National Laboratories. Many
22 other stakeholder groups were invited to comment and work
23 with us on that roadmap, and that roadmap is of course
24 available on our website.

1 We organized that roadmap around four objectives,
2 which are summarized here. Those four objectives, the first
3 one could be summarized by saying to understand whatever may
4 be the lifetime limiting components of the existing plants
5 and undertake activities to understand what may limit that
6 lifetime as well as improve the reliability and sustain
7 and/or--at least sustain, but certainly, if possible, improve
8 the safety.

9 The second bullet, stated very broadly, is new
10 builds, looking at a variety of different technologies and
11 possibilities for construction of new nuclear plants within
12 the United States and potentially contributing into the
13 export market. Some of you are probably aware of our
14 interest in small modular reactors, and that would fall
15 within this second goal as well.

16 The third goal, and the one that I've highlighted
17 here and I think it is of greatest interest today and to this
18 Board, is to develop sustainable nuclear fuel cycles. And
19 I'll give you just a few more viewgraphs on what, at least in
20 my mind, I mean when I talk about a sustainable fuel cycle.
21 But you can have many, many definitions and many arguments
22 about exactly what goes into sustainability.

23 And, finally, within our office is a small but, I
24 think, very important activity devoted to proliferation
25 aspects of nuclear power. That work is also done closely in

1 coordination with NNSA and their non-proliferation
2 activities, and we try to be quite sure that the activities
3 between the two offices are well coordinated.

4 The figure off on the right just tries to show how
5 these four goals, shown in beige or brown, whatever color you
6 want to call it, sustained either a general goal for
7 electricity production or a general goal in transportation or
8 processed heat areas. And I would just make the point that
9 sustainable fuel cycles down there at the bottom is certainly
10 one of the pillars--one of the foundations, rather, on which
11 the entire activities are built. Without sustainable fuel
12 cycles, at some point it will not be possible to proceed with
13 nuclear power. And it's our challenge within the Office of
14 Nuclear Energy working with the Board and with others to
15 develop that sustainable fuel cycle and see it advance into a
16 realization by the country, and, of course, there's many,
17 many stakeholders, Congress and others, involved in such a
18 decision.

19 Just a little bit of information on that objective
20 three. Tried to break out in terms of goals what we view as
21 near term and then looking further into the future. But in
22 the near term, our focus is very much on analyzing a wide
23 range of different technologies in order to develop options.
24 And, in general, as I think I noted earlier, I do see our
25 challenge within the Office to develop options that can be

1 used by decision makers, some of which are certainly in
2 Congress, some are in the utilities, depending on which of
3 the options we're talking about. But fuel cycles is
4 certainly an area where development of a range of options and
5 an eventual careful down selection, we've noted here in a
6 medium term extending out into a much longer term where a
7 preferred fuel cycle would have been selected and we would
8 have moved towards deployment.

9 Many, many challenges along the way, and you could
10 make up your own list of challenges too, but certainly we're
11 moving towards higher burnup fuels, and there needs to be
12 attention paid to structural materials that can take that
13 radiation for longer periods of time. And substantial work
14 on different separations and waste management ideas also are
15 a part of our program. The little figure there simply shows
16 the typical breakdown, elemental breakdown, of used fuel.
17 I'm sure that's of absolutely no surprise to this audience.

18 As we consider all of our programs in the
19 sustainable fuel cycle area, we start from the premise that
20 dry-cask storage is safe. We have the waste confidence
21 decision of the NRC; we have confidence that the fuel can be
22 stored for at least 50 years after the--actually, I think the
23 statement is 60 years after the lifetime of an operating
24 plant. But we see, and I believe in some of your work you've
25 highlighted, the very strong need for research and

1 development that would help us to better understand the long-
2 term storage limitations of dry-cask storage. And Monica
3 will probably go into a little bit more detail on some of
4 those programs, but we recognize that the database currently
5 supporting dry-cask storage certainly is limited as one goes
6 out towards longer times, and is very limited when one talks
7 about the higher burnup fuels that characterize modern plant
8 operations.

9 But, in any case, we start from the premise that
10 dry-cask storage is safe and we have time for R&D, careful
11 evaluations, and decisions that can best serve the country
12 moving into the future. With that dry-cask storage, we don't
13 see an urgency to implement a fuel cycle, and that gets to my
14 point that there's time to pursue what may prove to be better
15 options. We're starting from the perspective that the ones
16 through fuel cycle is the baseline, and we will be evaluating
17 options within Monica's program against that baseline.

18 We also start from the premise that at least one
19 repository is needed in any option, and, of course, Blue
20 Ribbon information and your reports have certainly confirmed
21 that. And I note at the bottom that the BRC, the Blue Ribbon
22 Commission, is at work, and actually fairly close to
23 reporting, on their final evaluation of a policy and planning
24 framework that would have us moving into the future.

1 Again, you would all have your own lists of the
2 issues that are going to impact the choices that the Nation
3 is going to need to make on fuel cycles. I don't think any
4 of the ones I've listed here would surprise you. Certainly,
5 technical readiness has to be a part of it; costs; economics
6 has to be a part of it.

7 Availability of uranium may be a very important
8 part of it. Some of the arguments that have been used for a
9 closed fuel cycle hinge on the availability of uranium
10 looking into the future. Recent MIT studies have said that
11 that is not a limiting factor for nuclear power for at least
12 a century. And, in addition, we've launched an effort, again
13 within Monica's program, to look at what may at first seem
14 like a fairly far out idea, but it actually is more
15 reasonable than certainly I would have guessed, and that's
16 extraction of uranium from seawater. That's still a very
17 early program. There's been some very interesting work in
18 Japan on this. We now have programs started, particularly at
19 Oak Ridge, looking at extraction of uranium from seawater.
20 But just in general as one looks at alternative fuel cycles,
21 one is going to need confidence in the uranium supplies
22 looking far into the future and of the costs of those uranium
23 supplies. Seawater extraction may turn out to be one of the
24 attributes that's important in making that decision. I'm
25 certainly not saying that uranium availability is the only

1 reason to pursue a closed fuel cycle and possible advance
2 through processing, but it is certainly one of the rationales
3 that I think needs to be folded in to the decisions that will
4 be made in the country.

5 Other issues here, obviously many, many issues
6 associated with repositories, with proliferation, and a whole
7 host of social issues. From three here, off to the side just
8 notes that the current costs of nuclear power in this country
9 about two cents per kilowatt hour is--well, I'm showing the
10 representation here of how large a component the fuel is and
11 making a point that the uranium cost is a very, very small
12 part of the actual cost of nuclear power today. I make that
13 point just because as we look at the availability of uranium,
14 there could be substantial increases in the cost of uranium
15 without a significant impact on the overall cost of nuclear
16 power. And, of course, with the newer plants--well, the
17 information shown here is typical of the existing plants
18 where the capital is fully amortized. If you look at newer
19 plants, where of course you would have substantial capital
20 costs, the contribution of uranium to that equation would be
21 much, much smaller.

22 I mentioned the Blue Ribbon Commission. They came
23 out with an interim report in July. I believe you've had at
24 least one briefing on that, and I'm sure you'll be looking
25 forward to more briefings. Within the office we're very much

1 looking forward to the final report of the BRC, which is to
2 be issued before January 29th. And at least put me down as
3 being extremely supportive of the work that the BRC has done.
4 I think they have laid out, at least in their draft report, a
5 very thoughtful, very coherent approach to evaluating options
6 for the back end of the fuel cycle.

7 The seven primary goals that are listed here I know
8 you've been briefed on before. And I would anticipate you'll
9 have many more discussions on them, but some of the areas
10 that I find most important would be starting from the area of
11 consent-based approach to a siting of a repository. I might
12 just note in passing that I grew up in Nevada, my parents
13 lived in Nevada, I worked at the Nevada test site for
14 decades, been at Yucca Mountain heaven knows how many times.
15 I am well aware of the Nevada politics, and I strongly
16 support the Secretary's view that Yucca Mountain will not be
17 a workable solution, primarily from the standpoint of
18 continuing State opposition. I think that moving towards a
19 consent-based approach to siting of any future repository is
20 going to be fundamental to achieving success in that area.
21 And, as some of your reports have noted, there's
22 international experience as well as domestic experience at
23 WIPP, which clearly shows that a consent-based approach can
24 bear far more fruit than the approach attempted in the past.
25 Other aspects on here note the importance of both interim and

1 repository. Certainly that's very, very important, their
2 emphasis on a new organization to implement this process.

3 Now, there is not an administration position yet on
4 a new organization, but some of you are well aware that when
5 I was Commissioner at the Nuclear Regulatory Commission, I
6 gave a speech on my reasoning for why there should be a new
7 organization to implement the program. Nevertheless, I'm of
8 course waiting to see what the administration position will
9 be on that very, very important issue. But overall, I hope
10 you would agree with me that the BRC has done--well, number
11 one, we owe a tremendous debt to the leadership, to the
12 members of the BRC, and I think they are making an extremely
13 positive contribution to the debate in this country on
14 management of used fuel, and looking forward to that final
15 report.

16 Just to give you an idea of the organization of our
17 office--I won't talk through this in great detail. Again, I
18 moved in at the request of the President and Secretary after
19 Pete Miller left, and I was confirmed I think it was in April
20 of last year. But as you move down through there, you'll
21 note there's several deputy assistant secretaries for
22 specific activities. Dennis Miotla serves as our Chief
23 Operating Officer and looks after the wide range of
24 facilities, particularly in Idaho, that are involved within
25 our program. You'll be hearing a lot more from Monica today

1 on fuel cycle technologies, and we are very, very delighted
2 to have Monica leading that portion off the program. Ed
3 McGinnis heads our International Policy and Cooperation
4 Office, and we find many, many opportunities where the Office
5 of Nuclear Energy is required to provide different forms of
6 advice within the administration on international issues or
7 to participate in any number of developing opportunities for
8 cooperation in the international arena. Now, we're not doing
9 the technical aspects of the cooperation in Ed McGinnis's
10 organization. To the extent that involves a fuel cycle
11 activity, the technical part would be entirely under Monica.
12 But the policy and general support of the cooperation would
13 be under Ed's office. And then, finally, John Kelly. Many
14 of you will know John joined us from Sandia after a very long
15 career in particular, severe accident management. John heads
16 all of our reactor technology area, and that too, along with
17 Monica's area, are the two largest technical areas within our
18 operations.

19 Under each of those deputy assistant secretaries
20 are a number of offices. I think the titles are quite
21 descriptive, and you've got handouts. If you can't read the
22 slides, you probably can read the handouts. But under
23 Monica's organization, the third one down there is the Office
24 of Used Nuclear Fuel Disposition under Bill Boyle, Dr. Bill

1 Boyle, and that is where the activities primarily associated
2 with your interest in the NWTRB would be centered.

3 So that's the organization of the office. And I
4 guess one other comment I should be make, and you're probably
5 very well aware, that the--it's called OCRWM, the Office of
6 Civilian Radioactive Waste Management, was disbanded, and
7 some individuals, about 20, from that program were
8 transferred into my office. Those 20, through Monica and
9 Bill, are essentially the remnants of the Yucca Mountain
10 organization. At the same time, other organizations within
11 DOE, like Legacy Management, have taken over key activities
12 like the management and storage of the very critical records
13 resulting from the Yucca Mountain program. General Council
14 is also heavily involved. But within our office, we have
15 about 20 folks who came over from the technical side of the
16 Yucca Mountain Program.

17 Until very, very recently, like just a few days
18 before Christmas, I wouldn't have been able to show you a
19 slide that had an FY12 appropriation on it. And that was,
20 for me, a marvelous, marvelous Christmas present after going
21 the entire last year up until Christmas without a budget and
22 operating on a series of continuing resolutions. As many of
23 you know, under a continuing resolution, one is tightly
24 restricted on what you can do. You certainly cannot begin
25 anything that could be considered a new start, and that

1 constrained a number of our programs for the entire last
2 year. But we do now have an FY12 appropriation, and, again,
3 that's one of the better Christmas presents I could have
4 gotten.

5 Not to talk through this in detail, but some of the
6 areas in here that are of particular importance, I've been
7 extremely interested in the university programs. We maintain
8 a very strong set-aside of up to 20 percent of R&D programs
9 goes to R&D in the university community. But that first
10 line, the Integrated University Program, is specifically
11 scholarships and fellowships. We were, I would say, not
12 allowed to continue that within FY11, but I was very, very
13 happy to see Congress restore that in FY12. I believe that
14 the scholarships and fellowships program--and not only for
15 the Office of Nuclear Energy, it was also restored for NRC
16 and NSA. I regard scholarships and fellowships as providing
17 the foundation for the future generations of leadership that
18 will be sitting in this room some decades into the future,
19 and I don't think you'll find a stronger supporter of the
20 need for scholarships and fellowships in areas related to
21 nuclear engineering than I am.

22 A key area in this budget that we have discussed
23 extensively, particularly within your purview, is the light-
24 water reactor small modular licensing demonstration project.
25 I can talk more about that if you wish, but that would look

1 at moving ahead with a program somewhat akin to NP2010 but
2 dedicated to light-water small modular reactors and a
3 licensing demonstration of up to two competitively selected
4 approaches. Reactor concepts is on there, but let me just
5 note the fuel cycle R&D that we'll be discussing further
6 today, that was significantly increased in the congressional
7 process. We certainly welcome that. And there are a number
8 of key activities that I'm sure will come up as the
9 discussion progresses today on fuel cycle R&D. And, again, I
10 showed you the distribution among the different areas within
11 the Office under Monica's responsibility, and the 187 million
12 is the challenge for Monica to optimally deploy.

13 I don't think I'll talk through the rest of those
14 unless there's specific questions, and just go to the final
15 slide, noting as I did at the start, that the President has
16 expressed very strong recognition of the importance of
17 nuclear energy. He's made very, very strong statements on
18 the importance of R&D and a wide of clean energy sources, and
19 he's made it abundantly clear that nuclear power has his
20 support and that he recognizes that it is an important
21 component of a clean energy portfolio looking ahead for the
22 country.

23 So with that I'll stop; I'll be happy to take
24 questions. And Monica and many other speakers will be
25 getting into far more technical detail. Thank you very much.

1 GARRICK: Thank you. Okay, questions?

2 Andy.

3 KADAK: Yes. Hi. Kadak Board. I was curious about
4 your budget, and this is not on the waste stuff, it's the
5 NGNP. I notice you have an Office of Gas Reactors, but I
6 don't see any money in that slot. Is that "off the table" as
7 they say?

8 LYONS: NGNP is under the "advanced reactor" line.

9 KADAK: Okay.

10 LYONS: The final congressional appropriation, if my
11 memory is correct, is 40 million--

12 KADAK: 40.

13 LYONS: --for the NGNP. However, let me just note, and
14 I think you're well aware, that we proposed and the Secretary
15 did send to Congress, a letter saying--this was very late in
16 the last year--that based on what we perceive as very limited
17 industrial interest in cost sharing this program, as I would
18 view is required by the Energy Policy Act of 2005, that we
19 see this program as continuing as a strong R&D program, at
20 least for the near future, and not as a construction program.
21 And, at least in my own mind, I think it will be difficult to
22 see substantial industrial investment in this with gas below
23 \$3.00 now. Not very long ago I would have said, "\$4.00," but
24 now it's \$3.00. Natural gas below \$3.00 and the price on
25 carbon, that makes it extremely difficult for any of the

1 clean technologies or advanced technologies like NGNP to move
2 ahead.

3 KADAK: And now the waste question. In terms of the
4 development of the sustainable fuel cycle by 2050, what new
5 things are you looking at that would address the waste part
6 of it? In other words, clearly we understand sodium cooled
7 fast reactors are the dominant waste burner, if you will,
8 maybe high temperature gas as well, but what is new that will
9 shed some light on what really to do? I'm asking a more
10 high-level question about what don't we know now about what
11 we need to do to get by 2050 this technology deployed?

12 LYONS: I think you'd get many answers to that, Andy,
13 but let me give you at least a partial answer. I think
14 you're aware that within Monica's area is a significant
15 systems analysis effort, which I strongly support. Trying to
16 look at a wide range of factors, and I listed some of them on
17 the slide, that need to go into a decision, eventual
18 decision, by policymakers in the country, the Congress and
19 the Administration, on how they wish to proceed, certainly
20 economics are going to be an important part of that, but
21 there'll be many other aspects that I indicated.

22 You mentioned that, yes, we understand quite a bit
23 about sodium cooled fast reactors, but there's certainly--and
24 Monica's better to speak to this than I--there's much that
25 can be done in terms of improved separations that could

1 influence a decision as to whether to move to a closed fuel
2 cycle. In my mind, and I think what the BRC is going to
3 recommend unless they've changed since their interim report,
4 the BRC is going to recommend that we move ahead, at least
5 initially, with the open cycle and once-through, moving ahead
6 with interim and repository storage. But also recognizing
7 that we need to continue the very strong R&D programs in fuel
8 cycle technologies and that while that fuel is in the interim
9 storage and/or we're working towards repositories, there can
10 certainly be opportunities to reevaluate the decision as to
11 whether the nation is best served in the near term by once-
12 through or moving immediately to a closed cycle.

13 So, in my mind, it's very much an open question,
14 and it ties in with my comment that I see my job as trying to
15 provide a range of options that policymakers can consider as
16 things move ahead. And, of course, a very important aspect
17 of this will be how the recommendations of the Blue Ribbon
18 Commission are received by Congress and the Administration,
19 and I simply don't know that yet. It's not a great answer,
20 Andy; I don't know how to be any more specific at this point
21 in time.

22 KADAK: Thank you.

23 GARRICK: Okay. Ron?

1 LATANISION: Latanision, Board. Mr. Secretary, thank
2 you for that presentation. I have two questions, one related
3 to Figure 3 if we could put that one up, please.

4 LYONS: I'll let the folks get it.

5 LATANISION: I'm intrigued by the graphics on the bottom
6 left. What are we looking at there? I couldn't quite make
7 it all out. Could you just describe that so I can get an
8 idea what that's all about?

9 GARRICK: I did not ask him to ask that question.

10 LYONS: I'm sure Andy would be very happy to hear that.

11 KADAK: Go ahead, yeah.

12 LYONS: What is indicated here is the potential for a
13 number of different approaches to so-called hybrid energy
14 systems, at least I think that's the buzz word that's being
15 applied to them now. It's looking at the possibility of
16 combining in this case a processed heat from the nuclear
17 power plant with a number of other applications that could
18 utilize that processed heat. In this particular case, it's
19 showing the possibility of using that processed heat not only
20 to produce hydrogen, but also to couple that to some sort of
21 a carbon to liquids type of system. This general approach to
22 hybrid energy systems is--I don't know, I wouldn't say it's
23 taking off, but I would at least say that there's significant
24 interest around the country in looking at hybrid energy
25 systems, and Andy was certainly one of the leaders in that

1 when he was at MIT, which is why he could answer this
2 probably better than I could. But just as an example, just
3 within the last two months there was a really outstanding
4 workshop conducted between NREL, National Renewable Energy
5 Laboratory, and INL looking at synergies between renewables
6 and nuclear power. And there are very, very interesting
7 possibilities that are being explored there at MIT and other
8 places trying to look at how strengths of the different
9 technologies can potentially complement into a whole that's
10 greater than the sum of the parts sort of thing. Anyway,
11 that's--

12 LATANISION: It's a futuristic look--

13 LYONS: Oh, it's highly futuristic.

14 LATANISION: Yeah.

15 LYONS: Andy, you owe me a beer for that, but--

16 LATANISION: I do have a question on Slide 4, if we
17 could go to that one. This is in reference to new build.
18 Pre Fukushima there was a great deal of, I think, concern and
19 delay in terms of the loan guarantee program, and a number of
20 utilities that had expressed interest in new build, that
21 interest seemed to evaporate. What are we going to do, if
22 anything, to improve our capacity for delivering on loan
23 guarantees?

1 LYONS: Well, the first simple answer is that's not
2 within our office. There's a separate Office of Loan
3 Guarantees.

4 You can certainly get into debates, and I don't
5 know all of the factors as to what has led some of the
6 entities or pursuing loan guarantees to drop out of the race,
7 if you will. Certainly no secret that South Texas was one of
8 them--

9 LATANISION: Yes.

10 LYONS: --Tepco was a major investor. Tepco's got other
11 things to worry about now. Calvert Cliffs was another that
12 was moving through the loan guarantee process. Again, you
13 can have many different variations and statements on exactly
14 what happened, but don't forget that Calvert Cliffs is in a
15 merchant plant area that is not a regulated environment. And
16 in any studies that we have done on the economic liability of
17 nuclear power, it's very hard to see how nuclear can compete
18 today in a non-regulated environment. It gets back to my
19 comment of \$3.00 natural gas--

20 LATANISION: Yes.

21 LYONS: --and no price on carbon. Now, within the
22 southeastern part of the country there are, I'd say, special
23 conditions that make nuclear significantly more attractive.
24 And of the, I would think--someone could correct me--14
25 applications for the AP1000, they're all in the southeastern

1 part of the country. And that's, of course, where Vogtle and
2 Summer are, where brief instruction activities, and perhaps
3 construction activities soon will be underway.

4 LATANISION: Yes. Well, I mean I understand your point.
5 There's no doubt that the price of natural gas is a--
6 certainly doesn't inspire great thoughts of building among
7 the nuclear utilities. But on the other hand, to hold out
8 the carrot of loan guarantees and then to make the
9 negotiations so difficult that they can't occur seems to me
10 to be pretty counterproductive. If we're really concerned
11 about trying to grow the nuclear electric capacity, it would
12 seem to me that's something we should streamline.

13 LYONS: Well, again, that's not within my office, so I
14 honestly don't know--

15 LATANISION: Okay.

16 LYONS: --the details of that program.

17 LATANISION: Yeah.

18 LYONS: But I also think I'm right that it would be a
19 little--I don't know, Calvert Cliffs I guess did claim loan
20 guarantee was the reason. Certainly, in the press there were
21 many, many other reasons suggested--

22 LATANISION: Yeah.

23 LYONS: --for Calvert change. I don't have a great
24 answer for that, and certainly loan guarantees can be a very
25 important part of this equation.

1 GARRICK: Dr. Lyons, I want to squeeze a question in.
2 There's a couple more others that want to, but as you know,
3 the Board is very active in the international arena and
4 trying to understand just exactly how other nations are
5 managing high-level and spent fuel waste. The question I
6 have is--and in fact, in the last two months, I guess we've
7 been to--Board members have been to France, to Sweden, and to
8 China, which is continuing our legacy to try to see
9 collectively just what the needs are with respect to nuclear
10 waste management. In that connection, what R&D do you see
11 that's needed but you're not doing because of the
12 availability of information on that particular topic from the
13 international arena?

14 LYONS: Honestly, that's a better question for Monica
15 and some members of her team. But let me at least note that,
16 number one, I compliment the Board on your activities in the
17 international arena, and I know that we, too, have very
18 strong interests to explore what can be done, can be learned
19 through cooperative programs and existing data in the
20 international arena. You mentioned several countries that
21 your members have studied. Particularly when I was at the
22 NRC, I had the opportunity to visit some of those. I visited
23 Sweden, Finland, Switzerland, France, I'll be in Korea fairly
24 soon, and, of course, WIPP I've been in countless times.

1 All those activities can provide important
2 information. And I think to the extent that we look at how
3 we can structure programs, and, again, I'll certainly be
4 guided by the technical experts here. I think in the areas
5 where we can obtain substantial information from the
6 international community such as granite and clay, that may be
7 a rationale for us to deemphasize some of our own research in
8 that area and emphasize international cooperation, of course
9 with our participation, but trying to take advantage of the
10 international body of knowledge.

11 Salt, we have quite a repository--well, it's a poor
12 choice of words. I was going to say repository of knowledge.
13 But we have significant information, let's say, on salt, and
14 we're very interested in working closely with Germany as they
15 proceed with their interest in salt.

16 Boreholes are mentioned strongly by the BRC, at
17 least in the interim report. I've seen reference in a number
18 of your documents with slightly differing views, so I'm
19 interested in that discussion later this week on what you
20 really think about boreholes. But in any case, in my mind,
21 boreholes remain a largely unexplored area. At my level of
22 knowledge of this, I'm very interesting in knowing what their
23 limitations are and what their advantages may be. One of the
24 NWTRB documents makes the point that to the extent that there
25 is some waste minimization, that boreholes may become a

1 somewhat more attractive opportunity. But just in general,
2 in my knowledge base I'm not aware that boreholes have been
3 extensively studied and that they may remain an important
4 area for us to gain a little bit more information.

5 So that's not a great answer, John, but, in
6 general, where we can get international information, we
7 should be cooperating. We should be benefiting from that
8 knowledge. Where we are in a position to lead in an area,
9 like salt, and where there is less international knowledge,
10 there again, we should work in the international community.
11 But that may be an area for us to perhaps emphasize a little
12 more, and I'm not aware of much of anybody working on
13 boreholes except for some very early tests here. And, to me,
14 that's also an area of potential interest.

15 GARRICK: Thank you.

16 Bill?

17 MURPHY: Bill Murphy, with the Board. Could you comment
18 on the licensing process for Yucca Mountain? May it proceed,
19 or should it, or should it not proceed?

20 LYONS: Bill, as you're well aware, that question is in
21 the courts now. I don't have the foggiest idea what the
22 courts are going to say, and I certainly can't attempt to
23 prejudge what they may say.

24 MURPHY: What's your judgment?

1 LYONS: I'll only say that I took this job with a full
2 understanding that the Secretary was not going to move ahead
3 with Yucca and did not regard it as a workable solution. I
4 also do not view Yucca as a workable solution. I'm not
5 commenting, and I'm not prepared to comment, on the technical
6 aspects of that. I'm talking about little things like
7 requiring state permits for 300 miles of railroad.

8 MURPHY: Thank you.

9 LYONS: Sorry.

10 GARRICK: Any other questions?

11 Yes, Andy.

12 KADAK: I'm back to the question of sustainability and
13 making a decision to deploy new technology to assure
14 sustainability by 2050. How does that affect the decision to
15 go forward with the repository? Do we need to wait to get
16 that decision made before we think about designing a
17 repository or looking for a site for a repository? What is
18 DOE's program now for site selection given the consent-based
19 processed that people are proposing?

20 LYONS: I think that remains to be formulated--

21 KADAK: Okay.

22 LYONS: --as we better understand what the final BRC
23 recommendations will be and equally important what the
24 congressional response to the BRC recommendations may be.
25 The question of whether any private or public-private entity

1 is established to run this program has a rather substantial
2 influence on the question you're asking. But as I indicated,
3 we certainly recognize, BRC recognizes, you recognize we have
4 to move ahead with at least one repository in this country,
5 and I think we need to be doing that.

6 Now, you asked how this folds in with the consent-
7 based process, and I can only give you some of my very
8 initial thinking on that. I can imagine--and these are
9 purely hypothetical--I can imagine that the Department, or
10 potentially this public-private entity, could seek
11 expressions of interest from around the country in
12 participating, based on whatever geology they have. It would
13 then be incumbent on, again, whoever's making the decision,
14 whether it's DOE or this public-private entity, to be able to
15 do enough of an evaluation of the geological possibilities of
16 that particular site to ascertain whether it meets an initial
17 screening test. But I can also imagine that there could be a
18 number of sites that are selected for additional, careful R&D
19 over a period of a number of years. And depending on the
20 site, depending on the geology, there would be a greater or
21 lesser background of knowledge on that particular site.

22 So, Andy, I don't know how to give you a good
23 answer on that now. I think it will become much more clear
24 in years to come. But do we need a repository? Yes. And

1 should we do it through a consent-based process? Yes. And
2 the details I think remain to be worked.

3 GARRICK: Howard.

4 ARNOLD: Howard Arnold of the Board. Mr. Secretary, my
5 background is nuclear industry, and my review of the
6 successes in the United States in nuclear technology, whether
7 it's the Manhattan Project with the help of DuPont and Union
8 Carbide, or whether it's commercial reactors with General
9 Electric, Westinghouse, B&W and Combustion Engineering, leads
10 me to believe that they are in fact key to success in the
11 past.

12 I'm a little uneasy when I see a slide with a heat-
13 generating reactor and making hydrogen from carbon and
14 wondering if you have an industrial participant in that. And
15 it leads me to a more general question of how you view the
16 participation by industry as being important in your
17 programs.

18 LYONS: I'm going to start working backwards. And,
19 certainly, industry and industrial participation is
20 important. I think Monica can go into more detail on that.
21 But as we do the systems analysis, as we pursue different
22 options, we certainly will be finding, through workshops and
23 other ways, opportunities to involve industry. I fully agree
24 that industry has to be integrated at some appropriate level
25 as we move ahead with this. Again, the details of how the

1 BRC report will be received and whether they'll be a public-
2 private entity or whether the Department will be directed to
3 proceed are going to be fairly fundamental in this.

4 On hydrogen you asked whether there was an
5 industrial interest, and, yes, there has been very, very
6 strong industrial interest, and we've worked closely with the
7 so-called industry alliance for years on this. However, that
8 industry alliance has their own views about the appropriate
9 point in time for industry to provide any support for this,
10 and that's not soon. And for us to move ahead with a cost-
11 share program, as I believe the legislation requires--and I
12 was one of the two people with a pen when we wrote that
13 legislation--I believe industrial participation on a cost-
14 shared basis was fundamental to that language. So while
15 there's strong industry interest, and we actually have a
16 procurement out now to obtain more input from industry on
17 shaping high-temperature gas reactor program, we have not
18 seen the interest in the cost share in the near term from the
19 industry participants.

20 ARNOLD: I guess that tells you something, doesn't it?

21 LYONS: Yes. And I contrast that with the small modular
22 reactors, where I know that my enthusiasm that we have been
23 able to move ahead with the program some--we're about to go
24 into a procurement, something like NP2010, and we have
25 multiple companies claiming that they're ready to do a full

1 50/50 cost share. And, of course, we haven't had the
2 procurement yet so I can't tell you that it's happening, but
3 I can tell you that NP2010, at least in my mind, was a
4 phenomenal success, and that was a cost-shared program with
5 industry.

6 GARRICK: Maybe as the closing question, and I'll take
7 the privilege of making this the final question, but it's a
8 little bit of an extension of what Howard is talking about.
9 You're in a position where you get lots of advice. You have
10 lots of formal organizations doing that, including your own
11 Nuclear Energy Advisory Committee and all its subcommittees,
12 including boards like ours. But I'm curious about the
13 National Academies and, in particular, the National Research
14 Council, who has reports on just about all the topics that
15 have appeared on your slides. How does their advice enter
16 into your strategic planning, and how do you filter all of
17 this information and advice you're getting from diverse
18 bodies? And it sort of relates to how you are getting input
19 from industry.

20 LYONS: John, I wish I had a formula to give you, a
21 nice, crisp answer to that. Certainly, all of those forms of
22 information and feedback are very important. As you know,
23 there have been quite a series of outstanding reports from
24 the National Academy and its various bodies over many, many
25 years. And I'm sure that, for example, the Blue Ribbon

1 Commission, found it very, very useful to be able to refer to
2 quite a wide range of National Academy reports that have been
3 generated over the years with outstanding suggestions. You
4 mentioned our Advisory Committee. I know you've met with
5 Burt Richter from our Advisory Committee, he chairs the
6 subcommittee on fuel cycles; and, certainly, your own Board.
7 I can't give you a specific formula as to how we're going to
8 assess all of that. I can only assure you that we are paying
9 attention to it. We're doing our best to assimilate it.
10 It's certainly folds into our systems analysis.

11 I would also anticipate that those different
12 sources of information will fold into the decisions that
13 Congress and the Administration are going to need to make as
14 we hopefully move ahead with this. Most of the
15 recommendations of the BRC are going to require some extent
16 of congressional interaction and, potentially, modifications
17 of the Nuclear Waste Policy Act. Until we have a better
18 feeling for how such changes may be considered or greeted on
19 Capitol Hill and in the Administration, I don't know how to
20 give you a precise answer. All of them are important, and
21 certainly I've found them to be very, very valuable bits of
22 guidance and information.

23 GARRICK: Okay. Well, thank you. Thank you very much.
24 This is very helpful. We appreciate your taking the time to
25 come and visit with us.

1 GARRICK: All right, I guess Christine Gelles is going
2 to take on the assignment of Frank's overview on integration.
3 Welcome.

4 GELLES: Good morning, everyone. I am very honored to
5 be standing in for Frank Marcinowski this morning, and he
6 does send his apologies. Unfortunately, he is just returning
7 to the office after an extended absence, and there was a
8 commitment that he just could not rework this morning. So,
9 he does send his regards. I'm also humbled; I'm very
10 impressed by the knowledge that's around this table as well
11 as in the back of the room, and I'm looking forward to
12 interacting with this esteemed Board throughout the day.

13 We are attempting to provide an overview of the
14 Environmental Management Program today, really giving a quick
15 review of the scope of our program, highlighting, of course,
16 the two subject areas that I think are most germane to this
17 Board: That is our high-level waste, or what we often refer
18 to as "Tank Waste" Programs, and our Spent Nuclear Fuel
19 Programs, realizing, of course, that the Department does, in
20 many cases, like to refer to that material inventory as
21 "used" fuel. To a large degree, much of our EM owned
22 inventory is in fact spent, and may not have a potential
23 value for reprocessing in the future. I will leave many of
24 the details to my colleagues Ken Picha and Joel Case, who
25 will be with us this afternoon. Joel is in fact here this

1 morning, so if you have some detailed questions, perhaps I
2 could refer Joel to those. But we're trying very much just
3 to set you a context for those afternoon discussions.

4 The second thing I'll do is touch briefly on the
5 Environmental Management's budget outlook, and that's
6 predominantly because it provides a very important context
7 for discussing our current tank waste activities. To a
8 lesser extent our spent fuel management activities, but we
9 are very, very much engaged in an intensive effort to
10 identify technology investments and alternative approaches to
11 our projects to try and reduce the cost and the life-cycle
12 schedule of our tank waste programs.

13 I will do my best to get through these slides
14 within the scheduled 15-minute period so we have some time
15 for questions and answers, but there are approximately 16
16 slides. So I'll try and go through them relatively quickly,
17 and please stop me if I'm being too brusque.

18 Our program was established a little over two
19 decades ago, in 1989, and it was specifically stood up to
20 deal with the Legacy contamination that resulted from the
21 Department's historic weapons production activities and
22 nuclear resource activities, to a lesser degree. We have a
23 broad amount of scope. On the next slide we'll attempt to
24 quantify the various waste streams and facility inventories
25 that we have to deal with, but our mission is clear. We have

1 a vision of how we want to do our business. We've been
2 working over the last several administrations, and most
3 certainly under Dr. Inés Triay's leadership, to really refine
4 our approach to completing our work scope so that we can
5 improve our performance and begin to deliver better
6 performance and a greater reduction in life-cycle cost to the
7 American taxpayer, because our program has historically been
8 among the top three. At one point I think it was the second
9 largest economic liability. We've fallen down a bit since
10 the war efforts, but we are still in the top five of the
11 Government's liabilities.

12 Here on the right side of the chart these are our
13 programmatic priorities. I've highlighted the two, again,
14 that are most germane to this Board, and these are sequenced
15 in relative risk-based priority based on the curie challenges
16 associated with these scope areas. This is the graphic that
17 I mentioned that attempts to quantify the scope, and you can
18 see that there's really two purposes here. To give you a
19 sense--and I'm sorry that you can't really read the details
20 here even on this screen--of the sheer volume of waste
21 streams that we have to deal with, as well as the very, very
22 vast number of radiological industrial facilities that are
23 contaminated and need to be decommissioned. And, of course,
24 large number of relief sites and a vast amount of square
25 mileage of contaminated area, decommissioning these

1 facilities and remediating the land as well as the
2 groundwater that is contaminated or potentially contaminated,
3 generates vast volumes of low-level waste as well that have
4 to be generated. So it is a complicated undertaking and one
5 that we foretell will take decades and hundreds of millions
6 of dollars to complete.

7 We are actively storing tank waste, high-level
8 waste. You'll see this slide again during Ken Picha's
9 presentation just to give you a visual of the three sites
10 where the preponderance of our activities are generated, and
11 I do know the Board has visited these three sites in recent
12 times. At Savannah River we are operating the Defense Waste
13 Processing Facility. We have produced well over 3,000
14 canisters of vitrified high-level waste. We're in the
15 process of removing low-activity waste from the tanks and
16 treating and stabilizing that for onsite disposal and some
17 salt stone vaults. At Idaho the Integrated Waste Treatment
18 Unit has been constructed for treatment of sodium bearing
19 waste, which is not even included here in the curie count.
20 There's, I think, about three million more additional curies
21 of activity associated with that waste stream. Here, the 37
22 million curies is associated with the calcine, which is
23 stored in bin sets and awaiting the development of a future
24 treatment alternative. And you'll hear my colleague Joel
25 Case speak at some length about that this afternoon. And, of

1 course, at Hanford, where we have our largest volume and our
2 largest number of tanks and our greatest number of curies,
3 and, of course, we're constructing the very extensive waste
4 treatment plan system there at Hanford to deal with that
5 inventory.

6 The recent changes in the repository program have
7 led many to think that our near-term activities are adversely
8 impacted; in fact, that's not the case. We have spent the
9 last two decades planning this high-level waste treatment
10 system and the last decade really intensively constructing
11 the necessary facilities, and our near-term efforts to
12 address the risks of the tank waste in its current form are
13 unchanged by the changes to the repository. And my
14 presentation this afternoon will talk a bit about how we are
15 continuing to use the Yucca Mountain Repository technical
16 requirements as a planning basis until such time that there
17 is a replacement repository system.

18 Just to give you an overview of our priorities for
19 the tank waste program, our highest priority is to ensure the
20 continued interim safe storage of our tank waste. We're busy
21 retrieving waste from single-shelled tanks or those tanks
22 that we know have some structural vulnerability. As I
23 mentioned, we're constructing the treatment systems. Of
24 course, we completed the West Valley vitrification facility
25 and completed its treatment mission. We're now in the

1 process of decontaminating that facility and preparing for
2 its demolition. At Savannah River, DWPF has been operating
3 for over a decade and is, as I mentioned, doing a great job,
4 and we had a record performance year last year and we expect
5 to have equally good performance moving forward. I mentioned
6 Idaho with the sodium bearing waste treatment facility being
7 constructed, and we're looking forward to starting up that
8 facility in the very near future. We have two other
9 treatment facilities in process: The salt waste processing
10 facility at Savannah River and, of course, the waste
11 treatment plant at Hanford and a third in planning, and that
12 would be the Calcine Disposition Project that Joel will speak
13 on.

14 I won't belabor these last three bullets, because,
15 again, Ken Picha is going to build upon the Tank Waste
16 Program in some depth. What I just do want to emphasize is
17 that the systems that we're constructing are highly complex,
18 and there are differences among the high-level waste sites
19 within the DOE complex. And yet there are some similarities,
20 and we are very focused on sharing lessons learned,
21 transferring technologies from site to site where
22 appropriate. But to some degree the historic missions of the
23 sites do result in differences in the waste inventory, so
24 it's not a one size fit all solution as we're developing our
25 treatment systems.

1 We do have a large challenge before us, and I will
2 touch on just a few slides the relative significance that
3 tank waste management has in our annual budget and our life-
4 cycle cost. Quickly, to set the stage for our spent fuel
5 management, these are the sites where we are currently
6 managing EM owned fuel inventories. There are other DOE fuel
7 inventories stored at Idaho, some owned by my colleagues in
8 Nuclear Energy as well as by the Naval Reactors Program. By
9 and large, the greatest risks of the EM owned spent fuel
10 inventories have been addressed, and that occurred through
11 the removal of the N-Reactor fuel that was stored in the K-
12 Basins along the Columbia River at Hanford and relocation to
13 the central plateau of the Hanford site. That fuel was
14 conditioned and placed in highly stable containers that are
15 called "multi-canister overpacks," and they're stored in the
16 canister storage building, and interim storage will be more
17 than protective for at least 100 years. So, at Hanford now
18 all fuel is in safe interim dry storage. We have
19 consolidated the other fuel types from the other reactor
20 facilities at Hanford to dry storage there at the central
21 plateau.

22 At Idaho all of the EM owned spent nuclear fuel has
23 been placed in safe interim dry storage. There is other fuel
24 at Idaho that is stored in wet basins at CPP-666, but that is

1 a robust modern facility. It continues to serve storage for
2 Nuclear Energy owned fuel and some Naval Reactor fuel.

3 And at the Savannah River site we are safely
4 storing all of our fuel in L-basin, which is a wet storage
5 basin. We have gone through some capital improvements to
6 provide additional storage capacity in L-basin. We do
7 continue to receive foreign research reactor fuel into that
8 basin. We have some capacity constraints that are affecting
9 our near-term decisions about the rate of receipts, but we're
10 working hard to manage that pending some future decision
11 about whether or not to process the aluminum clad fuel that
12 is the majority of the inventory at Savannah River site, and
13 we are looking forward to the Blue Ribbon Commission's
14 recommendations to help inform the policy decisions
15 associated with that.

16 We are renewing two NRC licenses, one for the Fort
17 St. Vrain facility, where we have custody of that commercial
18 fuel inventory, as well as the Three-Mile Island fuel debris
19 storage facility, which is at Idaho.

20 And, just at a very high level, the mission of the
21 Spent Fuel Program: Continued safe and secure storage of our
22 existing inventories, and to work with our stakeholders and
23 comply with all the legal agreements associated with the
24 management of fuel notwithstanding the uncertainty of its
25 final disposition path. We are seeking some additional

1 technology developments to improve the safety and performance
2 to ensure the continued integrity of our existing storage
3 facilities. The lower picture shows you some dry casks that
4 are being used. They weren't intended to be used for decades
5 beyond the current timeframe, and yet we're facing that very
6 real possibility, so we're doing some additional evaluation
7 about the integrity of those casks and the reliability of
8 those storage systems. And we thank the Board for their
9 insights in that regard as well as the Government
10 Accountability Office, they've also offered us some
11 recommendations, and, of course, the Defense Nuclear Facility
12 Safety Board.

13 Now if I could move to budget. This pie chart
14 provides you a look at the relative significance of those
15 programmatic areas that were listed on that second chart in
16 priority order. These are scope areas broken by percentage
17 bases against our total "To-Go-Life-Cycle Cost" as of the
18 fiscal year 2012 budget request. And I'll read that number
19 to you. We estimated a range as of last February of 185
20 billion to 218 billion dollars to go to complete the existing
21 environmental management scope, and that's before we add any
22 additional excess environmental liabilities or additional
23 material or waste streams that continue to be generated by
24 the other Department of Energy programs. So, that's a very
25 vast amount of responsibility that we feel, and weighs on us

1 every day, to be honest with you, and we are working hard to
2 try and figure out how to chip away at the life-cycle cost
3 and improve upon our current project schedules.

4 Relevant to this topic today, note that there on
5 the right-hand side of that pie, from about 12 o'clock to 5
6 o'clock, is radioactive tank waste stabilization, treatment
7 and disposal making up 38 percent of our life-cycle-to-go-
8 cost, but know that 3 percent is associated with the fuel
9 management activities. And, of course, that would not
10 include the cost of transporting to interim storage or the
11 cost of disposing, which are assumed to be borne by other
12 departmental elements.

13 Here's another look at our EM life-cycle-cost-to-
14 go, but this time represented over time. You'll see that the
15 curve tails out in the 2050 timeframe. Again, that gives you
16 a sense of the number of decades before us. And this color
17 scheme is a little bit difficult to read, but the bottom
18 chunk, that big, dark--what I would call burnt sienna,
19 because I remember my Crayola days--that is the tank waste
20 cost. The Spent Fuel Program doesn't really show up by
21 itself. It's wrapped up with our other excess special
22 nuclear materials activities, which is that bright yellow
23 just above it. But you could see for the foreseeable future
24 tank waste makes up approximately half of our average--our
25 annual investment each year.

1 One more look at our cost curve. That's the basis
2 of the line here in the graph, and I've drawn a little red
3 star for you and shown you what flat funding might look like.
4 Our Fiscal Year 12 appropriation is 5.7 billion dollars, just
5 a little over that. You can see that our baseline needs,
6 what we estimated in our detailed project plans to complete
7 the environmental management activity, exceeded 6 billion
8 dollars, approached 7 billion dollars in fiscal year 13. So,
9 we have a gap over what funding is available to buy us now,
10 forcing us to do some replanning. But if, in light of the
11 current national budget context or outlook right now, the
12 Administration's warnings hold true that we'll see no
13 increases in discretionary funding, in fact decreases as much
14 as 5 percent, you're going to see our problems of having to
15 rework and defer work are just going to further be
16 exacerbated. And, for that reason, we've undertaken a very
17 intensive strategic planning initiative, and the Tank Waste
18 Enhancements Program is a key component of that.

19 The strategic goals that I'm going to touch on in
20 the next few slides were announced by Dr. Inés Triay in a
21 document that was called, "EM's Journey to Excellence, a
22 Roadmap," was published a year ago this past December, and it
23 set forward seven very high-level strategic goals. Four of
24 them were technical in nature and three of them were more
25 management or programmatic in nature. We are revisiting the

1 feasibility of retaining those strategic goals in light of
2 this budget context, but at this point they do remain the
3 strategic focus of our program, and for very obvious reasons,
4 because they are core to what we are doing day to day.

5 The first goal was to complete the three major
6 waste treatment projects on cost and within schedule, and
7 that is proving to be pretty challenging. I mentioned the
8 Sodium Bearing Waste Project has completed construction a few
9 months behind its targeted schedule, and we are struggling
10 right now to resolve all of the safety issues and support the
11 start-up of that facility, but it does look that it is going
12 to occur in the very near future. We have both a contract
13 goal and a compliance commitment to complete the treatment of
14 the sodium bearing waste by the end of this calendar year.

15 Down here on the lower left is a slightly dated
16 picture of the construction of the Salt Waste Processing
17 Facility. This is a pre-treatment facility before the tank
18 waste at Savannah River is then sent on. Portions of the
19 tank waste at Savannah River are sent on for vitrification at
20 the Defense Waste Processing Facility. We've been doing some
21 in-tank processing to mitigate the impacts of this facility
22 being delayed from its original schedule, so we are very
23 focused on trying to complete the project on its revised
24 schedule, which is targeted for 2014.

1 And, of course, the Waste Treatment Plant; very
2 popular and widely covered construction project. Some refer
3 to it as the largest construction project underway in the
4 world. I don't know if that's really a true statement or
5 not. We do continue to face technical challenges there as
6 well as we face budget challenges. We had an approved
7 project baseline that required 690 million dollars a year.
8 That approaches the annual nuclear energy budget. But we,
9 because of some challenges, had wanted to accelerate that
10 baseline and had requested from Congress 840 million dollars
11 in Fiscal Year 12. We received just 740, so we have a 100
12 million shortfall from what we had been planning on.
13 Although it's slightly more than what our baseline called
14 for, we know that baseline does not support the kind of
15 acceleration and life-cycle cost reduction that we are
16 targeting.

17 The second strategic goal was really totally
18 focused on trying to find new ways to complete our work
19 scope, or slightly varied ways to complete our work scope, so
20 we could reduce the life-cycle cost by as much as 43 billion
21 dollars and shave off as much as a decade. And a key
22 component of that, as I mentioned, is the Enhanced Tank Waste
23 Strategy. Again, Ken Picha, who is very--right now he's the
24 Deputy Assistant Secretary for our Safety Office, but he's
25 very experienced in working with the Waste Treatment Plant

1 and our tank waste projects in previous versions of the EM
2 organization. And in our pending reorganization, he is going
3 to be the Deputy Assistant Secretary for the Tank Waste
4 Office, so he is going to remain very involved in this area,
5 and he'll be providing you much greater detail about some of
6 these investment opportunities.

7 I just want to set the stage. I won't read these,
8 but these are some of the areas, some of the components, of
9 our revised and improved strategy for tank waste management,
10 really focusing on bringing technologies to the tanks to
11 advance and accelerate retrieval, using some advanced
12 melters, pursuing higher waste loading where appropriate.
13 And that's an important point. We'll talk about that a
14 little bit during my presentation, because there are very
15 specific waste loading assumptions that were in the license
16 application regarding the Yucca Mountain Repository System
17 that we may revisit in the future. Alternative treatment and
18 disposal processes, looking for modified waste form. We need
19 to rethink some of our disposal site selection strategies,
20 additional mixing, and other areas. Again, we'll touch on
21 these in more detail this afternoon.

22 This slide, too, is just a little bit dated, but it
23 was intended to give you the illustrative sense of the kind
24 of schedule advances. If the blue shaded curves on the River
25 Protection and the Savannah River graphs are a current

1 baseline, the green line is showing you what our accelerated
2 schedules would support. You'll see that there are some
3 additional investments needed at Savannah River in order to
4 realize a 3.2 billion dollar savings at the Office of River
5 Protection. Because there's a longer schedule remaining, we
6 don't need so much advance funding or additional funding in
7 the near years, but we can still, with some very refined
8 technology investments, bring the total project cost in
9 significantly, we believe.

10 So, I'm closing, and then I look forward to your
11 questions and some dialogue. We are very focused on
12 continuing to safely retrieve and deal with the imminent
13 risks associated with our tank waste management, as well as
14 safely storing other high-level waste forms and our spent
15 fuel inventories. We believe our on-site storage
16 capabilities that we have today, including our glass-faced
17 storage buildings and our fuel storage systems, will be fine
18 for 100 years; however, we are continuing our efforts to
19 confirm that for ourselves. We are very focused on
20 completing the construction of the remaining elements of our
21 tank waste treatment system, and, as I mentioned, we're
22 working hard to identify ways to reduce those costs and
23 accelerate the schedules.

24 We are continuing to share experiences between our
25 tank waste sites. We have a corporate board, it's called the

1 Tank Waste Corporate Board, that meets on a relatively
2 regular basis, a couple times a year, to do just this, to
3 collaborate on technology investments. A lot of coordination
4 has gone into this Tank Waste Corporate Board that was set
5 up, again, by Dr. Inés Triay, to ensure that we are
6 maximizing the opportunity for integration among our sites.

7 We are very focused on ensuring our treatment
8 methods will ultimately meet whatever future repository is
9 developed, and, again, that's what I will talk about this
10 afternoon, ensuring that we've got the pedigree on the waste
11 forms we've generated to date, whether it's canistered fuel
12 or vitrified high-level waste, but also having a very
13 rigorous approach to revising the technical requirements so
14 we've got full pedigree whenever the next repository
15 development effort is undertaken.

16 We are looking forward to the recommendations of
17 the Blue Ribbon Commission as well as the Secretary's
18 reaction to those, as appropriate. We also agree, as Dr.
19 Lyons said, that any future repository system needs to be
20 based on consent. We have great experience with the WIPP
21 facility, and as our national transuranic waste repository
22 and our successes there would not have been possible by any
23 stretch without the support of the Carlsbad community and the
24 state of New Mexico. We are well aware that Governor
25 Martinez in New Mexico has expressed some support for some

1 potential future missions for the WIPP area, and we have been
2 in discussions with our colleagues in other elements of the
3 Department to figure out what additional research of salt
4 might support some revised or expanded mission for the WIPP
5 vicinity.

6 And, bottom line, we are fully committed to meeting
7 our compliance commitments. We do have a number of
8 compliance commitments to the state of Idaho, to the state of
9 Washington, and to the state of Savannah River, regarding our
10 tank waste and fuel inventories, that there is some
11 uncertainty about how we will ultimately meet those, but
12 we're engaged in looking at alternative strategies, as
13 appropriate, to ensure that we can continue to meet them.
14 And that may involve shipment of waste offsite for interim
15 storage; it could involve investments in a replacement
16 repository for defense waste. All that remains to be seen,
17 but we're very busy working with our colleagues and our
18 stakeholders in those states.

19 Thank you.

20 GARRICK: Thank you.

21 Questions from the Board?

22 Andy.

23 KADAK: Yes. Thank you for your presentation. I was
24 particularly interested in your last comment relative to
25 still able to meet the commitments. I think Idaho is 2035?

1 GELLES: Yes.

2 KADAK: Are you looking at an independent repository
3 solution for your waste streams versus the commercial waste
4 stream to be able to meet that commitment?

5 GELLES: I'm going to be careful about how I answer
6 this. Are we looking at it? We are evaluating the merits
7 and the potential advantages as well as the programmatic
8 impacts of proposing that the Administration revisit its
9 current policy for comingling of defense and civilian wastes,
10 so we are looking at elements of that; however, there has not
11 been an Administration's position on that yet. We are,
12 again, awaiting the Blue Ribbon Commission's recommendations.
13 I think they were a little bit open to the possibility of a
14 separate facility. We most certainly have a need for the
15 development of a repository that can accommodate the defense
16 waste inventories, and I think all of you are aware that the
17 Yucca Mountain Repository would not have accommodated the
18 entire inventory of EM owned high-level waste. Could
19 potentially have accommodated all of the EM owned spent
20 nuclear fuel, but the rate of receipt may not have supported
21 us meeting our compliance commitments, given the delays that
22 the Yucca Mountain Repository Program had incurred. So,
23 given that there is uncertainty about a future repository, we
24 are taking advantage of the opportunity to make some
25 recommendations about what pace a future repository would

1 have to be on and what acceptance criteria we'd need to have
2 in order to fully accommodate all of the EM owned waste
3 streams that we could completely comply with all of our
4 regulatory commitments.

5 KADAK: Are you concerned about making waste that has no
6 place to go at this point relative to the characteristics of
7 the glass and so forth? I mean, the whole engineered barrier
8 system, is that what you're going to ultimately rely on then
9 given a waste form?

10 GELLES: Most certainly we are concerned about
11 generating waste forms that cannot be disposed or could not
12 be disposed in some, you know to-be-designed repository, but
13 because we have such great knowledge about the waste forms
14 that we have generated to date, and they were generated in
15 compliance at the Yucca Mountain acceptance criteria, the
16 anticipation of the Mountain acceptance criteria in the NLA,
17 that we--you know, we believe as long as a future repository
18 system can provide a system that is acceptable of those waste
19 forms, we will have no problem. I think that it's very
20 feasible to me that we can design a repository system that
21 could accommodate the existing waste forms as well as some of
22 the optimized waste forms that we are contemplating in the
23 future. And, again, that's why we're retaining the existing
24 high-level waste requirements that were specified for the RW

1 system so that we don't create some uncertainty about our
2 existing glass.

3 Did I answer your question?

4 KADAK: Yes, yes, fine.

5 GELLES: Okay, thank you.

6 GARRICK: Yes, Ali?

7 MOSLEH: Yes, Mosleh, thank you for your presentation.

8 Would you elaborate more on the third bullet that you have in
9 terms of what form this sharing of experience is?

10 GELLES: Yes. I mentioned the Tank Waste Corporate
11 Board, which is one entity that's comprised of both our
12 federal leadership and our contractor leadership from each of
13 our tank waste sites and the contractors involved, because in
14 some cases there's multiple contractors involved in our tank
15 waste management systems at our DOE sites, they get together
16 and they share information on program plans, share
17 information on the challenges they're experiencing. Most
18 certainly if they have retrieval experiences, obstacles they
19 encounter where there are truly lessons learned and may give
20 strategies that have to be employed, that's a critical
21 component of the Tank Waste Board sharing experiences. But
22 the Tank Waste Enhancements Program, which I touched on and
23 that Ken will elaborate on, is a very robust effort to bring
24 together the National Laboratories to team on certain
25 technology ideas, whether it's advanced retrieval

1 technologies, or advanced melter technologies, or alternate
2 waste processing techniques; it could be technetium
3 treatment, technetium capture, and then some of the waste
4 disposal questions that a modified waste form would present.
5 Those are dealt with in earnest through this tank waste
6 strategy group that's been convened, and it comprises our
7 site contractors, expertise from the National Laboratory,
8 some of which is in the back of the room today. And we have
9 some consistency in our current contractors. We have URS
10 present at all three of our tank waste sites, so there's some
11 natural sharing of experiences throughout that corporate
12 entity that we can leverage as well.

13 GARRICK: Can we go to Slide 9, please?

14 GELLES: I can try. Whoops. There we are.

15 GARRICK: Your mandate is an impressive one; it's just
16 hard to get your arms around an annual budget of around \$200
17 billion. And, so, you have tremendous responsibility and
18 you've had some very impressive successes, but if you look at
19 curves like this, I would be very curious as to what gives
20 that curve real credibility. And what I'm thinking of is if
21 you produced that curve over the last three decades, would
22 that give that curve--enhance its credibility? In other
23 words, how is this cost--and the Board does not have cost in
24 its mandate, but it certainly has an impact on the success of
25 the technical activities that are a part of the process.

1 Would you be able to reproduce that curve as a function of
2 time, say over the last three decades? And would it look
3 like that, or would it have a clear resolution as to what was
4 the basis for--and I suspect the growth of the curve?

5 GELLES: That's an excellent question, and I'm going to
6 answer it as honestly as I can. I'll preface it by saying
7 that I've been with the Department since '93, and the first
8 six years of my career were spent with the chief financial
9 office as the budget analyst for the Environmental Management
10 Program. And since '99, I've been with the Office of
11 Environmental Management at headquarters, so I'm pretty
12 familiar with all of our strategic planning efforts and our
13 projects.

14 GARRICK: So I'm asking the right person.

15 GELLES: I believe you are. Although strategic planning
16 is not my responsibility per se, there's a whole office set
17 up for that, but we do support it and are engaged in it.

18 This is the most credible curve that we've ever
19 had. We could generate what the curve looked like not three
20 decades ago, but maybe a decade ago.

21 GARRICK: Okay.

22 GELLES: Ten years ago we could give you a version of
23 this. It would have not been informed by the bottoms of
24 detailed project plans that are in place today. To a large
25 degree, we were relying on M&O contractors at all of our tank

1 waste sites. We didn't have life-cycle plans across the
2 complex for all of our activities. To to a large degree, key
3 elements of the waste treatment system had not been
4 constructed. And that still remains true today if you think
5 about the waste treatment plant being such a large component
6 of that, but we at least have a facility that's greater than
7 50 percent complete, and we have a sense of what the total
8 project cost and schedule will require. So, we've gotten
9 better at our planning. I think even five years ago there
10 were some unrealistic assumptions within our project plan, so
11 I would say that a curve drawn five years ago would not be as
12 credible as this one. This one, though, still assumes a
13 level of funding that we're not going to see, so I have--I
14 don't want to describe my confidence in this curve as high.
15 I do have confidence in our strategic planning effort that's
16 underway now, though, to identify how we can change this
17 curve and retain as much credibility as possible. Which, you
18 know, at my core I'm a project planner. I mean, I believe
19 that you have to use just core project management principles
20 in planning a program of this complexity to have any sort of
21 credibility. So we are going to continue to try and refine
22 this as best we can.

23 GARRICK: Which of these components would you say has
24 the greatest volatility or the greatest uncertainty?

1 GELLES: The tank waste component most certainly. The
2 facility D&D in soil and groundwater has volatility from the
3 standpoint that to a large degree the exact remedy is to be
4 determined, because we haven't reached final remediation
5 decisions at most of our sites. And to a certain degree,
6 those are the last activities that are ever performed at
7 sites. I mean, we'll have to remediate the soil and
8 groundwater around the tanks when we ultimately empty all of
9 the tanks, and we've got--that's the longest duration
10 activity within our program. So, there is volatility there,
11 but the relative technology changes there carry a smaller
12 cost differential, and the relative reliance on innovation is
13 lower. So I think the greatest magnitude for change is in
14 the tank waste component as well, which is why we are
15 spending so much time and effort on the enhanced tank waste
16 strategy that you'll hear Ken talk about this afternoon.

17 GARRICK: All right. Thank you. Thank you very much.

18 Any other questions?

19 KADAK: Can I ask one more?

20 GARRICK: You may.

21 KADAK: On the Hanford Waste Treatment Facility, I've
22 heard the design isn't yet complete and the processes that
23 have proposed may not work in terms of high-level waste form.
24 Can you just comment on that and how far and how much over
25 budget is it right now?

1 GELLES: Okay. I'm going to reserve the most detailed
2 answer to Ken--

3 KADAK: Okay.

4 GELLES: --and I'll be sure to mention before he gets
5 here that you're going to ask him that--

6 KADAK: Okay.

7 GELLES: --so he's prepared. The facility is not 100
8 percent complete in design, and it is a design build. We're
9 trying to keep the design substantially ahead of where we are
10 in construction, but there is still a little bit of design
11 remaining to be complete. I think we're over 80 percent
12 design complete. And if any of my colleagues in the back
13 know the actual number, please shout it out.

14 In terms of total cost, that's a challenging
15 question for me right now, because we have a total estimated
16 cost of the project that is still potentially viable and yet
17 our project, which receives a lot of oversight and support
18 from other elements of the program, including the Office of
19 Engineering and Construction Management. They've recently
20 coded this project "red," meaning that they anticipate that
21 some of the risks that we have been carrying on our risk
22 register are going to be incurred, and for that reason that
23 the cost is likely to increase. It's not exactly clear to
24 me, and Ken is the cognizant authority on this, whether or
25 not we have concurred that we're going to incur those costs.

1 A lot of what you'll hear him talk about are the efforts
2 we're taking to try and bring the project in on cost and on
3 schedule.

4 So, we've got real risks we have to deal with.
5 There are some uncertainties about elements of the system,
6 but I believe that the system is well designed and will
7 perform. It's just we may have to work out some of the bugs,
8 as we always have to do on these one-of-a-kind treatment
9 systems. We're experiencing that on a much smaller scale
10 with the Sodium-Bearing Waste Treatment System now. I mean,
11 these are robust first-of-kind treatment facilities that are
12 massive undertakings, and we're dealing with highly
13 radioactive waste streams, so we have to put the safety
14 first, and sometimes it just takes longer to work out those
15 details.

16 KADAK: Is decommissioning of those facilities included
17 in these cost estimates?

18 GELLES: They're intended to be, although I'll tell you
19 that that is the one element of the facility D&D curve that's
20 probably not fully articulated at this time.

21 GARRICK: Okay. Thank you, Christine.

22 GELLES: Thank you.

23 GARRICK: We're going to get another change to question
24 you a little later in the day.

25 GELLES: I so look forward to that.

1 GARRICK: Thank you very much.

2 Okay, we're going to take a 15-minute recess.

3 (Whereupon, a short recess was taken.)

4 GARRICK: Let's reconvene the meeting with the Honorable
5 Monica Regalbuto.

6 REGALBUTO: Well, good morning. And I just want to
7 express my thanks to the board and the staff for inviting me
8 to be here today.

9 You heard from Dr. Lyons the presentation related
10 to an overview of the Office of Nuclear Energy, specifically
11 as it relates to Objective 3 of the Roadmap, which is
12 Sustainable Fuel Cycles. What I'm going to focus on is more
13 on the integration that we conduct within the Office of
14 Nuclear Energy and also within other offices of the
15 Department of Energy as it relates to Fuel Cycle research and
16 development we do. In addition to that, the last part will
17 be pretty much an introduction, and I will also touch
18 throughout the presentation, how do we use system analysis as
19 a tool for integration and optimization and Roald Wigeland
20 will be presenting for you right after my talk; or if you
21 want to do questions in between, that will be up to the
22 Chairman.

23 First of all, just a quick reminder, Dr. Lyons covered
24 the mission for the Office of Nuclear Energy. I just want to
25 present a little higher roll-up from that. The Department of

1 Energy released a strategic report the last calendar year,
2 and we basically support the Department of Energy's mission,
3 which is to ensure America's security and prosperity by
4 addressing its energy, environmental, and nuclear challenges.

5 We specifically support Goal Number 3, which is secure our
6 nation, and that implies enhancement of nuclear security
7 through defense, nonproliferation, and environmental efforts.

8 Of note is that also supporting Goal Number 3 is
9 the Office of Environmental Management and it's also NNSA.
10 So you will see that there are some natural synergies that
11 the three offices have as we all support the same goal, and I
12 will present that towards the last part of my presentation.

13 Dr. Lyons covered advance nuclear power, and I just
14 want to remind you that Objective 3 for the fuel cycle
15 research and development is the development of fuel cycles,
16 sustainable fuel cycles. When the Roadmap was originally
17 done, the emphasis on used fuel waste management strategies
18 was not completely imbedded as it was still being
19 transitioned from the Office of Radioactive Waste Management
20 from the old OCRWM, so we have had added it to our mission
21 statement just to emphasize that that is also part of our
22 mission. Of course, we do this by improving resource
23 utilization, minimize waste generation, improve safety, and
24 limit the proliferation risk.

25 On the right-hand side you're going to see some of

1 our program objectives. This is very grossly lumped as Near
2 Term, Medium Term, and Long Term. In the near term, to no
3 surprise, it is down select of the fuel cycle options for
4 further development. Similar to the Used Fuel Disposition
5 Program where we're still looking at a number of options for
6 disposal, in the area of Fuel Cycles we're still looking at a
7 large amount of Fuel Cycle options; and, of course, we have a
8 lot more options to look at compared to disposal. So that is
9 why we do the System Analysis and Integration Program to
10 narrow it down to a number of feasible alternatives that we
11 will be looking at. Notice that this alternative is a down
12 selection that allows us to concentrate unlimited research
13 and development funds. It is now an elimination--or
14 completely endorsement of certain areas, and Roald will be
15 describing that a little bit more in detail. This is
16 basically to provide options that weigh the pros and cons of
17 doing each of the fuel cycles. There's been a preliminary
18 screening, and some of those options have already been either
19 lumped in groups or completely eliminated, and Roald can
20 comment to that during his presentation.

21 We also have an increased focus on accident
22 tolerant fuels in the near term. This is really after the
23 results of Fukushima. And John Herczek, who is sitting in
24 the back and many of you know, in addition to Sal Golub from
25 the Office of Reactor Technologies, are leading this effort;

1 and we are at very, very early stages in which we're still
2 just planning. We are going to be holding workshops and
3 coordinating with industry and other stakeholders, including
4 universities, of how we're going to develop this initiative.
5 So we are at the very early stages; and if you have any good
6 suggestions or ideas, I suggest you talk to John Herczek,
7 because this is at the stage that we're in, which is the
8 planning stage.

9 In addition, addressing BRC recommendations for
10 used fuel disposal, this in the near-term action. We do have
11 a deliverable for six months after the last--after the final
12 report is out on the response of the Department of Energy to
13 this area.

14 In the mid-term, we're looking more at conducting
15 R&D at a much more select and down select of fuel cycle
16 options, working on the implementation plan for the Test and
17 Validation Complex for extended storage of used fuel--and you
18 will hear the usual disposition group talk about that--and
19 we're also evaluating the benefits of the various geological
20 media for disposal.

21 In the long term, which is 2050, we're really
22 looking more into completing the demonstration and
23 engineering work that is supporting the medium and the near
24 term objectives.

25 The Fuel Cycle R&D has key strategic linkages that

1 support the four NE objectives, and those four objectives are
2 shown outside of the circle in here. So this is what you
3 will see on the Roadmap and Dr. Lyons covered in detail,
4 specifically, he was addressing Fuel Cycles. In the middle
5 of the circle I have listed a number of areas that we use to
6 conduct strategic linkages. And rather than--this is just a
7 snapshot, and I just want to give you some examples of the
8 areas that we do. Obviously fuel management, accident
9 tolerant fuel, advanced reactors, fuel resources, spent
10 separation, secondary waste development, and some of the
11 special nuclear materials protection and accountancy.

12 But I prefer to view this in the context of the
13 fuel cycle, which I will be showing you on the next slide, so
14 this is in line with--okay, there we go--this is in line with
15 this report. But, you know, if you're a visual person, you
16 probably can view it better as it relates to the fuel cycle
17 overall. This also addresses some of the integration areas
18 that I was asked to talk about today.

19 How do we achieve integration within the Office of
20 Nuclear Energy? We do that by focusing on working towards an
21 integrated fuel cycle approach, and I will describe that.
22 This is a very simple diagram, but obviously it is a very
23 complex thing to do.

24 First of all, I will mention the three federal
25 directors that work into this area. That's Andy Griffith,

1 who is Fuel Cycle--traditional Fuel Cycle R&D, and he's
2 someplace in the audience--there is his hand--Rob Price, who
3 is in charge of the System Analysis and Integration--he is in
4 the front row--and, of course, all of you know Bill Boyle,
5 who is in the Used Fuel Disposition area.

6 Okay. So one thing that I like to emphasize is
7 that this is the first time that all the Fuel Cycle is in the
8 same Office of the Department of Energy; and that may be very
9 simplistic, but it's not that simplistic for somebody who
10 works in a large organization. All of you know that OCRWM
11 was in charge of some portions of the back end, which
12 included interim storage and disposal, but some of the back
13 end areas such as Recycling of Fuel, Separations, you know,
14 building the recycled fuel, and Secondary Waste Treatment
15 used to be part of the Office of Nuclear Energy. So even in
16 the back end we were not completely integrated.

17 In addition to that, since the last time we seen
18 each other, I believe, Uranium Resources has moved to our
19 area, which is NE5. And in Uranium Resources, in addition to
20 looking at the innovative approaches, as Dr. Lyons mentioned
21 in his presentation, like uranium from sea water, we also
22 look at conventional production. In the area of fuel
23 fabrication, we look at enhanced LWR fuel and also at
24 high-performance fuel like high-burnup materials; and we also
25 look at, you know, advanced fuels, for example transmutation-

1 type fuels.

2 In the area of Reactors, it's shaded in gray,
3 because the area of Reactors falls outside of my office,
4 which is Reactor Technologies, but we work together in
5 coordination with them, and that's John Kelly's area, and Sal
6 Golub is his deputy, who is the one leading the effort with
7 John Herczek. So Reactors is shaded in gray just to note to
8 you that it's outside of my area of expertise, but there are
9 folks in here who are working in that area if you were to
10 have some questions.

11 In the area of Interim Storage, we're looking at
12 evaluation of extended time frames and transportation after
13 storage. Recycle is separations obviously, recycled fuel
14 fabrication, secondary waste treatment. In addition are some
15 other critical areas like stabilization of damaged fuel and
16 so on. And disposal, we're looking at alternative geologies
17 and alternative waste forms.

18 These are just some highlights of the program. It
19 is not meant to be inclusive of every single thing that we
20 do, but I just wanted to list to you more or less a little
21 snapshot of what the fuel cycle is currently under the Office
22 of Nuclear Energy. In addition to that, we optimize through
23 Systems Analysis and Integration, and you probably noticed
24 that that covers all the areas including the Reactor part.

25 I understand and I have read many of the Board

1 studies, and I know that the Board has championed a system
2 approach for fuel cycle technologies, specifically as it
3 relates to linkage among all elements. But our challenge is
4 pretty big, and it is a little bit broader than just research
5 and development.

6 One of the things that I usually have in
7 conversations with my colleagues that work in the
8 international area is how we all have to share the same
9 pieces, but we do not have the same strategy and goals. And
10 one of the things that surprises people--I, you know, clearly
11 remember one conversation with my colleagues in the UK where
12 they finally understood why it didn't make sense for us to do
13 some of the things that were done in the UK. And the model
14 is--it's a little bit different in the United States than it
15 is in some of the other countries, especially those that have
16 different forms of government that are more socialist, for
17 example.

18 One of the things that is important to note is, for
19 example, that these three first parts of the fuel cycle are
20 really run by private enterprises in the United States. They
21 are not run by government organizations. What we run as a
22 government organization is the back end. In some countries
23 spent fuel is the responsibility of the utilities until it
24 goes to the disposal site, so until you get to this area. In
25 this country it is right here.

1 So when we do economic analysis, when we do some
2 comparisons, even though we have the same parts, the
3 optimization is not as straightforward as it is in other
4 countries. One example, for example, in Uranium Resources--
5 I'm showing you a very simplistic box in here--but we do have
6 multiple industries even in Uranium Resources. We have
7 mining, we have enrichments, all run by different
8 corporations, different parts. Fuel Fabrication is run by
9 different entities; Reactors is run by the utilities. So
10 when I speak to my colleagues overseas, for example, they
11 say, well, you know, our economic analysis shows that we can
12 stand to do a fuel cycle total cost benefit, and in our case
13 it doesn't work that simple, because a benefit sometimes in
14 the back end causes an increase in costs in the front part,
15 and that is run by two different entities. So in countries
16 where it is usually the same entity--take France as an
17 example--even though they are different, they're still
18 government owned, there can be a compromise quickly reached
19 that if there is a benefit in the back end at the expense of
20 some on the front end, then, you know, people move forward
21 with that, and a policy is developed.

22 But, in our case, you're looking at two different
23 parties. You're looking at industry and government
24 responsibilities, and they don't align together, especially
25 if we don't have a national policy of how we move things. So

1 that is one of the challenges that we face as we do some of
2 the integration. We integrate to the extent that it's
3 possible, but we cannot force utilities to do something that
4 is uneconomic for them for the benefit of the back end unless
5 there is a national policy that addresses that.

6 In other countries like France, that can easily be
7 done. For example, MOX is a typical example of critiques
8 that you hear back and forth on economic analysis and who
9 does what and how much waste minimization is done and so on
10 and so forth. But the benefit of MOX in France is, in the
11 whole fuel cycle they have it worked up to the last level of
12 detail, in which exactly how much amount of fuel is worth it
13 to be recycled or not--they don't recycle all their MOX--how
14 many passes and so on; but in this country we are detached in
15 that area. So that's the one area that I'd like to point out
16 as we present the integration of the fuel cycle in the
17 context of the United States.

18 Even though you see the different pieces of the
19 fuel cycle, we align ourselves in different areas in terms of
20 the fuel cycle, and it's probably five different areas that
21 we call our technical focus areas. The first one is Fuel
22 Resources. The next four, in addition to Systems Analysis,
23 which is shown in the bottom, are what you may have been
24 heard is the traditional fuel cycle R&D campaigns. So you
25 have Advanced Fuels, Separations and Waste Forms, Materials

1 Protection, Accountancy and Control, and Used Fuel
2 Disposition all being coordinated and integrated by the
3 Systems Analysis and Integration campaign.

4 This campaign is listed separate, but it really
5 falls for administrative purposes underneath the Separations
6 and Waste Forms, because it's a very small effort. We do
7 have some work on conventional production, a very, very small
8 effort being done by Los Alamos in terms of some green mining
9 development. And I think I saw Bruce Robinson in the back
10 someplace there, and he is a young staff member who is
11 working, in addition to our forms, with some forms from the
12 State of Wyoming that are looking at some more green
13 technologies for mining, for example.

14 Dr. Lyons talked about some of the integration
15 approaches, specifically as they relate to some of the
16 recovery of uranium from sea water, but those, again, are
17 small efforts, so for administrative purposes are run by
18 Separations that, you know, some of the technologies are of
19 benefit of Separations.

20 Advanced Fuel, we're working on development of the
21 next generation of light water reactor fuels to improve
22 operating margins, accident tolerance, and high burnup; and
23 we're also working on development of transmutation of fuel
24 that has a high degree of tolerance for accident conditions
25 and also represent advances in resource utilization and

1 reduction of waste.

2 Separations and waste forms is probably the area
3 where we have the most natural intersection with EM, and you
4 will be hearing about that in the next couple of slides.

5 We've developed the next generation of Separations and Waste
6 Management technology that enable sustainable fuel cycles.

7 Andy asked a question a little while ago, What is new?

8 Obviously the new part is reduction of secondary waste as to
9 maximum extent possible and also trying to look at things
10 that are--in terms of proliferation resistance, I would like
11 to develop streams throughout the process that are more easy
12 to be monitored. We're not, you know, doing proliferation
13 resistance per se, because it is a separations process after
14 all. But one of the differences is, we do have a mixed
15 stream of transuranic material like separated plutonium, for
16 example.

17 We also work on fuel disposal conditioning
18 techniques, and what that means is we look at stabilizing
19 fuel that has been compromised. This is fuel that we
20 stabilize and not necessarily--is not necessarily scheduled
21 with recycling. So one thing that usually comes to mind when
22 people think about separations and waste form development is
23 they associate that campaign with recycling of spent fuel,
24 but that's not really all that that campaign does. We do a
25 lot of stabilization of waste streams that are not

1 necessarily scheduled for recycling.

2 And the last bullet, of course, acknowledges the
3 fact that we do work in recycling technologies with the goal
4 of minimizing secondary waste and potential for material
5 diversion.

6 In terms of Material Protection, Accountancy, and
7 Control, this is an area--oh, I'm sorry, I should back up a
8 little bit. In the area of Separations, we also interact
9 very closely with NNSA; and you may question why that is
10 their interaction, but that is the area of medical isotope
11 production, which is a GTRI program, has many of the same
12 separation challenges, especially as it comes to the recovery
13 of material that we do face in fuel cycle R&D. And I'll
14 touch on that, too.

15 Obviously the next box, which is Material
16 Protection, Accounting, and Control Technology, it is very
17 well aligned with NNSA, and you may question where the
18 difference is between what we do and NNSA does. It's pretty
19 simple. We work on advanced fuel cycles where we do have a
20 mixed stream of transuranic materials. We don't have pure
21 plutonium streams anymore, which those represent a different
22 challenge when one is trying to do some instrument
23 development and signals that are being masked by the presence
24 of other actinides and some of the fission products.

25 In the area of used nuclear fuel, I will not cover

1 that. You all are extremely familiar with that. And Jeff is
2 going to be giving you an update on that.

3 And Systems Analysis and Integration, I highlight
4 it in yellow, because Roald Wigeland will be presenting after
5 me. The Systems Analysis and Integration effort, as I
6 mentioned from the federal side, is being led by Rob Price,
7 and from the laboratory side is Roald Wigeland and Tammy
8 Taylor, who is sitting in the second row with us.

9 So I have provided an emphasis on focus areas, but
10 these focus areas will likely change, and one thing that will
11 cause this are the key challenges to succeed and the out
12 year's considerations. I have listed the two most important
13 ones, at least for my program, and that is the Blue Ribbon
14 Commission recommendations and the events of Fukushima. For
15 the Blue Ribbon Commission, recommendations could lead and
16 likely will lead to near-term program shifts and a major
17 restructuring in the longer term. We also are bracing for
18 the potential to consider interim storage and associated
19 transportation to centralize storage facilities, which has
20 not been done for a number of years during the Yucca Mountain
21 program. There is extensive work that was done before that,
22 and we are prepared to use that information to address the
23 recommendations of the Blue Ribbon.

24 In terms of Fukushima, it may lead to the shifting
25 of the program priorities; also as we deal to reduce some

1 overall program funding that you will be seeing. And, in
2 addition, there is a severe accident tolerant initiative that
3 I have mentioned already.

4 This year we will be conducting some relevance
5 reviews in two of the different campaigns. One will be
6 Separations and Waste Forms, and the other one is Fuels. A
7 relevance review is something new that we will be starting
8 this year, in which every two years we will be reviewing our
9 program and make sure that we are aligned with the priorities
10 that need to be done, as some of the programs and initiatives
11 throughout DOE change frequently.

12 In FY 13--yes, I'm sorry, 14--we plan to do used
13 fuel disposition, and you will be hearing from that as we
14 move forward after we do fuels and seps.

15 Before I go on into how we integrate with the
16 different offices of the Department of Energy, let me just
17 spend a few minutes on the '11 and '12 budget summary. Dr.
18 Lyons presented the total NE budget, and we were one line in
19 there, which you probably saw, and if you wrote it down, it
20 was--the slide was 186 million dollars. Note that for the
21 first time in a long time we are not under CR this year,
22 which really makes things a lot better for us. It allows us
23 to do some planning. We are still in the process of re-
24 baselining and are conducting our planning efforts. That
25 will not be completed until, like, February. Unfortunately,

1 we missed the February FIM plan by the time all the last
2 dollars had been done. You will notice a shifting on the
3 dollars with an emphasis on Advanced Fuel and Used Fuel
4 Disposition, as the language in the appropriation bill has
5 instructed us to do, and that results in the reduction on
6 Separations, Systems, and MPACT, which is the safeguards
7 area.

8 Another area that you may see zero out is
9 Transmutation R&D. That's basically a collection of
10 cross-section-type data, and that has really folded under
11 Advanced Fuels. In the area of Modeling and Simulation, the
12 delta that you see in there, which is about roughly 10
13 million dollars, did not disappear; it just got reallocated
14 into a crosscutting area that we do with the Reactor
15 Technology group. So that's not a delta; it's basically
16 money that has been shifted to another line item in the
17 appropriation bill.

18 Okay, so now let me just quickly touch on how we do
19 some of the integrations within the other offices. We
20 discussed how we integrate within NE, in which the System
21 Analysis group has a big role in doing that, so we discuss
22 some areas in here. I listed a few other things just for
23 completion. We do heavily integrate with the Reactor
24 Technologies and also with the Facilities. In Dr. Lyons'
25 presentation in the org chart you see that as different

1 boxes, and my little last bullet unfortunately got cut out,
2 but there is the international program that should have been
3 listed here, and that is Ed McGinnis's area, which,
4 unfortunately, got cut out of my text box.

5 In addition, we also coordinate with other offices
6 within NE, and not shown in this slide is coordination
7 outside of the Department of Energy. Specifically listed in
8 here are NNSA and EM, which I told you share the same
9 objective and the same goal, which is Goal Number 3 from the
10 DOE strategic map. And the Office of Science, you know, we
11 clearly closely interact with them, as we have a number of
12 areas that are very similar in terms of the kind of technical
13 work that is being conducted, and we leverage work that is
14 done in the Office of Science. Office of Science has a more
15 discovery mission as related to NE, NNSA, or EM, so we have
16 successfully used some of the work that has come out of the
17 Office of Science in many areas, including EM and NE.

18 Specifically, one example that comes to mind is the
19 development of the BOB Calix, which is the solvent that we
20 use to recover cesium from either tank waste or spent fuel
21 or, you know, accident recoveries from some of the leaching
22 soils. That work was done--the fundamental work to develop
23 the BOB Calix was done by Bruce Moyer, funded through the
24 Office of Science, so you can see how we have incorporated.
25 So we work very heavily with the Office of Science results.

1 And I have as many stories on modeling and simulation--
2 because that's not my forte; I'm a separations person--but
3 there are similar examples in some of the high-performance
4 computing codes, specifically as they relate to the platforms
5 that everybody uses, and then we do the technical plugging
6 into those platforms. Nuclear physics is another area.

7 So one of the other areas that is--you see in NNSA
8 some of the safeguards work. You see in EM some of the
9 disposals and waste forms, and you see in Science, you know,
10 different areas that I've listed. One of the areas that I
11 would like to show to you as an example is separations. I
12 mentioned in NNSA we have the medical isotope production
13 program, EM has the tank focus program, and Science has the
14 heavy element chemistry, and we have the separations
15 campaign. We all have similar technology needs, but we have
16 very different missions, and what time of development the
17 different things come is really what differentiates the scope
18 of work for the four different organizations.

19 In July of this year we conducted a separations
20 technology workshop where all organizations worked together
21 to help identify crosscutting needs for DOE in the area of
22 separations technology with the goal to expedite development
23 and examining opportunities to leverage our R&D work across
24 DOE. Needless to say, many of the scientists that work in
25 all four different areas know each other, and it's a very,

1 very small community, but we do have different missions, and
2 we also have different areas that need to be closely
3 coordinated. The report is available on the website, and I
4 think Jeff may have a link that can be provided to all of you
5 if you're interested in reading the results of that work.
6 That was a very successful workshop. We have an incredible
7 participation from universities, industry, and the national
8 labs in all four different offices; and we were very pleased.
9 This work was championed by S2 and really came out to be one
10 of the best work that we have done this year.

11 So, finally, as we seek towards working an
12 integrated fuel cycle approach, one of the tools that we rely
13 heavily is on system analysis and engineering studies. Roald
14 Wigeland will be presenting after me, and I just want to give
15 you a little snapshot of what he will be presenting.
16 Obviously this will help us evaluate and screen the process,
17 and the goals are to provide systematic and objective
18 processes to prioritize our research and development
19 activities and to also inform programmatic decisions. This
20 is a very simplified nuclear system, not even as complicated
21 as my simplified fuel cycle, little box diagram that I show
22 you, but you can see some front-end options that are being
23 taken into account. Some of the nuclear power alternatives
24 we're benchmarking from once-through all the way to
25 recycling. This includes work in reactors, fuels, processing

1 and reprocessing, waste production, storage, and ultimately
2 leading to the final disposal in the different types of
3 media.

4 So, with that, this is my last slide. Roald is the
5 next speaker. And, Mr. Chairman, how would you like to do
6 questions?

7 GARRICK: I think we'll postpone it until we have
8 Roald's presentation.

9 REGALBUTO: Okay.

10 GARRICK: That's the way it's shown on the agenda, so
11 we'll follow that. So we'll hear from Dr. Wigeland first.

12 WIGELAND: Thank you. I would also like to thank the
13 Board for the opportunity to discuss this project this
14 morning and make a presentation on this. I'd also like to
15 thank both Pete Lyons and Monica for introducing the subject
16 as well as the context in which to understand this topic.
17 I'm going to talk about the projects we have underway on
18 looking at nuclear energy systems and the evaluation and
19 screening that we're doing to inform R&D directions going
20 forward.

21 Now, as you've heard this morning, one of the main
22 objectives in the program is to develop the sustainable
23 nuclear fuel cycles; and what I did here is provide a quote
24 from the Roadmap, the DOE Roadmap. They wanted to emphasize
25 improving uranium resource utilization, maximizing energy

1 generation, minimize waste generation, improve safety and
2 limit proliferation risk. Those are many things to look at.

3 What we are developing is what we call a Nuclear
4 Energy System Evaluation and Screening Process with the goal
5 of identifying what we call the most promising options for
6 sustainable nuclear fuel cycles. It's important to
7 understand that in this process we consider the nuclear
8 energy system to include everything from mining through
9 disposal, so it's the entire process, the entire system. The
10 evaluation will be done based on the performance of this
11 entire system with respect to performance metrics, and I'll
12 discuss that in a minute. Once these have been identified--
13 once the most promising options have been identified, we use
14 this--the intention is to inform R&D on technologies--the
15 supporting technologies going forward.

16 Now the criteria--the evaluation criteria that
17 we're working from, some of them are given in the definition
18 for a sustainable fuel cycle, but there are certainly many
19 others. Economics is a very important one. Another one that
20 doesn't get mentioned that often is how much R&D is needed to
21 bring a particular concept to maturity; and if it's just
22 unbelievably expensive, this would not weigh favorably for
23 developing that option.

24 Behind all of these, of course, are environmental
25 impacts. Many of these criteria have environmental aspects

1 to them. The key to the whole process is developing relevant
2 performance metrics, and that is being developed with the
3 FCR&D program by all of the campaigns, as well as having
4 input from external stakeholders; and these include industry
5 as well as other parts of the DOE, in particular, for
6 example, NSA when it comes to proliferation and security
7 issues. The purpose of this is to allow an objective
8 comparison between the different nuclear energy systems and
9 to be able to explain to people why the most promising
10 options are what they are and what they might potentially do.

11 Currently in FY12 the development of this process
12 is underway. The intent is to have this study consider all
13 conceivable nuclear fuel cycles, and that's a tall order, so
14 showing completeness is one of the jobs that we have. In
15 order to do this properly, once we have the performance
16 metrics defined, a significant amount of detail analysis will
17 be required to support the evaluations. Now, of course,
18 we're not going to analyze everything that we identify as a
19 fuel cycle. It is possible to group these with fuel cycles
20 that have like characteristics, so it turns into a more
21 tractable problem, but that is another one of the areas that
22 we're working on this year. At the end, the process and the
23 results will be documented, they'll be independently
24 reviewed--and this is a very important aspect--and publicly
25 available. Our target date for this is a report March 31,

1 2014.

2 Now, I'd just like to briefly describe what we mean
3 when we talk about our nuclear energy systems. There are two
4 basic types of nuclear energy systems. This slide shows the
5 once-through nuclear energy system. And the schematic at the
6 top shows the major pieces in a once-through system, and it's
7 color coded. The color coded part, the left-hand side in
8 blue, shows the part that has already been implemented in the
9 United States. The right-hand side in yellow shows the part
10 that has not yet been implemented, although work has been
11 ongoing in that area for some time. When we look at once-
12 through systems, including today's use of nuclear energy, we
13 have a number of issues. One is the continuing storage of a
14 growing spent fuel inventory. We also have the evolution of
15 fuels, the high burnup fuels and potential for advanced
16 fuels, including the accident tolerant fuel that you've heard
17 about this morning. There is also the potential for other
18 fuel types.

19 An underlying question here is: How would extended
20 storage affect the rest of the nuclear system? Does it have
21 aspects that affect, for example, disposal? There is also
22 the possible deployment of reactor alternatives. As we sit
23 here today, the American industry is centered on LWRs; but,
24 as you know, there is a lot of effort in SMRs. There is the
25 NGMP project, which is looking at VHTRs, which is a very

1 different kind of fuel. Geologic disposal still needs to be
2 implemented, and I think there's the question: What is the
3 impact of alternate disposal system environments? Is there a
4 synergy between what happens in the power generation part of
5 the fuel cycle and the potential disposal environment? And
6 at the end can we identify more promising sustainable nuclear
7 fuel cycles within the context of once-through nuclear
8 systems?

9 The second one schematically shows recycle nuclear
10 systems; and in this case the difference here, of course, is
11 that the spent fuel that's discharged from the reactor is
12 considered for reprocessing and recycling one or more times
13 or even on a continuing basis. And what you see again is
14 that in this case the blue squares would be the mining and
15 milling for uranium and uranium enrichment. The green
16 represents possible alternatives that could be implemented,
17 and they include different kinds of reactors. Spent fuel may
18 still be generated in this process, so you don't have to
19 process all your fuel. That's fuel that we would consider as
20 waste. Used fuel is typically described as fuel that has
21 value, and that would be reprocessed.

22 The question here is: What is the potential for
23 recycle systems? Does the spent fuel have a value that can
24 be recovered by reprocessing? Are there operational and
25 storage issues? Are there environmental issues with this?

1 One question that is a very important question: Does high-
2 level waste disposal offer advantages over spent fuel
3 disposal, or does it really make any difference? What about
4 other fuels? I'm sure everyone in the room is familiar with
5 the proposals for using thorium along with uranium in the
6 fuel cycle as a way of resolving some of the issues.

7 There are a very large number of options for
8 recycle systems. They include limited recycle, after which
9 you would dispose of the fuel; there's continuous recycle
10 where the only thing you would dispose of is high-level
11 waste; different reactors and fuels; use of extended storage
12 both after your processing and your fuel cycle activities,
13 but also within the fuel cycle itself. And, again, the
14 question is: What are the most promising alternatives back
15 to the definition of what we're looking for for a sustainable
16 fuel cycle?

17 For this process to really be valuable for us, the
18 process must be credibly comprehensive; and so the
19 performance of all potential sustainable systems must be
20 represented for both once-through and recycle and uranium-
21 based systems as well as uranium/thorium-based systems. The
22 evaluation criteria must cover all of the stakeholder
23 interests: waste management, resource utilization,
24 proliferation and physical security, economics, safety. Most
25 of these are in the definition of a sustainable fuel cycle;

1 but, as I said, it goes beyond that. The process must be
2 able to identify these most promising systems, those that are
3 best able to meet the requirements.

4 This slide shows schematically how we're
5 approaching the evaluation process and, again, in the spirit
6 of making the problem a tractable problem so that we can meet
7 our time schedule. The nuclear energy system is broken down
8 into three major components. The front-end options, which
9 includes a wide variety of things, but in principle you could
10 start with uranium resources, and you could add thorium
11 resources if you like. There are also the other front-end
12 processes that are involved, but mining can also include
13 alternative ways of obtaining uranium. Pete Lyons this
14 morning mentioned uranium from sea water.

15 The center box is the nuclear power alternative.
16 That's the part of the system that actually gets useful
17 energy out of the use of nuclear power and includes reactor
18 storage, fuels, processing/reprocessing if that's used, waste
19 production, and extended storage. The box on the right is
20 where we consider the disposal options, and we have a wide
21 range of disposal options available to us for consideration.
22 Some of those are listed there. And in the process what
23 we'll do is we'll evaluate each of the nuclear power
24 alternatives with each of the front-end options as well as
25 the disposal options as appropriate. Some of them don't

1 match, but most of them do.

2 And the point here is to identify if there are
3 beneficial or detrimental interactions between these pieces.
4 It's also important to note that waste disposal, although the
5 focus many times is on what are we going to do about (FILL
6 IN) disposal, there is still low-level waste and hazardous
7 waste that can be generated, so all of those must need to be
8 considered as well in the environmental impact part. Our
9 intention is to use objective quantifiable metrics wherever
10 possible. We do this to reduce the uncertainty in the
11 results. The results are then more easily clearly documented
12 and communicated. Communicated is a very important aspect of
13 this process, and it will facilitate the independent review.

14 After we have the evaluation done where we get all
15 of the information about the performance of the fuel cycles,
16 the next part is to then screen them. What do we think are
17 the most promising ones? We base this on the performance of
18 the evaluation criteria, and I think there are many questions
19 here that we are trying to answer. Do the alternative
20 nuclear energy systems offer promise in addressing the issues
21 represented by the evaluation criteria? How well can they
22 achieve the goal of sustainable nuclear fuel cycles?

23 The second question is: How much improvement can
24 be obtained? This is a very important question. For some of
25 the criteria even a modest improvement, say in the area of

1 economics, would have a significant impact. In other areas
2 it's necessary to achieve very large changes or very large
3 improvements to have an impact.

4 A side issue here is: What is the value of the
5 performance improvement? And that's: How much is that
6 change in performance worth in the context of the system?
7 And, as I said, if we could reduce the cost of the system by
8 10, 15, 20 percent, that might be a very big issue. When we
9 look at other parts of the--other aspects, other criteria, it
10 may require us to make an improvement of an order of
11 magnitude or more for it to be worthwhile.

12 The second major bullet here, this is very
13 important going forward. Policy guidance really determines
14 the relative importance of criteria. The statement on
15 sustainable nuclear fuel cycles reflects what we believe is
16 required to achieve sustainability, but history shows us that
17 the relative importance of these criteria evolves with time
18 and events. Certainly, for example, the Fukushima event has
19 raised the issue of safety higher than it had been in some
20 years. The intention in the process is that we intend our
21 results to show the effects of possible policy choices. We
22 will be able to explore what it means if you make certain
23 policy decisions and how that would affect your
24 identification of most promising options. Do you get the
25 same set of most promising options, for example, if you vary

1 what is important to the policy makers?

2 The most promising options then identified with
3 this approach are used to guide and focus the R&D directions
4 and priorities. Of course, the goal here is to end up with a
5 much smaller and focused number of systems that we would
6 support. That would then allow us to define the functions
7 and performance goals for the supporting technologies, which
8 is really how it ties into the R&D campaign.

9 So our schedule, as I said, in FY12 we are
10 developing this evaluation process, including the data, the
11 metrics, and the approach to support the planned 2013
12 screening. In '13 we will do the screening process to
13 identify the most promising options. We hope to inform on
14 the effects of extended storage, both as it may be used in a
15 once-through fuel cycle or as part of a recycle approach and
16 also to inform on the effects of the different geological
17 disposal environments and how that may interact with the
18 other parts of the fuel cycle.

19 Subsequent to this, we intend to then work on the
20 identified subset of most promising nuclear energy systems.
21 We will assist in the technology evaluations and assist in
22 evaluating the effects of the achievable performance versus
23 what we set forth as requirements. We will also begin
24 looking at other issues, including how best to transition.
25 If we identify new nuclear systems compared to today's

1 system, how would one best transition to that? Transition is
2 always possible, but optimizing is certainly an important
3 question.

4 And that concludes my presentation.

5 GARRICK: Okay. Yes, Bill?

6 MURPHY: Bill Murphy of the Board. I don't know exactly
7 who to address this question to, so whoever feels the
8 inclination can respond.

9 I noted in the first presentation that a near-term
10 objective was to address the BRC recommendations, and we saw
11 earlier today in Dr. Lyons' talk that one of the
12 recommendations--where was it--one of the recommendations was
13 the prompt development of a geologic repository. And my
14 impression of the talks we just heard was that the response
15 to that recommendation is to ignore it, because I saw nothing
16 on site selection or site characterization discussed. I saw
17 a short list of alternative rock types, but nothing that
18 addresses site selection or site characterization, which are
19 hard problems, both socially and technically. From a
20 technical perspective, which is our mandate, we were making
21 giant discoveries at Yucca Mountain 20 years into the site
22 characterization project. That's not something that is done
23 easily. Where does site characterization fit into what
24 you've described here?

25 REGALBUTO: Those are two parts. First let me address

1 the prompt response to the recommendations to be received,
2 because it is one of the requirements of our budget in the
3 FY12 appropriation bill. We have a line item that says
4 within six months the Department shall produce basically this
5 Roadmap, which addresses the issues that you just mentioned,
6 including the seven key recommendations, of which one is site
7 characterization. There is still some--our inability to
8 address some of those issues until BRC issues the final
9 report. So, unfortunately, even though we know how to get
10 started already, we cannot fully get started on that.

11 Regardless the area--you do keep on finding things.
12 I think that was well covered and understood by all of us in
13 the area, that we don't just take a snapshot of what is
14 today, because as we keep on developing a site, you are going
15 to find things that you need to address. And I think one
16 thing that we may have not been very good at communicating to
17 people is that, you know, when you go to a site, it's not
18 what you find today and we're done. This is similar to EMs,
19 many one-of-a-kind facilities, in which, as you learn more,
20 you have to address more issues. And one of the things that
21 I think we may have not done very correctly is to give the
22 illusion that when we pick a system, it's fixed and ready to
23 go. You know, we tend as a society to want some quick
24 answer, and we don't. We learn and then we have to address
25 the problem.

1 So it is an evolutionary type of approach.
2 Obviously after X number of years, we do have to freeze a
3 design and move forward. But it cannot be conceived that,
4 you know, everything will be known from day one until you
5 really start doing that. I don't know if Bill Boyle would
6 like to address any other areas.

7 GARRICK: Howard.

8 ARNOLD: Arnold, Board. This Board has expressed its
9 concern about integration in the back end of the fuel cycle
10 as we've looked at it, but we have a more mundane view often,
11 for example, the interaction between the choice of how you
12 encapsulate the fuel and how you ship it and whether your
13 choice is consistent with being able to package the fuel at
14 the reactor site where it is now and things like that. And I
15 would like to hear more about your addressing that more
16 mundane level of integration.

17 REGALBUTO: Yeah, that is going to be addressed by Jeff
18 Williams' presentation, so if you would like to hold that
19 problem till then. This was the more--you know, we have so
20 many integration levels; right? We have within Office, we
21 have within DOE, and that we have outside of DOE, which is
22 with industry and universities. And, of course, you're
23 looking at one area within used fuel disposition, and Jeff
24 will be covering that. So if you don't mind waiting after
25 his presentation, it will be addressed then.

1 ARNOLD: Thank you.

2 GARRICK: Rod.

3 EWING: Ewing, the Board. So this is impressive in
4 terms of the scale of the integration from the front end of
5 the fuel cycle to the back end. I was thinking about the
6 front end. I'm presuming then there will be an analysis and
7 comparison, say, of traditional mining techniques, open pits,
8 underground workings for uranium as compared to in situ
9 leaching, which has really come on within the last few years
10 and has a very different impact on the environment. Is that
11 correct?

12 WIGELAND: Yes, that's the intention.

13 EWING: Okay. And so, given that and thinking about the
14 full-scale integration, actually, from my point of view, if
15 you look at the impact of uranium mining, that's one of the
16 major impacts of the fuel cycle.

17 WIGELAND: Yes.

18 EWING: And it's very instructive, because it shows in
19 some ways how minor the impact is at the back end of the fuel
20 cycle. Looking through schedule, 2014 is on one hand a long
21 time to wait for the report; right? On the other hand, given
22 what you've outlined, that's barely enough time for the
23 integration of everything. So why not consider a series of
24 reports? It would be very interesting to have an analysis of
25 the front end of the fuel cycle, the impact of in situ

1 leaching, both on the environment but it changes the resource
2 estimates for uranium, and issue a series of reports that
3 finally have to be connected but would satisfy immediate
4 needs in terms of evaluating the impact of an expansion of
5 nuclear power. Have you thought about having such a series?

6 WIGELAND: Well, I think this year in FY12 we have a
7 number of reports scheduled throughout the year. In terms of
8 the results, as we go through FY 2013 and we start to get
9 some of the answers, I think we have to wait and see how it
10 goes to whether or not it's more valuable to people to have a
11 report just on one aspect of the nuclear system or whether it
12 really is best understood in the context of the entire
13 system. I don't know that we know the answer to that yet,
14 but certainly we'd consider it.

15 EWING: But just sitting back and thinking about it,
16 it's hard to imagine that the alternatives for uranium mining
17 will have much impact on the fuel cycle you select; right?
18 You put uranium in the front of the fuel cycle and go with
19 that.

20 REGALBUTO: Not necessarily.

21 WIGELAND: Well, for an example, you know, as you
22 pointed out, uranium mining can have one of the largest
23 impacts on the overall system. If we then compare that to a
24 system where we don't have--say uranium from sea water works
25 out and they find that it has very little environmental

1 impact, for example, that changes the nature of the
2 importance of that part of the front end. Now, let me take
3 those two parts. If I'm taking uranium from some kind of
4 mining that has a significant environmental and economic
5 impact, the value of recycle, and especially recycle where
6 you maximize your use of that resource, is very important.
7 If, on the other hand, I have a uranium resource where there
8 really isn't much of an impact and it's reasonably
9 affordable, then one would view differently the value of
10 maximizing the use of that resource in the system.

11 EWING: Right, I understand that, but what I'm saying
12 is, the analysis comparing uranium extractions from sea
13 water, in situ leaching, and underground mining, that can be
14 done. You need that information anyway.

15 WIGELAND: Sure. Well, I think it will be.

16 EWING: Yeah, and I just--you know, it's just a thought.
17 But, also, a lot of the groundwork is already done in the
18 literature, particularly the recent Academy report on the
19 impact of uranium mining in Virginia. They laid out all the
20 possibilities. It would be a shame to wait so long for some
21 of this information.

22 REGALBUTO: You know, you do bring a very good point,
23 and I will tell you out flat the reason why, you know, the
24 number of reports is shrinking. There's been basically a
25 shifting of the budget going to certain areas and not the

1 others. With that said, your point is well taken, because to
2 me that kind of analysis is something that can easily be done
3 by the NEUP program where the work is done, and some of the
4 universities can actually take this task and do that kind of
5 comparison and feed it back into the campaign work so the
6 limited resources that we have in the campaign are not being
7 utilized--you know, they're being utilized so that we can
8 influence the majority of the areas, which is mining fuel,
9 separations, reactors, and so on. But I think the area that
10 you bring is something that can be very well done by a
11 university enterprise, so that will be considered in--

12 EWING: Or the U.S. Geological Survey or--

13 REGALBUTO: Yes, right, in conjunction with other areas,
14 so maybe we have to be more creative and move to other forms
15 of funding so we could develop that level of fidelity.

16 GARRICK: Thank you. We have a couple of more here, but
17 I want to squeeze one in because it's tied closely into the
18 concern raised by Bill Murphy.

19 When I look at the BRC key recommendations, I look
20 at Number 1 and Number 4 and Number 5 of what they tend to
21 call the seven key ones. Number 1, an approach to siting and
22 developing nuclear waste management in disposal facilities in
23 the United States; it is adaptive stage, consent-based,
24 transparent, and standards, and science-based; Number 4,
25 prompt efforts to develop as expeditiously as possible one or

1 more permanent deep geologic facilities for the safe disposal
2 of spent fuel and high-level nuclear waste; and, Number 5,
3 prompt efforts to develop as expeditiously as possible one or
4 more consolidated interim storage facilities as part of an
5 integrated comprehensive plan for managing the back end of
6 the nuclear fuel cycle. So here's seven key elements, almost
7 half of which are very much in the category of implementation
8 and action.

9 And, Monica, you admitted that the challenge to
10 your program is broader than R&D, and I realize that R&D is
11 the centerpiece for today's discussion. But one really does
12 get a feeling of emptiness with respect to action and
13 implementation, particularly with this kind of background.
14 Can you elaborate a little more on why we're in this state of
15 frustration?

16 REGALBUTO: I think I'm going to have to throw under the
17 bus Dr. Lyons in this case, because it's a little bit beyond
18 what a fuel cycle program does, and it does have other parts
19 of DOE like the Office of General Counsel and so on. So I'm
20 going to have to defer to Dr. Lyons.

21 LYONS: I got a question somewhat similar to this, too,
22 John. And, at least to me, the recommendation from the BRC
23 to emphasize consent-based is somewhat in tension with the
24 suggestion to move expeditiously towards either repository or
25 interim storage. Obviously, if we go out and do an extensive

1 characterization on Site A, then to some extent we are
2 bypassing the consent-based. I think I gave an answer
3 earlier today that, at least in my mind, we're likely to end
4 up in a situation that I don't know if it'll be DOE or this
5 public-private entity that might be set up. I think one of
6 those two entities will need to solicit proposals from
7 communities that would be interested in hosting either an
8 interim or a repository.

9 Then there is going to have to be a procedure
10 within either our office or this public-private entity to
11 down-select based on the best knowledge we have of the
12 geology that they are offering. But I can also imagine that,
13 because there will be proposals coming in from communities
14 where there has not been extensive research on their geology,
15 that there is going to have to also be a phase then where one
16 looks in more detail to characterize the particular geologies
17 that are being proposed by communities.

18 I know this sounds vague, but I don't know how to
19 do it any better. If you start from the premise, as I
20 believe the BRC is emphasizing and as I strongly believe, of
21 consent-based, you can't do all your characterization up
22 front, because you don't know where the consent is going to
23 come from. So there's going to be this tension. Exactly how
24 it gets resolved, I can't tell you for sure, but I think the
25 procedure I outlined at least is sensible. It also supports

1 the need for generic characterization of alternative
2 geologies such as Monica is starting into with her program
3 without picking a specific site. That's also why I made the
4 comment that whenever--in my talk--to the extent that we can
5 use international experience in granite and clay to help
6 evaluate sites that may propose that geology, that gives a
7 leg up. There may be other geologies that are proposed by
8 communities where we have much less knowledge or where we--or
9 we in Germany--have the key expertise in salt for example.

10 It's not a great answer, John, but I don't know how
11 to do better at this stage. I wish I did.

12 GARRICK: I really appreciate the attempt.

13 Okay, we have Ali and then Linda and then Andy and
14 Ron, and we only have four minutes to do it.

15 MOSLEH: Can we all do it at the same time?

16 GARRICK: Go ahead, Ali.

17 MOSLEH: Thank you. So my question--this is Mosleh,
18 Board--a rather methodological one. In this evaluation and
19 screening process, obviously it's a complex process, complex
20 problem, multi-dimensional. And if you do an adequate level
21 of detail, you will have many parameters and factors to
22 consider in the process. So it looks to me that, in light of
23 the fact that the evaluation criteria may change and are
24 likely to change, you kind of need more like a living tool as
25 opposed to a series of recommendations so that people can

1 actually apply when some of the assumptions and conditions
2 change. Is that the plan?

3 WIGELAND: Yes, it is. The plan right now, of course,
4 is to give us a focus over the next year or so, but we will
5 be, of course, responsive as conditions change. That's why I
6 put the point in there about we don't really know what
7 happens as the years go by, what becomes important. Some of
8 the performance metrics may change. Some of them I expect
9 will stay constant. So we expect it to be a useful process
10 that we carry forward for quite some time.

11 MOSLEH: So there's a flexibility built into this?

12 WIGELAND: Yes.

13 MOSLEH: As the assumptions change, you can actually--

14 WIGELAND: Yes.

15 MOSLEH: --reevaluate.

16 WIGELAND: Yes.

17 GARRICK: Linda.

18 NOZICK: Nozick, Board. Just to follow on Ali's
19 comment, would you mind speaking a little more about the
20 process you're going to use to create the process? This is a
21 very wide-ranging goal. I mean, this is ambitious, so that
22 process is going to be very important.

23 REGALBUTO: We have a report that explains the
24 methodology that we probably should pass to you.

25 WIGELAND: Yeah, we have a short report that we can

1 provide that explains it.

2 NOZICK: That would be great, yes. It's very important.

3 WIGELAND: Yeah, we can provide that.

4 GARRICK: Okay, Andy.

5 KADAK: Thank you. I too am somewhat frustrated by the
6 length of time it takes to figure out a sustainable fuel
7 cycle. I do appreciate the fact that one of the MIT report
8 recommendations was to do exactly what you're doing, but I
9 see this as separate from the Blue Ribbon Commission's
10 mandates, the seven. Okay, so if this holds up, the action
11 that John and others are talking about, I think that would be
12 a big mistake. The thing that I would say is, Roald has been
13 around for many, many years. He knows what the choices are.
14 You know these processing options. Put 25 people in a room--
15 25 smart people who know what they're talking about--in a
16 room and figure this out, at least on a skeleton basis,
17 because nothing's going to change in the next two years from
18 what we already know. You're going to spend a lot of time
19 arguing over criteria that in the end will distract you from
20 the real objective of how do we make a sustainable fuel
21 cycle.

22 REGALBUTO: Let me answer your two-part question.

23 First, this work was initiated independent of the BRC, so
24 this work has been ongoing since FY11, I believe, when you
25 guys--

1 WIGELAND: We started in '09.

2 REGALBUTO: Yeah, right, I mean, this has been ongoing,
3 so it is independent and rest reassured that we weren't
4 holding our breath to get this work done.

5 The other thing that I want to emphasize is, we're
6 conduced R&D research today that is relevant to many of
7 these options. So, for example, take separations, okay? If
8 you focus on aqueous separations, you're still doing work on
9 separations, you're still advancing the area. What we have
10 not zeroed down is what kind of transuranics do you want to
11 see in there, okay? That is a very specific fact. We do
12 need to coordinate with the Reactor folks, because, you know,
13 we can't just separate something and then not have a place to
14 burn it. And what is the economic penalty that the
15 utilities--or is this a government-owned reactor that all
16 purpose is just to destroy actinides? Those are key
17 different questions.

18 If we do the suggested approach of can we sit down
19 all and put 25 smart people, we have been accused in the past
20 of doing exactly that. So this is our need to document
21 systematically how this grouping of different fuel cycles has
22 been done, but I do not want to give you the impression that
23 work has stopped and is waiting for this. This is an area
24 that is going to emphasize where will the dollars better be
25 invested. So if, after the result of the screening we

1 realize that an area is going to take 15 years to move
2 forward versus a small investment in another area that can
3 provide returns, a return on investment of three years, it
4 will make us reconsider.

5 I did also mention we have these relevance reviews
6 coming in on fuels and separations specifically to reflect
7 that, but we can, unfortunately, not shortcut the process,
8 because we have already been accused in the past,
9 specifically during the GNEP program, that we narrowed it
10 down too quickly without looking at all the options. So,
11 unfortunately, we do live by certain rules.

12 KADAK: And, please, I'm not suggesting a GNEP approach.
13 What I am suggesting is the smart people look at those
14 options, catalogue them, put them on a piece of paper,
15 instead of going--

16 REGALBUTO: No, no--

17 KADAK: --arguing over--

18 REGALBUTO: And, unfortunately, you don't have access to
19 the report that I just mentioned to Linda, but that exercise
20 was already done, and that report already has narrowed down
21 to the groupings that were interested. So we're not looking
22 at thousands of options anymore. How many did you get
23 narrowed down and eliminated some already in the pre-we call
24 it the prescreening. That was already done. So we will, you
25 know, release the report to you, and you guys can take a look

1 at it. But it is a big area, and we cannot do justice in 20
2 minutes, unfortunately.

3 GARRICK: A final question from Ron.

4 LATANISION: Latanision, Board. Yes, very quickly.
5 Does the Department look at the recommendations that are
6 being produced by the BRC as a step in the direction of the
7 evolution of a nuclear waste policy or--how do you take them?
8 How do you regard the recommendations? Maybe Pete--this is a
9 question for--

10 REGALBUTO: I don't think I can answer that.

11 LYONS: I indicated that we don't have the
12 administration position yet on the BRC recommendations, nor
13 do we even have the final BRC recommendations, which are kind
14 of a prerequisite. I'm sure there will be such an
15 administration position forthcoming, but I can't say when it
16 will be. But certainly the President requested the Secretary
17 to convene the BRC from the co-chairs on down. It's hard to
18 imagine a more outstanding group to look at this. And,
19 certainly, looking at their July interim report, I thought it
20 was a fabulous step forward. I'm looking forward to the
21 final report. But as far as an administration response, I
22 believe that has to be forthcoming, but I can't tell you
23 exactly when.

24 LATANISION: All right, thank you.

25 GARRICK: Thank you.

1 Thank you, Monica and Roald. Very good.

2 Okay, Jeff. We're following the same pattern this
3 time. We'll hear from Jeff Williams and Ernest Hardin, and
4 then we'll ask the questions.

5 WILLIAMS: Thank you. Good morning. I'm the Deputy
6 Director for Used Fuel, and I was asked at the break why am I
7 doing this as opposed to the Director, Bill Boyle. And
8 you've seen him the last two times, and we thought you needed
9 to see someone different. But, actually, I've had a long
10 history--

11 GARRICK: We kind of like Bill. He's all right.

12 WILLIAMS: I have had a long history in my career
13 working on this topic. What I'm going to talk about here--I
14 started to title this Integration, but then I went back to
15 something--looking on your Website, we talked about this back
16 as early as 1989, 1993. And it's been a subject of previous
17 presentations to the Board, but it seems to have new interest
18 now. And it's also relevant to the theme of integration that
19 the question was just asked about.

20 What's changed, though, since then? Basically
21 we've got a whole lot more fuel in dry storage; we've got
22 canisters that are larger; we don't have a repository
23 project; and we're now considering alternative media, which
24 could result in various designs. And, also, as you've heard
25 throughout the meeting, we may consider interim storage,

1 which is a recommendation by the BRC. The whole presentation
2 that I'm talking about here is basically a subsystem of what
3 Roald and Monica was talking about. We're talking about only
4 the commercial spent fuel here. And, as I learned early on
5 in my career, somebody's subsystem is--or somebody's
6 subsystem is someone else's subsystem. Go to the next one.
7 Oh, I control them?

8 GARRICK: Yes, to the right--

9 WILLIAMS: Okay, all right, got those. So this is
10 basically an outline of what I'm going to talk about. I'm
11 going to give you just a background on the amount of fuel
12 that there is, the amount of fuel that's in dry storage and
13 some constraints on disposal, how much is projected--and
14 these are all estimates--and then I'm going to give you a few
15 examples of approaches to integrating storage,
16 transportation, and disposal such as the direct disposal of
17 dual purpose cans or repackaging fuel into some other type of
18 container. And then, lastly, I'm going to talk about some of
19 the work that we're doing in UFD, which is--this is new work.
20 You heard in September in detail about the R&D. It's been
21 mentioned by Monica and Pete. And when we started our
22 program, we were guided by the ME R&D Roadmap, which was
23 focusing on R&D related to extended storage and R&D related
24 to different geologic media. This is a little bit different
25 effort, and so we're just now getting it underway.

1 Okay, in this background section I'll describe the
2 current situations of where we are with respect to fuel
3 discharges, the storage technologies that are out there, and
4 then I'm also going to show you some recent comments from the
5 TRB, from the NEI, from EPRI, from the BRC related to this
6 topic.

7 This is probably one that you've seen over the
8 years, and it's got a lot of information on it. It goes
9 through every reactor and shows its situation with respect to
10 dry storage. I think there is about--I didn't count them up,
11 and I didn't check the details, but over 50 somewhat
12 operating independent spent fuel storage facilities right
13 now. All of them are dry except for Morris, Illinois.
14 There's over 1,500 casks or canisters that have been
15 developed. Almost 60,000 spent fuel assemblies are in dry
16 storage. This map also shows you reactors that are shut
17 down. That would include Big Rock Point that uses a fuel
18 solutions technology for dry storage; Connecticut Yankee that
19 has a NAC/NPC; Main Yankee; Trojan; Fort Saint Vrain, which
20 is now DOE fuel; Humboldt Bay; Rancho Seco; Yankee Rowe. And
21 they're using--they're not all using different kinds of
22 storage, but there is a variety of different storage
23 technologies employed--deployed. There's also several sites
24 that have planned life-of-plant storage already. They've
25 invested in what they're going to do for several years into

1 the future.

2 This is a chart that the Office of Civilian
3 Radioactive Waste Management initially developed, and we
4 extended on it with--providing projections. First I'd like
5 to say, this is based on projections that were collected
6 through a process, but the last time the data was collected
7 was in 2002, and we're now--the projections have a little bit
8 of uncertainty; however, I don't think they're going to miss
9 the point, which the point is, the farther we move to the
10 right in time, the more dry storage there's going to be. In
11 pool storage, I believe there's around 50 to 55 thousand tons
12 of pool storage at the existing reactors. And today there's
13 about 15 thousand tons in dry storage; so as we continue on,
14 there's going to be a higher and higher proportion of dry
15 storage to pool storage.

16 The next two slides just shows you the dry storage
17 casks that are in use today. I'm not going to go through and
18 talk about all these. The only point is to show you that
19 there are a variety of dry storage technologies used, and
20 some of these can use the same transportation casks; some of
21 them can't. Many of these--the hole techs, for example, their
22 literature talks about how they built the pond, the
23 Department of Energy's multi-purpose canister effort, which
24 was to try and standardize shipping and disposal type of
25 containers. And this is looking at casks that are bare spent

1 fuel casks. The transnuclear ones, they don't have--they're
2 specific to those two sites and then below that legacy casks
3 that are no longer being loaded. The first ones, for
4 example, at Surry that has a storage-only certification, it's
5 not--there's no transportation certification being pursued,
6 same as the other ones at Surry, which was the first site
7 that loaded dry storage, I think, in 1988. But the point is,
8 these are dry storage casks as opposed to canister systems,
9 showing you a variety of different casks and canisters.

10 Okay, what I wanted to explain here is the
11 constraints on used fuel management, and basically the
12 on-site storage containers are designed by the utilities
13 without input from the Department to meet their on-site
14 safety needs and from their own cost and specific needs.
15 Spent fuel disposal in salt, clay, crystalline may require
16 smaller packages, and I think Ernie will talk a whole lot
17 about the--I know Ernie will--about the thermal constraints.
18 In February there was a presentation on borehole concepts
19 where they talked about only one assembly per package. If
20 you were going to repack all the fuel that we've just
21 described, there's lots of considerations, concerns about
22 that, financial, operational, radiological, and regulatory.
23 And no matter where it's done, whether it's the utilities or
24 a repackaging facility, these considerations apply.

25 What are the options? You can modify disposal

1 concepts specifically, or you could develop an integrated
2 cask that could address this. This is what was done for the
3 Yucca Mountain license application through a concept called
4 the TADs; however, without the disposal concept known, we're
5 not sure how to do that at the moment.

6 Recently there's been comments that have come out,
7 as I mentioned before, from industry and so forth; and I just
8 wanted to focus on these just a tiny bit. People talk about
9 standardization, and they also talk about compatibility and
10 integration. Sometimes these terms get confused and mixed
11 up. In my mind standardization means trying to make as few
12 different kinds of cans as you can. Compatibility has to do
13 with trying to make a container that you can use in storage,
14 transportation, and disposal, but they're both related.

15 The NWTRB in the report that Dr. Lyons mentioned
16 from last summer talked about the downsides with--they
17 mentioned the TAD and the MPC programs that DOE had done and
18 talked about how those were significant steps towards
19 preventing repetitive handling and working towards
20 standardization. They also talked about in the next bullet
21 about compatibility and how that was important. The Blue
22 Ribbon Commission in their draft reports have mentioned
23 repeatedly to promote better integration standardization
24 should be considered. They also focused on the need for
25 systems analysis, which is something that the Board has for

1 years and years talked about--the importance of using system
2 analysis to provide input into decision-making. Again, you
3 can see the three bullets there where they discussed
4 standardization. However, in the December meeting--in the
5 BRC meeting Dick Meserve talked about, well, possibly
6 standardization, although it's desirable, maybe it should be
7 a voluntary effort.

8 And then I wanted to go just a little bit to the
9 other side and talk about comments that EPRI has provided to
10 the Blue Ribbon Commission. They basically said that they
11 disagree with standardizing dry storage systems and that
12 standardization can only be done once the details of a
13 storage or disposal system are at hand, and they recommend
14 that the current standard approach of independently selecting
15 storage and transportation systems be maintained. NEI had
16 made a similar type of comment where they said they don't
17 agree that standardization will improve waste management
18 systems and overall costs, and they don't think that
19 containers can be standardized until the requirements for a
20 disposal system are known.

21 However, then in the FY12 Omnibus Budget we were
22 provided, as Monica showed in her slide, 10 million dollars
23 for the development and licensing of standardized
24 transportation, aging, and disposal canisters and casks. And
25 so this is one thing we're going to need to work together to

1 figure out what's the best way forward on this. In the most
2 recent letter from the TRB dated December 3rd, they talked
3 about standardization there and that standardization can help
4 with avoiding complexity in later stages of the fuel cycle,
5 the waste management system.

6 As I mentioned before, the used fuel program has
7 really been focused on R&D of extended storage and geologic
8 disposal, which were consistent with the NE Roadmap; however,
9 we're just now restoring the capability to conduct what I
10 call systems analysis or what some people may call subsystem
11 analysis to look at the very back end of the fuel; and,
12 again, we're focused on spent fuel specifically.

13 The first thing I wanted to talk about--we don't
14 have an actual project in place, but we're giving this a lot
15 of thought, and we're going to touch on this in one of our
16 studies, which is the subject that EPRI and NEI commented to
17 the Blue Ribbon Commission on, which is the direct disposal
18 of dual purpose casks. What would it take to build a
19 repository that could dispose of existing casks? And these
20 casks and canisters are 24 to 37 assemblies. The Yucca
21 Mountain waste package was 21. As I said before, borehole
22 disposal was quite small. The international concepts are on
23 the order of 4 PWR assemblies in salt and--I mean, in clay
24 and granite. However, the existing ones are much larger, so
25 the much larger ones are going to have issues associated with

1 higher temperatures. And, again, Dr. Hardin is going to talk
2 a lot about that in detail. And there's also an engineering
3 and other challenges such as criticality that's been
4 addressed by EPRI and DOE in the past with waste package
5 sizes.

6 So there's going to be quite a bit of work to
7 demonstrate this or to determine what it would take to do
8 such a thing, for example, ramps versus shafts. These are
9 going to be much heavier. The site-specific geology is going
10 to matter. I think WIPP is about a thousand feet deep. Some
11 of the repositories that were considered early on were like
12 on the order of three thousand feet deep, so a ramp or a
13 shaft would be quite a bit different in those types of
14 environments, cranes, hoists, transportation/haulage
15 mechanisms; in Sweden they have a 14-1/2 percent grade down.
16 Maybe that's too much for this large of packages. It's an
17 engineering project that the labs that are now working for
18 DOE haven't typically done. These are the type of work
19 that's been done by industry. The Civilian Radioactive Waste
20 Management in the past used people like Bechtel, Flohr, other
21 people like that.

22 The higher temperatures resulting from the packages
23 are going to require work as well as the near-term--the
24 geochemistry surrounding a higher temperature environment.
25 The models that we used at Yucca Mountain will need to be

1 looked at in different environments and as well, as I
2 mentioned before, criticality evaluation. On the Yucca
3 Mountain repository criticality was screened out based on
4 probability; however, with more fuel, some analysis will need
5 to be done.

6 This one I'm not going to spend any time on,
7 really, because Ernie is going to cover this in detail;
8 however, again, from a thermal aspect, this is one thing
9 that's a consideration for disposal of existing packages.
10 So, as I said, Ernie is going to talk about that
11 specifically.

12 This is an example of something that we have just
13 now started in the used fuel campaign from Oak Ridge, and Oak
14 Ridge titled this the Flexible Integrated Modular Nuclear
15 Fuel Storage, Transportation, and Disposal Canister System.
16 As you can see, what I call it is the can-in-can system,
17 which is four assemblies that are packaged within another
18 can. And, again, this is something that would provide
19 additional flexibility for different geologic environments
20 and different concepts, and it could allow direct disposal.
21 But in no way am I suggesting that this is something that we
22 should employ right away to require all repackaging of
23 existing concepts. This is just something that will flow
24 into our systems work to look at in more detail.

25 You can see that, for example, this is something

1 that probably would not be compatible with the borehole
2 concept as we understand it today, because these packages
3 are--even 4 PWR assemblies are rather large. And if you've
4 just been to Sweden, I think you may have seen their copper
5 canister that's 4 assemblies, and it's still--it's a
6 good-sized package, which might be tough to put down a hole.

7 Okay. This integrated canister concept, as I said
8 before, is being led by Oak Ridge, and in FY12--we're just
9 putting this in place today, so I can't give you any results,
10 but we plan to develop design drawings, evaluate some
11 operational concepts, and look at subjects such as welding
12 versus bolting, how it could be dried. And we plan to look
13 at the--do some initial evaluations to demonstrate compliance
14 and identify any benefits related to criticality, shielding,
15 the things that are important to dry storage, shielding,
16 thermal, confinement, and then to develop a cost basis. This
17 isn't proposed as a solution. As I said, it's input to our
18 decision-making.

19 The next topic that I wanted to mention to you also
20 is a new effort, systems analysis to inform decision-making.
21 As I said before, this isn't part of our typical R&D
22 portfolio; however, it's important to inform decision-makers;
23 and we're just now beginning to develop the capability as
24 well. I think you've probably heard over the years or the
25 Board has heard over the years presentations on system

1 modeling that was done within RW. That was not done by our
2 labs; it was done by our M&O contractor, and we're now having
3 to rebuild that.

4 Along with rebuilding that capability, we've also
5 started what we call an architecture evaluation. The BRC's
6 report recommends, I think it's been mentioned here, prompt
7 efforts to undertake the development of storage or geologic
8 facilities, and the Nuclear Waste Technical Review Board over
9 the years has recommended a systems approach. This is in the
10 June 30, 2011, correspondence as well as the October 31st
11 correspondence to the BRC. And we've initiated a system-
12 level analysis. As a matter of fact, we have people meeting
13 this week to try and figure out exactly what we're doing, how
14 it's going to be approached.

15 This is just to touch on past work which could
16 inform what we're going to do today. In the 1990s and
17 actually prior to the 1990s there was extensive look at how
18 is best--what's the best way to operate the nuclear waste
19 management system. One storage facility, does it start up
20 early, late? Does it receive a certain percentage of the
21 fuel? What's the acceptance rate? And these pictures over
22 to the right are just out of the 1984 report that shows some
23 potential scenarios that were done in 1994 in this study.
24 This is work that is dated, it needs to be updated, and we
25 need to develop the capability to be able to update that

1 work; and we need to develop the tools for updating the work.

2 So in this system architecture work, we really need
3 to start with the reactors. We need data on what they have;
4 the database that we have needs to be updated; we need to
5 develop new projections; and we really want to provide a
6 focus on providing flexibility, or that's going to be one of
7 the measures of merit. In the past we've looked at primarily
8 cost and dose, and flexibility seems to be a key requirement
9 at the present time.

10 We want to evaluate the implications of the current
11 status, a strategy for on-site storage, how it impacts
12 potential disposal in the different environments. We want to
13 look at alternative strategies for managing fuel, how to
14 package it, where should packaging possibly be done. And the
15 factors that we'll use are things like emplacement
16 compatibility, thermal constraints, need for repackaging,
17 impacts on utilities; and then we're going to have measures
18 for flexibility, is going to be important. We'll also have
19 rough orders of magnitude for costs associated with each of
20 the alternatives, and in this work we hope to start to
21 address the disposability of existing canisters.

22 And, lastly, we're starting a new effort again this
23 year on doing logistics--developing system logistics tools.
24 This is something that's been briefed to the Board in the
25 past by the Office of Civilian Radioactive Waste Management,

1 and that capability really has been lost in the last few
2 years. This is an effort that now is going to be picked up
3 by Argonne National Lab, Oak Ridge National Lab, and Sandia.
4 In the past we had a contractor, SAIC, primarily led the
5 development of this. So what we need to do is we need to
6 rebuild and update that capability, and what we plan to do--
7 what this slide is showing you are the four major factors to
8 be considered, the four major types of facilities: the
9 reactors, interim storage, repackaging--whether it's done at
10 a reactor, interim storage, or a repository--and then finally
11 the repository.

12 And the way we're going to approach this is from
13 evaluating scenarios. We start with scenarios where we look
14 at: When is the operation start date? Is it 2020? Is it
15 2050? How much dry storage will there be in the two
16 different time frames? What is the package size that is used
17 for transporting things? What's the package size needed for
18 repositories? What's the repository start date? What's the
19 acceptance rate? Is it 3,000 tons a year like traditionally
20 been used? Could we do more? Could we do less? If you do
21 more, what does it do to your transportation cask fleet? So
22 there's a lot of variations. When does the interim storage
23 facility start?

24 And this work--we have a report scheduled at the
25 end of this year where we're going to evaluate scenarios. My

1 thinking on this is that this will just be a first report.
2 We'll have a new shot at looking at the new capability;
3 however, when you get this information back, the first thing
4 people want to do is they want to say, Why didn't you
5 consider this? Why didn't you consider that? And so we'll
6 refine and change the scenarios that are going to be
7 evaluated.

8 And then, lastly, just to summarize, the current
9 approaches that are being used or being employed--this is
10 nothing new--may not be the optimal solution for storage,
11 transportation, and disposal. Large casks are definitely
12 effective for storage; however, smaller waste packages may
13 provide more flexibility for disposal. However, we are where
14 we are. By 2020 there's going to be probably 85 to 90,000
15 tons of spent fuel in storage and as much as 30,000 tons in
16 dry storage. That's coming off the top of my head. I don't
17 have a database, but I think it's fairly accurate.

18 We need to do analysis, and we've just initiated
19 that analysis that looks at integrating storage,
20 transportation, and disposal. And we're going to do that
21 through our system architecture study. And, in addition, as
22 I said, Ernie is going to talk to you about is the thermal
23 aspect of large packages. And then, finally, is reaching an
24 agreement on how to standardize storage containers that are
25 compatible is going to require integration and integration

1 not only within DOE, but also within industry and various
2 other organizations. And I'm not promoting repackaging, as I
3 said, at utilities or small packages. It's something that
4 needs to be looked at. My guess today would be, if you were
5 going to have a borehole disposal concept, it's probably best
6 to put it in single-element assembly packages. If you were
7 going to have clay or granite, it would probably be four or
8 so, a small number of packages. Salt could probably handle
9 more. And if you had an open repository such as the Yucca
10 Mountain, it could handle larger packages.

11 And that's really all I had to say about what we're
12 doing in this area now, and I'll turn it over to Ernie to
13 continue on the thermal aspects of this subject.

14 GARRICK: Thanks, Jeff. I assume you'll stand by for
15 questions later.

16 HARDIN: Okay, thank you. First, notwithstanding what
17 it says on the agenda, I am one of a dozen or so technical
18 leads in the UFD program at Sandia and other labs. I don't
19 have an outline for this talk, because it's really in the
20 title. I'm going to show you the generic disposal concepts
21 that we selected and then go through a straightforward
22 thermal analysis and then draw conclusions from that.

23 So here's a real general mission statement for the
24 UFD campaign. And, of course, the work I'm describing here
25 is part of that. In FY11 we spent eight months on this and

1 reported out in August, so this is sort of a progress report
2 on a work in progress. In FY11 we looked at these three
3 mined geologic disposal concepts. These are media but, as
4 we'll discuss later, is that the concept is sort of a package
5 that addresses what you would do in each of these plus the
6 deep borehole system.

7 One of the messages I'd like to leave you with is
8 that we talk about saturated versus unsaturated crystalline,
9 clay, and so forth. But there's really an overriding
10 distinction here I'd like to make, and that is the open
11 versus enclosed emplacement modes. And so when we go to the
12 international community and look at their experience and
13 select these referenced disposal concepts, it so happens that
14 they are enclosed modes; whereas, Yucca Mountain was an open
15 mode that permitted various things, lower temperatures at the
16 waste package, and permitted pre-closure ventilation, so it
17 sort of combined certain functions of long-term storage of
18 spent fuel with disposal.

19 For this study we selected temperature limits, a
20 hundred degrees for clay/shale media and buffer material, so
21 that would be the crystalline concept, and two hundred
22 degrees for salt. Now, clearly these are round numbers.
23 They are supported in previous U.S. experience and in
24 international experience, but they are subject to adjustment
25 up or down. They depend on site-specific factors. And I

1 should point out also that there are trade-offs in thermal
2 management strategies that we'll ultimately use for this
3 problem that allows some fine-tuning here. So these are the
4 numbers that we use today.

5 Now, a disposal concept by definition has three
6 main elements, and those are the waste inventory, the
7 geologic setting, and the engineering concept of operations.
8 Now, inventory is the link to fuel cycle options that Roald
9 discussed and to the upstream technologies that enable those.
10 We have for this study selected a small sample of waste types
11 from possible future commercial fuel cycles, and we'll talk
12 about that. We've selected some geologic settings and then
13 the engineering concepts of operations that go along with
14 those. So we go to the French program--how to make this
15 work--okay, we'll go to the French program for the clay/shale
16 concept; to the Swedish program for the KBS-3 vertical
17 disposal concept; the generic salt repository concept
18 published by Joe Carter and others starting in 2009; and then
19 the deep borehole concept.

20 The thermal analysis approach here is fairly
21 straightforward. We want to evaluate temperature histories
22 at the waste package surface. Well, that turns out to be a
23 good point of reference for any thermal constraints from EBS
24 materials outside the waste package. Typically waste package
25 containment and structural materials in the waste form itself

1 can withstand higher temperatures than those materials
2 outside.

3 We want to look at multiple combinations of waste
4 types, age out of reactor--i.e., the duration of decay
5 storage--and these disposal concepts. And we want to look at
6 waste types from advanced fuel cycles, and I put quotations
7 around those. The list that I'm about to show you is
8 certainly not exhaustive. It represents a kind of a focus on
9 the near-term on the types of wastes that we could be asked
10 to dispose of permanently in the next 50- to 100-year time
11 frame. So we'll go on to compare the peak temperatures with
12 those assumed temperature limits, and we'll look at the
13 trade-off between decay storage duration and the number of
14 assemblies that you can put in a waste package.

15 So this is a description of the six heat-generating
16 waste types that we look at in this study. I would point out
17 that we're certainly interested in other waste types. The
18 number of possible waste types from future disposal is
19 smaller than the number--much smaller than the number of
20 possible fuel cycle options, so we think we can realize some
21 economy here. We chose a high-burnup spent fuel from a
22 Generation III+ or next-generation type of LWR. We chose a
23 representative modified open strategy, which involved a
24 reprocessing of LWR spent used fuel, and then production of
25 Pu/MOX fuel and then a once-through burnup of the MOX fuel

1 and direct disposal. And then, as a representative closed
2 fuel cycle, we looked at a process that would reprocess LWR
3 uranium oxide fuel to provide fissiles to a fast reactor, a
4 salt fast reactor, a sodium--sorry--sodium fast reactor
5 operating in a burner mode; and then we would fully recycle
6 the used fuel from that. So that results in six heat-
7 generating waste types. The new extraction is Joe Carter's
8 concept that would combine TRUEX with some other processes to
9 completely separate TRUs.

10 Now I want to change gears a little bit here and
11 talk about the generic disposal concepts. We've got four of
12 them. This one is our crystalline concept based pretty
13 closely on the KBS-3 vertical mode that SKB is pursuing. We
14 recognize that the overpack might be copper or steel. For
15 our thermal analysis it doesn't really matter, because we're
16 calculating temperatures on the outer surface. For the clay
17 or shale--and I use that term throughout the discussion right
18 now; those two types of media, one being more indurated, the
19 other more plastic, are grouped together--is that the concept
20 we would adopt as a reference here is pretty close to Andra's
21 concept that for spent fuel we'd use an in-drift disposal
22 mode with a smaller drift similar to their borehole disposal
23 mode for high-level waste. We might also use a buffer, and
24 in the case of both high-level waste and spent fuel is that
25 the access drifts and all the other openings in the

1 repository would be filled with a crushed rock backfill
2 material.

3 For the generic salt repository--I don't know if
4 most of you have probably seen this before--it uses alcoves,
5 and we would lay the waste packages down on the floor. We
6 envision that we'd mill out the floor; there'd be a half-
7 cylindrical cavity there to accept the package; and that
8 would serve to improve heat transfer with the salt. It's
9 possible that you might have one heat-generating package and
10 then multiple non- or lesser-heat-generating packages in the
11 same alcove and that the alcoves would be backfilled at the
12 time of emplacement.

13 And then this is the deep borehole disposal concept
14 that you were briefed on by Pat Brady in February.

15 Basically, the idea here is that you drill down into the
16 crystalline basement, the hole could be on the order of five
17 kilometers deep, and that the lowermost two kilometers of
18 that would be used for emplacing waste canisters--they might
19 contain high-level waste or spent fuel--is that the waste
20 form would have to be consolidated to fit in a smaller
21 canister that's consistent with our capability to drill
22 larger diameter holes to that depth, that the canisters would
23 be stacked in the hole, and that the upper section of the
24 hole would be sealed. This concept in its performance relies
25 on the fact that the deep crystalline basement is

1 hydrologically static. It tends not to circulate. The
2 fluids there are very old, so it's isolating.

3 So let me just briefly describe the semi-analytical
4 thermal model that we use for this. It's real
5 straightforward, but we need such a tool so that we can
6 quickly do sensitivity analyses on some of these different
7 combinations. It is based on conduction-only heat transfer.
8 We know from our Yucca Mountain experience that you can go
9 quite a ways by using conduction-only; and, besides, we're
10 applying this to some geologic host media that have very low
11 permeability and would--therefore, fluid convection would
12 probably not be as important to heat transfer. There are
13 other reasons here, which I won't go into in great detail,
14 about why we think conduction-only is a fair choice at this
15 stage of the work. We've also done finite ALMA calcs to
16 verify some of these calculations, so we know approximately
17 where they're weak and where they're strongest. The waste
18 package surface temperature, of course, is a good choice for
19 the point of reference for temperature calculations.

20 The methodology is to do a 3D transient analysis
21 using a real simple solution and then couple that with a 2D
22 steady-state that takes count of the annular geometry, and in
23 so doing we can drill down on the EBS and look at the
24 temperature at the waste package surface. And this is what
25 the geometry of a repository might look like, so you've got

1 the waste package--in the very center is the one where we're
2 interested in calculating the temperature, and then we use
3 various approximations to simulate adjacent packages in the
4 same drift and adjacent drifts in the repository.

5 And the annular configuration that we use for the
6 EBS then has these layers. This is sort of a superset of all
7 the layers, but you can see that we can fit almost any
8 published EBS concept that relies on either in-drift or
9 borehole emplacement into this framework.

10 KADAK: What code are you using to do that?

11 HARDIN: I'm sorry?

12 KADAK: What code, computer?

13 HARDIN: This is constructed--we use mostly Mathcad
14 calculation.

15 So now we--these are the six heat-generated waste
16 forms, presented in sort of a novel way in terms of the watts
17 per assembly or watts per high-level waste canister. The two
18 highest curves, of course, are the glass waste forms from
19 reprocessing that contain the short-lived fission products.
20 Then we have the used fuel or spent fuel waste forms down
21 here. The black curve--the black dash curve is Pu/MOX, and
22 the blue one is that high-burnup LWR UOX fuel.

23 Okay. This is an example--it's 1 of 24 cases, so
24 we've got four disposal concepts and six waste types, and
25 this is one of those, so this would be for the high-burnup

1 LWR direct disposal once-through case. And what we have on
2 here are temperature histories at the host rock interface for
3 a range of different waste package capacities expressed in
4 terms of number of PWR assemblies, and then the time is in
5 the years out of reactor. So this just represents what we
6 can do.

7 This is an interesting figure that gives you a
8 little insight, is that the top black curve is the total heat
9 output or total--I'm sorry--it's the temperature increase at
10 the host rock interface from all the waste packages in the
11 problem. And then the other curves express the breakdown of
12 how much of the temperature signal at the waste package
13 surface is caused by that waste package, how much from
14 adjacent packages in the same drift, and how much from other
15 drifts. This is one of the things you can do with a
16 superposition solution very easily. And the point here is
17 that, in the actual design of a repository, given more
18 details and site-specific information and perhaps better
19 resolved information on the heat output of the waste forms,
20 is that we would go back to these curves and use them to
21 adjust the spacings between the packages so that we can
22 optimize the density of emplacement while meeting our
23 temperature criteria.

24 And so if we pull 1 of those 24 cases out and look
25 at it in a little bit more detail, this is the high-burnup

1 UOX fuel case with a 4-PWR package in the KBS-3 type
2 repository. And this is basically where the action is, is
3 that for different durations of the surface decay storage--
4 and these are temperature histories, and we can see what the
5 relationship is between the peak and the assumed temperature
6 limit for that particular repository. So this compares to
7 Slide 16, but it's a subset.

8 And the next three slides then summarize the
9 results from the analysis. The green-shaded part calculate
10 peak temperatures that are less than or equal to the assumed
11 temperature limits. And this particular figure summarizes
12 for all the different disposal concepts what we learned for
13 certain waste package types, either a 1-PWR or 4-PWR, and
14 four different durations for surface decay storage.

15 So the upshot of this is that for these smaller
16 packages, particularly the UOX spent fuel 4-PWR, we had no
17 trouble placing these right away, if necessary, into a salt
18 or into deep borehole. For the deep borehole there are no
19 temperature constraints per se. The concept does not rely on
20 the characteristics of the thermal-affected near-field for
21 its post-closure isolation performance. Consequently, we're
22 not placing any temperature limits on the near-field in that
23 deep borehole disposal concept. And here's a breakout for
24 the granite and clay concepts for high-level waste. Same
25 type of thing going on here, and here is the breakout for

1 high-level waste in salt or for the deep borehole.

2 To summarize some of these numbers is that if you
3 go to a medium with a higher temperature limit such as salt,
4 which has a higher thermal conductivity, significantly higher
5 than, let's say, shale, is that you can expedite the time
6 frame for permanent disposal by on the order of 50 years for
7 enclosed emplacement modes.

8 And here's the figure that Jeff showed you
9 previously. So this sort of summarizes the results, and it
10 clearly indicates that if you choose a higher thermal K
11 medium, you might be able to greatly increase the number of
12 assemblies and decrease the amount of surface storage
13 required. This comes with a couple of caveats. These are
14 based on those assumed temperature limits. And, of course,
15 this particular aspect of thermal management is only one
16 consideration in the overall waste management picture.

17 So, in conclusion then, I have shown you a
18 relatively straightforward study. It has concluded that if
19 you go to the international experience and previous U.S.
20 experience with the enclosed emplacement modes, is that you
21 are limited insofar as the waste package capacity; that the
22 required surface decay storage periods are on the order of 10
23 to 100 years for high-burnup LWR spent fuel, depending on
24 what medium you select. The MOX case is sort of a
25 representative hottest waste type that we might have to

1 dispose of. You can see that far greater decay storage
2 periods would be required. All other aspects held constant.

3 So, basically, as I pointed out, you get about a
4 50-year move-up of the time frame for permanent disposal,
5 depending on what medium you select. And it turns out,
6 because the deep borehole concept uses such small waste
7 packages, that the peak temperatures are actually fairly low
8 so that it doesn't become a real major issue conceptually for
9 us insofar as the thermal management or the effects of heat.

10 And, finally, continuing work, like good analysts
11 that we are, we kind of take a straightforward problem and
12 make it less straightforward. We want to look at the open
13 emplacement modes. Yucca Mountain is clearly a reference
14 open emplacement mode for us. There might be additional
15 reference options for us to consider, and we're looking at
16 those right now, in fact, meeting on those tomorrow.

17 As for waste types, we do need to look at the
18 existing inventory of LWR spent fuel, but we chose a high-
19 burnup fuel which brackets or bounds the existing inventory;
20 and then we're expecting that we would look at additional
21 waste types from advanced fuel cycles consistent with the
22 fuel cycle option system study that Roald is conducting. And
23 we're going to look at--there are other elements of the UFD
24 program currently doing R&D on the maximum temperatures for
25 some of these EBS materials, particularly clay buffers, so

1 it's possible that sometime in the future we could extend
2 that 100 C limit. There are some rather interesting
3 considerations there in chemistry and the coupled physics of
4 clay materials, and this is also something you'll see in the
5 literature right now. I think internationally people are
6 starting to question the temperature limits that have been
7 used in the performance assessment, say, for the SKB
8 repository, but I think for the time being that 100 C is a
9 good sound number to use for scoping and generic studies of
10 this type.

11 In salt the 200-degree limit is also probably a
12 little conservative. The original salt repository work in
13 the '80s projected that 250 C might be possible, but I think
14 in the long run that, with bedded salt at least, that the
15 temperature will be limited not by the behavior of the host
16 salt itself, but by the behavior of some other layer which is
17 adjacent to that in the stratigraphy.

18 And then, finally, yeah, we've set about to do some
19 numeric calculations to verify and some uncertainty analyses
20 to understand the range of results that we should be
21 reporting. And we have people looking at a better
22 description of--a more detailed description of the facilities
23 that would be required to implement these different disposal
24 concepts and the rough order of magnitude costs of those.
25 So, basically, we're assembling a package of information that

1 supports the system study. And that's it. Thank you.

2 GARRICK: Thank you, Dr. Hardin.

3 Okay, we'll open it up for questions.

4 And, Bill, you raised your hand first.

5 MURPHY: Bill Murphy of the Board.

6 Ernie, what is the technical basis for the
7 100-degree limit for clay and granite and the 200-degree
8 limit for salt?

9 HARDIN: As I understand it, the 100 C limit for the
10 clay buffer material is based on the prospect of alteration
11 mechanisms, I think, principally cementation. So, for that
12 to occur, there has to be a certain amount of moisture
13 present, and I think that one will find that in the
14 literature there are cases or experimental data reported
15 where dry clay materials that might have 2 or 3 percent
16 moisture can be taken to higher temperatures, cooled, and
17 then hydrated. But that may not necessarily--I mean, I
18 wouldn't assume that that was possible universally, because
19 these are kinetically-controlled processes, and the rates are
20 very slow.

21 You asked about salt as well. You know, salt
22 itself--halite has a melting point much, much higher, and
23 that's on the order of 800 C. And these formations are very
24 dry. They have water on the order of 2 or 3 percent max.
25 It's quite likely that in the near-field we'd drive that

1 water off right away with consolidation, and that would be
2 thermally accelerated. You'd return to a very low
3 permeability condition to where that moisture could not get
4 back into the vicinity of the waste package. And so with a
5 dry situation, it's possible you could go to higher
6 temperatures. If water were present, then you would expect
7 some high-temperature, high-pressure, brining-type melt
8 behavior that might be corrosive or might be destabilizing in
9 some way. These are questions we've asked but have not
10 answered yet.

11 GARRICK: Rod.

12 EWING: Rod Ewing on the Board. Just to follow up on
13 Bill's questions, actually, it seems to me very important
14 early on to look at the effect of temperature on the chemical
15 reactions for the different rock types. I think if you look
16 at international programs, you'll find the stability of
17 clays, the release of water from clays as they break down,
18 movement of fluid inclusions in salt. There's a huge
19 literature that already has laid out the basis for these
20 temperature limitations, and it's probably not necessary to
21 do a parametric study of full range of temperatures, because
22 there's a logic behind the limits we see in these
23 international programs; or if the logic isn't solid, then, of
24 course, we can expand on that. So I would just say, my
25 disappointment is, there's no chemistry in the analysis; and,

1 finally, in terms of radionuclide release and transport,
2 chemistry matters quite a lot.

3 HARDIN: Right. You would have to consult with the
4 members of our team who are doing the basic R&D on these
5 materials to get their views on the dependence of chemical
6 processes on temperature.

7 EWING: Right, but I would say it's your job to consult
8 with them and have the rest of that information. That's my
9 suggestion.

10 HARDIN: Yeah, we're sort of in between right now. I
11 mean, we're doing a scoping study.

12 GARRICK: Okay. Andy.

13 KADAK: Yeah, I like to do a reality check occasionally.
14 We have--and I've sort of tried to calculate right now--we've
15 got about 176,000 or so--or will have by 2020--176,000 fuel
16 assemblies. And by that time in 2020 we'll probably have
17 close to 3,000 canisters for waste--stored in some form of
18 wet/dry, but they will be in some kind of canister form. And
19 I'm just thinking about in context of the sustainability
20 discussions, are we going to reprocess or not. And I'm
21 saying to myself, and then you're going to a four-element can
22 that's going to require 42,000 canisters to be handled, which
23 has the 176,000 fuel assemblies, and knowing that right now
24 we're probably going to dispose of spent fuel anyway; okay?
25 We're not going to reprocess all that back stuff. We're

1 probably going to look forward to a sustainable fuel cycle
2 maybe with a fast reactor system. Who knows?

3 But, given the fact that we've got all this spent
4 fuel sitting here, would it not suggest, instead of looking
5 at clay or salt, but looking at a repository that can handle
6 the waste forms that we now have, which I would argue are
7 canister-based systems holding anywhere from 20 to 60 fuel
8 assemblies, and let's kind of just focus on that particular
9 problem rather than try to solve a problem with a very small
10 temperature limit on the various media you're looking for.
11 Doesn't that sort of guide you in a different direction given
12 the reality of the day?

13 HARDIN: As an alternative, yes.

14 KADAK: Well, as a practical thing to really look at as
15 perhaps a mined geological repository, because clearly, if
16 bentonite is the limit, okay, it doesn't make any sense to
17 even think about it if you're going to repack all this
18 other stuff, unless we take as a waste management strategy,
19 let's reprocess all this stuff, let's partition, let's use
20 boreholes for actinides, and store the spent--sorry, the
21 fission products on the surface. I didn't hear anybody talk
22 about that yet as one of your options.

23 HARDIN: Well, yeah, I was going to point out that we
24 could very easily have multiple repositories or multiple
25 disposal concepts in DOE's portfolio for eventual ultimate

1 disposal of all of these different types of wastes that we're
2 talking about. We're not limited to any one geology. And
3 one other point, our mission here, speaking for UFD, is to
4 maintain the capability to implement any one of these
5 solutions, so we're not quite ready at the point you're
6 talking about, you know, to commit to one or the other.

7 REGALBUTO: I think Andy's point is well-taken. It will
8 be an option that you will have to add to your portfolio of
9 options, in which you actually reverse the problem and say,
10 What will the solution look like if I was to address what I
11 have already there, and what will be the required geology and
12 engineering barriers for that? So I think you need to add
13 that to your set of options. You're looking at it from a
14 traditional way where we start from zero, but now, since time
15 has gone by and we are already in a different situation, his
16 point is, will the answer change if you were to address, as a
17 snapshot, what we have today, and I think that merits looking
18 at.

19 WILLIAMS: Right. And that's what those two slides are
20 about on direct disposal of existing canisters and what would
21 it take to do that, and that is something that has really not
22 been much of a consideration until just recently. I mean,
23 we've been looking at Yucca Mountain--

24 KADAK: Remember MPC? That's not recent, trust me.

25 WILLIAMS: No, no. And MPC was designed specifically

1 for Yucca Mountain. It wasn't--the canisters that are out
2 there would not meet the TAD or the MPC specification. They
3 won't do it.

4 KADAK: The solution is integrated. You talked about
5 criticality, burnup criticality issues, burnup credit. All
6 that's got to be fit together in a program that makes sense.

7 WILLIAMS: Right. And that's what was done in the MPC
8 and TAD program when we had a Yucca Mountain repository to
9 develop specifications so that that could be done and--

10 KADAK: But forget Yucca. I think what--

11 WILLIAMS: Right, right.

12 KADAK: --what Monica is saying, is there a place that
13 is a mined repository that could hold high heat-load
14 materials in a can that's already there, that's already here?
15 That's what we're asking.

16 WILLIAMS: And we get it through a voluntary consent
17 process.

18 KADAK: Of course. Which speaking--now that you've
19 brought it up--I'm sorry, John--I would like to know if DOE
20 is working on a voluntary consent process given that in
21 whatever they released the report you're asked to do
22 something or even to start yet another study to figure out
23 what the voluntary consent process is, which will take at
24 least two or three more years. Am I right? No?

25 REGALBUTO: Do you want me to answer again?

1 HARDIN: Of course. No, no, no, don't even—I've got it.
2 Better wait till the BRC comes out. Okay.

3 KADAK: But that's really important, because, you know,
4 as we all have learned, it's not the local community that's
5 going to have a problem. It's the State. And that's where
6 the BRC report fell badly down, because it didn't address
7 that political reality.

8 LYONS: I certainly don't want to speak for the BRC, but
9 I believe that point's been made to the BRC. I don't know
10 how they're going to address it in the final, but I believe
11 that point has been made. And discussions I've had with a
12 few BRC members, they are certainly acutely aware that State
13 issues are rather important.

14 GARRICK: Okay, George.

15 HORNBERGER: Ernie, I noticed that the last appendix in
16 your report is on cost. Is there a take-home message in the
17 analysis you did relative to cost?

18 HARDIN: Right. That was more of a book report, as I'm
19 sure you picked up on. But I think the only trend that I'd
20 identify in there is that, you know, the Yucca Mountain total
21 system life cycle cost estimates are pretty representative of
22 the estimates generated internationally for the same problem,
23 but they are in contrast to Joe Carter's estimates for
24 disposal costs for high-level waste in glass and 4-canister
25 direct disposal such as the generic salt repository. So, you

1 know, if you take away the need for some sort of an overpack
2 for disposal, that reduces the cost significantly. We're in
3 the process this fiscal year of refining and updating those
4 and making those cost estimates more specific to the generic
5 reference concepts that we have.

6 GARRICK: Jeff, I thought your slides 9 and 10 were very
7 interesting that provided comments from the different groups
8 as to the usefulness of standardization, and the fact that
9 there was quite a bit of widespread opinions was also very
10 interesting, but I'm wondering if we're looking at the right
11 thing here. It just seems to me that what we're really
12 trying to do is to minimize the operational risk associated
13 with the handling of this material. And we see arguments put
14 forward that, well, you can't do this until you have a
15 repository and can back-calculate exactly what the needs are
16 and so forth.

17 I have a number of questions here, but one is,
18 given that the issue is really a basic one relative to
19 minimizing radiation risk during operations, aren't there
20 some effective things that we can be doing in terms of
21 developing design specifications or criteria or what have you
22 that would help us a great deal down the road when in fact we
23 do have a repository? Are the people that are disagreeing
24 with standardization--what's their perspective? Are they
25 looking at it from the standpoint of an operational risk

1 issue? Are they looking at it from a cost issue? Or are
2 they looking--what are they looking at?

3 WILLIAMS: Well, I mean, we could turn this over to the
4 people from industry, but my understanding is, the larger the
5 package, the better it is from a cost standpoint and also
6 from a dose standpoint, because the dose actually comes from
7 the setup when you start to weld the canister. And so if you
8 have--the more assemblies per canister, the lower dose that
9 you have associated with that loading operation. Is that
10 enough?

11 GARRICK: Well, again, I'm trying to probe a little bit
12 on what can we do about saving us a lot of headaches
13 downstream in the absence of a repository with respect to
14 these kinds of issues.

15 WILLIAMS: Right. That's what I'm struggling with,
16 especially with--and that's what we've--as Andy pointed out,
17 we've worked on for 20 years was trying to do that; and when
18 you had a certain repository environment and you had more
19 knowns, it was easier to address. And I think John would
20 like to say something.

21 KESSLER: John Kessler, Electric Power Research
22 Institute. Yeah, I put together the words for the EPRI
23 response to the BRC. The perspective was, as Jeff talked
24 about, we were considering the upstream implications as much
25 as the downstream implications. The downstream concern was,

1 as I think Ernie's presentation showed, it's unclear what
2 size the package needs to be for different kinds of disposal
3 concepts or geologies when we don't know what the geology is.
4 It could be anywhere from one assembly, maybe up to 21,
5 assuming the nation picks some other kind of porous fractured
6 medium in the unsaturated zone or something like that.

7 The other concern--certainly cost is one of them.
8 The other question I asked the utilities back in May--this
9 was in the context of more rapidly moving fuel out of the
10 pools, Fukushima-related issues, things like that--was how
11 much faster can the utilities move fuel out of the pools
12 based on their operational constraints? And the answer
13 seemed to be somewhere in the factor of two to three times
14 faster, and those are in large canisters. So if one is
15 talking about even a 4-assembly canister, now you're talking
16 about six, eight, ten times as many canisters that would need
17 to be loaded, dried, welded at the site. Operationally, I'm
18 not sure that that could be done. Again, maybe if there was
19 a way to do that, that could be instituted.

20 The last one is not necessarily technical, which
21 is, it would be interesting to know how the Department of
22 Justice would view utilities volunteering to pick much
23 smaller containers at presumably a much higher cost, whether
24 the Department of Justice would consider that justified. I
25 don't know. But these are the kinds of considerations, the

1 technical and the economic ones both at the front end and the
2 back end, that EPRI considered when making its comments. The
3 last one is also dose risk, which is that worker dose is
4 involved with the loading, the drying, the welding, the
5 moving of these out; and that would incur a higher dose risk
6 to provide options for different kinds of disposal systems.

7 So that was what was involved in EPRI's comments,
8 which was essentially, why should a decision be made now when
9 it's unclear whether there is or is not a benefit to the
10 nation to do it, given that there are these upstream
11 downsides of doing that. So that was the basis for the EPRI
12 comments.

13 GARRICK: Thank you.

14 I think we have another short perspective.

15 LEVIN: Thank you. Adam Levin, Exelon Generation. One
16 of the things that I think the Board should get their arms
17 around from an operational perspective is that we are loading
18 somewhere between 250 and 350 assemblies into dry storage
19 every year now at our sites that have run out of room in a
20 spent fuel pool. So if you're looking at canisters that are
21 4 assemblies in size versus the 68 at a BWR that we're
22 currently loading, you're now talking about loading on the
23 order of 70 canisters every year, which is something that we
24 could not do. It takes about seven days right now to load a
25 large BWR canister, and there is no corollary for saying that

1 it's only going to take one day or two days to load up 4-
2 assembly canisters. It's still going to take you four to
3 five days to do that regardless.

4 GARRICK: Very good comment.

5 WILLIAMS: I'd just like to add that in our architecture
6 study where we're looking at that packaging, it isn't just
7 necessarily at the utilities. It could also be at an interim
8 storage facility; it could be at a packaging facility that's
9 associated with an R&D facility; so there's a lot of
10 different ways to do it other than at the utility.

11 GARRICK: Yes?

12 REDMOND: Everett Redmond, Nuclear Energy Institute. I
13 just want to add a couple comments based on the comment
14 letter that we drafted. When looking at standardization, in
15 many respects--and we made this comment to the BRC--the
16 systems are standardized to some extent. In fact, Jeff in
17 his presentation talked about it with the transportation
18 casks that are single transportation casks able to
19 accommodate multiple systems.

20 The last thing I'd like to mention in terms of
21 standardization and one of the areas that could be focused on
22 here is not necessarily on the casks in that system, but
23 let's start looking at the transportation systems that need
24 to be done, because we have multiple systems at different
25 decommission site, for example, and if you're going to move

1 them, you can make a great effort to standardize as best you
2 can the rail cars, the handling equipment, and all of that
3 infrastructure. And that's a good place to start.

4 GARRICK: Thank you.

5 REDMOND: Thank you.

6 GARRICK: I think Carl Di Bella had a comment.

7 DI BELLA: But it was covered by the discussion among
8 Andy Kadak and Jeff Williams and Monica Regalbuto.

9 GARRICK: All right, yes.

10 ROWE: Most of the graphs--

11 GARRICK: Name?

12 ROWE: Rowe, Staff. Most of the curves that you show
13 were obviously for an unventilated repository, and you
14 mentioned open and closed repository. And based on some of
15 the studies that were done on Yucca Mountain, the waste
16 package size can increase greatly if you have an open
17 repository versus a closed repository. I didn't see any
18 analyses looking at an open. Have you done those analyses,
19 are you planning to, and what are the waste package sizes
20 when you do that?

21 HARDIN: Okay. We're doing those analyses now. We need
22 to actually--as I mentioned, this week our team is meeting to
23 select some open modes.

24 ROWE: Okay. Do you think there will be any difference
25 in relationship to the medium with the open concept?

1 HARDIN: Oh, absolutely. I mean, if you're removing 80
2 or 90 percent of the heat by forced convection, that gives
3 you considerable latitude. It adds, you know, another couple
4 degrees of freedom to the thermal management problem.

5 ROWE: That's my point.

6 GARRICK: Okay. Any other questions from the Board?
7 Yes, Andy? I guess I would have expected that.

8 KADAK: Yes. We didn't hear much about what you're
9 doing on transportation. Who is in charge of that program?

10 WILLIAMS: Right now our transportation program is
11 looking at the technical aspects of transporting in terms of
12 what can you do after extended storage, the research that's
13 needed to fill those gaps that you were briefed on in
14 February--or, I mean, in September. In terms of doing the
15 things--developing a transportation system like rail cars and
16 casks and security, that type of work is not ongoing at the
17 moment.

18 KADAK: And the routing question, I know you were fairly
19 active with the regional governors' association types of
20 organizations. Is that--

21 WILLIAMS: That was all stopped. This new logistics
22 code is going to have some routing models developed into it
23 in the next year; but in terms of all the interaction along
24 the routes and the regional integration groups, none of that
25 is ongoing right now.

1 KADAK: My question is really--because I am quite sure--
2 and I'd bet a lot of money on it--that there will be a
3 recommendation coming out of the Blue Ribbon Commission that
4 says we need to site several interim storage sites. I'm
5 pretty sure that's going to happen.

6 WILLIAMS: You might be right.

7 KADAK: And I think it would be good for the Department
8 to start thinking through, if several regional sites are
9 going to be needed, where does it logically make sense to
10 put them given the network that we have over the rail
11 systems? And you're not doing that now?

12 WILLIAMS: No, no, we're not doing that. It wasn't part
13 of the R&D roadmap or R&D portfolio that was laid onto us
14 when this program started that's been explained to you. And
15 those are some things that are identified in the Blue Ribbon
16 Commission's near-term actions that could be done prior to
17 legislation to do these kind of things, that could be done,
18 but there hasn't been any decision made to do those yet.

19 KADAK: A follow-up question for Pete. Suppose the
20 legislation that the Blue Ribbon Commission is sort of
21 suggesting doesn't happen, and DOE is still charged with the
22 mission of disposal, that would take--rephrase the question.
23 The legislation will take many years to pass, likely. It's
24 not going to happen this year. And so is DOE going to do
25 anything in this area even after the Blue Ribbon Commission

1 has done that you can do? For example, interim storage was
2 part of your charter when David--what's his name?

3 SPEAKER: Leroy.

4 KADAK: Leroy--was in charge, successful program that
5 was. It started with the volunteer siting process. If the
6 legislation doesn't get passed, is the DOE planning to do
7 something in this area?

8 LYONS: Andy, as you know, we're constrained by
9 something called the Nuclear Waste Policy Act right now.

10 KADAK: Right.

11 LYONS: My memory is that under the Nuclear Waste Policy
12 Act, you could not move ahead with interim storage today
13 unless you are previously moving ahead with licensing of
14 Yucca Mountain. I believe that's the way it's worded. I'm
15 not positive. All I'm suggesting is that I think there needs
16 to be substantial guidance along with substantial budget
17 questions that are going to come up as we move past the BRC
18 study and start to look at what the actions will be.

19 KADAK: Well, Leroy was able to do what he did in terms
20 of seeking volunteer sites even though we did not have a
21 repository, so there was some leeway in being able to do
22 this.

23 WILLIAMS: There is some specific language in the
24 Nuclear Waste Policy Act that says we could look for sites,
25 but there is a linkage between--

1 KADAK: Correct.

2 WILLIAMS: Right, right. And so whether we do that or
3 not is a policy question. And, you know, thinking back when
4 David Leroy was there was, you could go through the voluntary
5 process, and there would be potentially an agreement that
6 then would allow the law to be changed.

7 GARRICK: Any other questions? Yes, Linda.

8 NOZICK: Nozick, Board. It's a question for Jeff.

9 How does the--so you're going to re-resurrect
10 Calvin's last TSM? How have the requirements for that been
11 shaped so that they support some of these other analyses like
12 the analysis structure by Wigeland--earlier in the
13 presentation when Roald talked about an analysis structure of
14 a total system analysis? How will the rebate TSM Calvin
15 model--will that support that effort?

16 WILLIAMS: I don't know. This is just getting underway.
17 And, yeah, that does probably need to be integrated. This
18 study that's being looked at right here is just a small piece
19 of that, and they--like he said, he has been doing this work
20 since 2009, I think, so that's been underway. And from what
21 I've seen--maybe you have to ask Roald--is the work that's
22 being done in this probably won't have any influence on what
23 he's doing with respect to fuel cycles, but it will inform
24 what you would do only in an open fuel cycle with respect to
25 packaging and costs and so forth or interim storage

1 facilities. But it's something that, as we get it started
2 over the next year, that we'll need to look into.

3 GARRICK: Okay. Any other questions? From the staff?
4 From the audience?

5 With that, we will--and thank the presenters--we
6 will recess until 1:45.

7 (Whereupon a lunch recess was taken).

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

AFTERNOON SESSION

2 GARRICK: Let's reconvene. Here's Christine Gelles once
3 again, this time she's going to talk about planning for
4 future disposal of DOE oil and high-level waste and spent
5 nuclear fuel. Christine, the podium is yours.

6 GELLES: Thank you, everybody. Thanks for coming back,
7 and I appreciate your indulgence since now I'm going to gab
8 at you for a second time today. And if you haven't been
9 outside, it's snowing, if you can believe it. So if I look a
10 little spotted it's because I was wandering around in the
11 great wilderness.

12 Okay, so the purpose of this presentation is to
13 share some information with the Board about the Department of
14 Energy Environmental Management Programs, and I'm emphasizing
15 it's the Environmental Management Program that I'm speaking
16 for. Our approach to planning for EM waste form disposal, in
17 light of the termination of the Yucca Mountain repository
18 program. The focus is not so much on what we're planning for
19 in terms of development of a future site. I think you heard
20 me respond to the Board member's question this morning that
21 we're considering some of the advantages of proposing a
22 repository focused on Defense waste streams, but, you know,
23 the administration has not made a decision now. We're really
24 watching closely what's developing in other corners of the
25 Department and awaiting the Blue Ribbon Commission's final

1 recommendations and any actions the Secretary may take in
2 response to those.

3 But what I did want to speak with you about were
4 the conservative measures we're taking as a program to retain
5 the pedigree of the waste forms that we've already produced;
6 those that were produced assuming the Yucca Mountain
7 repository program, and then the proactive approach that we
8 have planned so that we can be more in the driver's seat when
9 there is a future repository program, or repositories, or
10 even interim storage programs.

11 And I'm sorry, I failed to say it this morning when
12 I introduced myself, I'm the Director of an office called the
13 Office of Disposal Operations, and the responsibilities of my
14 office within the Office of Technical and Regulatory Support
15 is to ensure that there is a disposition path for any of the
16 EM-generated waste streams. We also have some statutory
17 responsibilities related to some civilian or commercially
18 generated waste streams, specifically the greater than Class
19 C low-level waste streams, which also might need geologic
20 disposal.

21 But my scope does go beyond tank waste. We include
22 transuranic wastes; we're very integrally involved in the
23 operation of the Waste Isolation Pilot Plant and our
24 Transuranic Waste Disposition efforts, as well as low-level
25 and mixed-level waste. Uranium management, or uranium

1 bartering activities, providing for disposal of any
2 commercial uranium enrichment waste streams that any
3 commercial enrichers might request us to provide, and then we
4 also have some scrap metals management activities. So we
5 are--the scope of my office touches a number of areas within
6 the fuel cycle, so I would look forward to working with you
7 on any of those matters moving forward.

8 So this slide is old history, and all of you know
9 it already. The important point here is that we are
10 self-regulating in the management of our high-level waste
11 streams and our fuel inventories, while they're at our DOE
12 sites. There is a special exception in the case of some
13 commercial fuel inventories that we've taken custody of,
14 where they're being retained in NRC-licensed independent fuel
15 storage installations. So we do maintain two NRC licenses,
16 and I mentioned those this morning; one at Fort St. Vrain in
17 Colorado, and other at the Idaho National Laboratory for the
18 TMI fuel debris.

19 We have absolutely been working with other elements
20 of the Department to plan for the future disposal of our
21 program--of our EM waste forms, and they were focused and
22 structured and planned to be accommodated at the Yucca
23 Mountain repository. Of course, everybody knows that RW was
24 created to provide that geologic disposal, but, of course,
25 their program was terminated in 2010 with the change in the

1 administration's position on the Yucca Mountain program.

2 There is an MOA. The final bullet here is the one
3 I want to focus on. There was an MOA developed between EM
4 and RW and it provided, effectively, the contract between us
5 for the acceptance of EM-owned waste forms. And it really
6 was developed to mirror the standard contracts that are
7 signed between the Department and the commercial utilities
8 for the acceptance of commercial spent fuel, and in order for
9 our waste forms to be fully considered in the RW program, and
10 in the future, hypothetically, to have been accepted as a
11 repository, we would have had to fully comply with all the
12 requirements of the MOA, and those requirements included the
13 technical requirements that were part of the repository
14 system.

15 Of course, you know all of this as well. The only
16 important point here is that the LA, as it was submitted,
17 covered, in general, the majority of the waste forms that EM
18 manages, although the initial license application would not
19 have covered the total volume that we possess, but it covered
20 all of our high-level waste, assuming it was vitrified into
21 borosilicate glass, and it covered all of our EM spent fuel,
22 assuming that we placed it in the DOE standard canister, and
23 there was some ongoing debate about that. And then it did a
24 good job of analyzing how our multi-canister overpacks that
25 contain the end reactor fuel from Hanford would perform,

1 although there were still some outstanding analysis that
2 would have been required in some subsequent place since
3 update.

4 There are other waste forms, though, and,
5 potentially, some variations on our future waste forms from
6 those that were analyzed in the LA, and that really is what
7 we're going to talk about in the later slides of the
8 presentation.

9 So a little bit about the existing requirements for
10 managing. Pursuant to our AEA authority, it's DOE orders,
11 which would be comparable to NRC regulations, that guide our
12 activities, and those applicable orders include our safety
13 orders, our--both radiation safety, nuclear safety and our
14 occupational safety orders--and then DOE Order 435.1, which
15 is the Department's radioactive waste management order, is
16 currently in the process of being revised. It is the second
17 radioactive waste management order that we had. Our previous
18 order was 5820, but it had the same title. There are four
19 chapters. One chapter is High-Level Waste, and it tells us
20 everything that we need to do in terms of ensuring the safe
21 interim storage and treatment of the waste, and it does make
22 some extensive references to the RW document system.

23 And then, of course, we have some quality assurance
24 requirements that we also have to meet, and in addition to
25 those, by virtue of the MOA we signed with RW, we were also

1 meeting the quality assurance requirements of the Yucca
2 Mountain repository system.

3 We use DOE and DOT transportation regs, orders or
4 requirements, when we're moving fuel or high-level waste
5 samples between our sites. And then we have a broad network
6 of environmental analyses and documented decisions that
7 support our overall management strategies. The grandfather
8 of them all is the programmatic waste management EIS and its
9 record of decision, which of course said that we're going to
10 dispose of high-level waste in a geologic repository.

11 And then there are site-specific environmental
12 impact statements that are tiered from those, so there would
13 be very detailed decisions and analyses related to the
14 high-level waste systems at Idaho and Savannah River, and at
15 Hanford. And the Hanford site-specific EIS is in the process
16 of being updated; it's called the Tank Closure Waste
17 Management EIS. It was published in draft, and we're about
18 to issue a supplement to that draft EIS as we're moving
19 forward to a very comprehensive site-specific NEPA evaluation
20 for activities there.

21 There are compliance commitments. I am--this is
22 not an exhaustive list, I'm just calling the two out that are
23 the most obvious, the Idaho settlement agreement between us
24 and the State of Idaho, and it's this agreement that requires
25 that all of the high-level waste be road ready by 2035, and

1 all of spent nuclear fuel be out of the state by 2035. There
2 are some site-specific, or some site treatment plans, that
3 were negotiated pursuant to the Federal Facility Compliance
4 Agreement, and that set some other near-, nearer-term
5 decisions, about the rate of treatment for some of our
6 hazardous waste streams, including sodium-bearing waste in
7 this case. We have the Hanford Tri-Party Agreement, and the
8 consent order, which sets some schedules related to the tank
9 retrievals and the rate at which we'll be vitrifying high-
10 level waste at Hanford.

11 So there's a hierarchy of documents, and I'm not
12 going to read all of these to you, but this is really your
13 legend for the next slide, but there are a series of RW
14 documents that provide us the framework, and then we have
15 some programmatic documents that tier from those, and then
16 some site-specific documents. And this is what the hierarchy
17 looks like, at least in our mind. RW probably would have
18 taken issue with where we placed the MOA. They probably
19 would have thought it sits over to the side and that the CRD
20 is the overarching document.

21 But I just wanted to call these out. The QARD is
22 the Quality Assurance Requirements Documents, the WASRD in
23 the middle is the Waste Acceptance System Requirements
24 Document, the IICD is an Interface Control Document. All of
25 those above the red line were RW developed, RW maintained and

1 were called out in the MOA as things that EM would have to
2 comply with in order to ensure--in order for our waste forms
3 to be acceptable into the system.

4 The red line below starts the EM series of
5 documents. The WAPS is the Waste Analysis Product
6 Specifications, and this is where we take the requirements of
7 the waste acceptance requirements document from RW and make
8 them specific to the treatment methods that we're employing
9 at our sites. And right now WAPS is specific to
10 vitrification and specific to borosilicate glass. We do have
11 other high-level waste forms planned. You'll hear Joel Case
12 talk about our calcine and the anticipated waste form there.
13 We propose to develop a second WAPS for the non-vitrified
14 high-level waste forms in the future.

15 The light blue boxes are high-level waste sites,
16 Hanford planning to be operational in 2019; Idaho, of course,
17 with the calcine project, sometime to be road ready by 2035;
18 Savannah River is in the process of producing, through the
19 Defense Waste Processing Facility in West Valley, completed
20 its vitrification mission, as I mentioned this morning. But
21 each of those sites then have to produce the site-specific
22 documents, which is the lowest box, and those include the
23 Waste Form Compliance Plan, the WCP, the Waste Qualification
24 Reports, the WQR's, and then site-specific shipping and
25 storage records as they are germane to the production of the

1 waste forms at each of the sites.

2 Our current direction moving forward is to
3 continue--you've heard me say this before--but to continue to
4 safely store our inventories in a safe and secure manner
5 pursuant to the site safety bases, which are developed in
6 full concert with DOE safety orders, and to manage those
7 projects and those waste streams consistent with the project
8 plans that we alluded to this morning. And again, those
9 project plans were based in large part on the RW system and
10 their specific technical requirements that were laid out in
11 that hierarchy. And we will continue to comply with those
12 until such time that we have an informed basis to change
13 them.

14 We're maintaining very rigorous configuration
15 control, in part because we don't know what the future holds.
16 It's not unforeseeable that some future repository program
17 will begin where Yucca Mountain left off, even if it's a
18 different site that it works on, and for that reason we want
19 to make sure that we've got a ready set of data supporting
20 our waste forms so that they're not left behind or orphaned
21 any more than they already are by the change in the
22 repository program.

23 Our Q.A. program is managed by the Office of Safety
24 within EM. That's one of Ken Picha's current organizations
25 he is heading right now, and he has chosen to maintain the

1 QARD as the basis of doing Q.A. audits at our high-level
2 waste sites and our fuel management sites on a periodic
3 basis. I think the QARD requires it annually. We do do some
4 graded approaches to deferring that and doing partial reviews
5 for sites like West Valley, where there's no change to the
6 inventory because the high-level waste is basically produced
7 and just simply in storage in a static mode. But we
8 do--that's the most external sense of oversight that we have,
9 a headquarters Q.A. organization overseeing the
10 implementation of the Q.A. requirements at our production
11 sites.

12 Our vision is that we will adapt the requirements
13 to address our other waste forms. As I mentioned, the
14 calcine might lead to the development of a waste
15 form-specific waste WAPS document, Waste Analysis Product
16 Spec document. And we'll do that in order to optimize our
17 future operations, and consistent with those enhanced tank
18 strategies we spoke of this morning. So, in short, in the
19 future we want to be less reactive to the repository program
20 than we were during the development of the Yucca Mountain
21 program.

22 Let me just go back here, a point that I failed to
23 mention, and I apologize for going backwards, but as these
24 requirements were developing, we were developing our
25 treatment systems, so, by and large, they were happening in

1 parallel, and a lot of times we were being forced to refine
2 our plans as the RW requirements were being changed. In
3 fact, I think there were revisions up to the 15 and 16 range
4 for some of these RW documents, and every time the RW
5 requirement document was revised, we had to, by matter of
6 contract, pass that revision on to our contractors and force
7 them to incorporate them into the plan. So you can see that
8 we were constantly reacting to a changing repository system.
9 Even if the system wasn't changing, the specs and the
10 specific requirements were evolving as the repository was
11 developing. Again, we were constantly in response mode.
12 We're hoping that we'll be a little more of a determining
13 factor in future repository efforts, which is imperative for
14 us then to be, you know, fully engaged with the folks in
15 nuclear energy, or whatever future endeavor takes on the
16 development of the repository.

17 So our current planning context is that Yucca
18 Mountain will not be restored, even if, as I said before, the
19 future planning begins where Yucca left off. We expect that
20 the NRC will continue to review the LA if nothing more than
21 just to ensure that the safety evaluation report is
22 comprehensive. I know that they have no funds to do so now
23 but in the grandest scheme I think it will just close the
24 books on the existing application and let it be part of
25 history, and a reference for future efforts.

1 The MOA between us and EM or us and RW has been
2 overtaken by events, and that means that requirements such as
3 repository acceptance planning, how we would fit into the
4 queue, the transfer specs and any payment of repository fees,
5 in terms of us, the Department of Energy, paying our share,
6 because of a comingled repository, is all going to be
7 redefined sometime in the future. There are certain
8 management requirements that we don't want abandoned, such
9 that we assume most fuel is going to have to be packaged into
10 a canister of some sort. We continue to want to use the DOE
11 standard canister as a planning basis until it's replaced
12 with a better--a more defensible assumption. We're going to
13 limit free liquids and organic content. Our canister design
14 requirements are pretty static, in terms of using 10-foot
15 canisters in Savannah River, we have 10-foot canisters at
16 West Valley, we're using 15-foot canisters at Hanford, and we
17 know we want to maintain rigorous Q.A. programs for both our
18 high-level waste and our spent-fuel programs.

19 But we're in the unique position now where we are
20 both the issuer, the maintainer and the implementer of the
21 technical requirements documents, whereas before RW was the
22 issuer and maintainer, we were the implementer, and then
23 there was some external or independent oversight on the part
24 of RW to make sure we were complying with them. And this is
25 okay because we're used to self-regulation, but it is

1 potentially problematic, and I think that expertise from a
2 group such as the Board, or other organizations such as
3 Nuclear Energy, would be useful to us as we began to deviate
4 from the existing set of requirements so that we can have
5 some independent eyes helping us to understand what the
6 potential impact would be.

7 So, moving forward, we're completing an update of
8 the Waste Analysis Products Specifications, just to get it
9 fully aligned with the last set of RW revisions and the
10 license application. We issued the WAPS in 1996 and we did
11 not change it since then. Although the WASRD and other
12 repository documents evolved multiple numerous times, we have
13 never formally updated the WAPS, so Phase One is to get our
14 WAPS document up to date with the RW system when it froze,
15 prior to the termination of the RW program. And then Phase
16 Two will be beginning to march away from the existing set of
17 requirements as our performance-based analysis justifies it
18 to accommodate the other waste forms.

19 We will propose those, we hope, in a very
20 transparent manner. Again, we don't intend to do it in a
21 vacuum. We hope to work with other DOE offices, seek the
22 counsel of our General Counsel Office, since they're
23 maintaining some of the interfaces related to the compliance
24 standard contract, even if the MOA between EM and RW is
25 effectively overtaken by their abolishment. We will maintain

1 very rigorous records for all that we do, both producing our
2 waste forms and revising our technical documents.

3 We will have to pursue delisting of some of our
4 high-level waste forms. If the assumption that any future
5 repository will not be RIPA-regulated holds true, as it had
6 been planned for the Yucca Mountain repository. We are
7 completing the revision of DOE Order 435, and there will be
8 some changes about high-level waste, including changing our
9 high-level waste definition in the DOE order to be fully in
10 accord with that which is in the Nuclear Waste Policy Act.

11 We will also clarify some of the additional authorities we
12 have pursuant to Section 3116 of the National Defense
13 Authorization Act that has to do with how we close high-level
14 waste tanks after all of the tank waste is removed from it.
15 We're going to continue our coordination with NENR, Nuclear
16 Energy Naval Reactors, science, general counsel, and this is
17 really emphasizing the theme of this meeting, continuing our
18 integration with other elements of the Department, and then
19 we'll implement our policies. We'll change them as
20 appropriate, in light of what the BRC recommends and the
21 Secretary decides.

22 This is our vision of what a high-level waste and
23 spent-fuel requirement set might look like in the future,
24 with the QUARD still being the RW-issued document,
25 maintaining the commonality between the two, but we envision

1 a set of high-level waste requirements, and then a set of
2 spent-fuel requirements that would tier through program-level
3 documents down to site-specific documents, and I won't bore
4 you with the detail here, it's just really to share with you
5 a vision that EM, left to our own devices, would have a very
6 robust set of technical requirements that we would adhere to,
7 but we would structure them this way just because there were
8 significant differences between what we must do to our high-
9 level waste inventories versus what we would do to our fuel,
10 and, quite honestly, in terms of cost, you heard me this
11 morning, the tank waste, you know, it wags the dog a lot
12 harder than our fuel programs do.

13 So our assumptions, and again, these are just EM's
14 assumptions, about the future repository is that they'll be
15 designed to dispose of the high-level waste forms and
16 canistered fuel that's managed by EM, and I'll emphasize that
17 we're envisioning that to be all of the high-level waste
18 forms, not just the vitrified, and all of our canistered
19 fuel, not just that which would go in a DOE standard
20 canister. We fully expect our multi-canister overpacks will
21 be acceptable.

22 We are open to even our TMI casks, the 27 larger
23 casks that contain smaller canisters, might be acceptable in
24 their current form. It would be great if we could avoid
25 repackaging some of these fuel inventories.

1 We also expect that the repositories will accept
2 all of the DOE-managed forms. There are ceramic high-level
3 forms generated by any NE, and of course there are the larger
4 fuel casks generated by naval reactors. We assume that the
5 repository will require NRC licensing. Don't know if it'll
6 be generic or site-specific. I have my assumptions about
7 that. We assume the regulations will be risk-based. We
8 assume EPA will have the regulatory responsibility, or at
9 least a rule-making responsibility to set some standards.
10 And we assume that the transportation system will not be our
11 responsibility. But, of course, these are assumptions based
12 on today's state of affairs and could certainly be changed
13 significantly a result of the BRC and the Secretary's
14 reaction to those.

15 This is all old new for all of you, so I won't read
16 it. Just a reminder that we get a lot of help taking a look
17 at our programs, in light of the changes to the repository
18 strategy. GAO did numerous reports, I think five in the last
19 two years, that somehow touch on what the impact of the Yucca
20 Mountain termination is on our activities. And of course
21 there's the Blue Ribbon Commission, and we touched on it this
22 morning. They are very focused on consent base. They've
23 paid a lot of attention to our WIPP experience, of which we
24 are very, very proud, and we are well aware of the Blue
25 Ribbon Commission and the State of New Mexico's support for

1 building upon our WIPP experiences.

2 So, in closing, and then again I welcome your
3 questions and our continued dialogue. We are committed to
4 the safe management of our waste forms and our fuel
5 inventories. We also have extensive experience in this area
6 that I believe can--we all believe in EM--can be relied upon
7 in future repository development efforts. We manage
8 materials and waste both in a DOE regulatory framework, as
9 well as within NRC licenses. We have experience transporting
10 fuel between sites. A good example would be West Valley to
11 Idaho, as well as our continued receipt of offsite Ford
12 research reactor fuels, in both Idaho and Savannah River.

13 We have experience in different storage-type of
14 facilities--wet, dry, vault, cask. We have extensive
15 experience in vitrifying high-level waste, as well as
16 developing other pretreatment steps, and we're working on
17 some alternate high-level waste forms. And we actually have
18 a lot of experience developing and operating a geologic
19 repository; of course, I'm talking about WIPP. And we know
20 how to evolve that repository after its initial opening so
21 that it can be licensed to take more waste forms than it was
22 originally commissioned. And by that I mean we began with a
23 contact-handled transuranic waste mission at WIPP, always
24 with a vision to take remote-handled, but it took us years to
25 get to that point--very targeted regulatory changes that we

1 had to move through--but we did that and now we're poised for
2 the next phase, if it's appropriate and that's what the
3 administration decides to pursue.

4 So, as fuel cycle, energy production disposition
5 plans change, we think we're ready to respond to those, and
6 we'll adjust our program plans as necessary. And as we
7 continue our efforts to optimize our projects to live within
8 those budget constraints we spoke of this morning, we're
9 going to, in a very rigorous and disciplined manner, begin to
10 propose some revised technical requirements, while ensuring
11 safety and security, in order to reduce the total volumes
12 that have to be transported and disposed in the future, and
13 in order to reduce the life cycle cost of our systems and
14 prepare ourselves to fully comply with our regulatory
15 commitments.

16 And with that, I thank you for your attention.

17 GARRICK: Good, thank you. Questions. Yes, Bill
18 Murphy.

19 MURPHY: This is Bill Murphy of the Board. Could you go
20 back to slide 12, please? It says here that the GAO has
21 proposed alternative uses for the Yucca Mountain site. Can
22 you tell me what some of those are?

23 GELLES: Yeah, they didn't actually make any
24 recommendations about it. "Propose" might be too strong of a
25 word there, but they did a study on it and solicited some

1 input from stakeholders, and I think they heard about 30
2 different types of uses, but I anticipated your question and
3 printed out the one-page summary of it. And there were five
4 categories--nuclear and radiological uses, such as citing a
5 nuclear processing complex; defense or Homeland Security
6 activities, such as it being a testing site; information
7 technology uses, such as secure electronic data storage;
8 energy development or storage, such as using the site for
9 renewable energy development; and scientific research, such
10 as geology or mining research. Those are the general five
11 categories that all of the stakeholder input fell into as
12 they aggregated there. They did not have any recommendations
13 per se, they just wanted--they were offering Congress some
14 practical, I think, considerations and were quick to say that
15 any reuse of the site would obviously carry significant legal
16 and regulatory hurdles in order to implement.

17 MURPHY: Thank you.

18 GELLES: Thank you.

19 LATANISION: Ron Latanision of the Board. If, as seems
20 likely, dry storage is included in the path forward, and
21 perhaps for a period up to a hundred years, how would your
22 office respond to that?

23 GELLES: In terms of our existing storage facilities?

24 LATANISION: I'm sorry?

25 GELLES: Are you asking me in terms of assuming

1 continued storage at our existing storage facilities?

2 LATANISION: Yeah, yeah. How would your office--

3 GELLES: We'd respond much as we're doing right now,
4 which is we've undertaken a review directly in response to
5 one of the GAO reports that I cited here, to ensure that our
6 existing systems could withstand a more extensive period of
7 storage than they were originally designed. I think most of
8 our storage facilities probably were evaluated for a 50-year
9 life and now we've gone off and revisited the analyses to
10 ensure that they could be good for up to a hundred years. We
11 have confidence in that. We continue some materials
12 durability studies just to make sure that there are not any
13 weak points or vulnerabilities, but that's part of our
14 continuous process in any case.

15 LATANISION: Just so I understand, you have confidence
16 up to 50 years or 100 years?

17 GELLES: I think we're up to 100 years now, for all of
18 our--

19 LATANISION: What's the basis for your confidence?

20 GELLES: I wish I could answer that in great detail.

21 Ken, do you know the answer to that?

22 PICHA: I'm sorry, I don't.

23 GELLES: Okay. We can follow up with you, if you'd
24 like, and I can give you some--

25 LATANISION: Yeah, I would.

1 GELLES: --some more specific--our wet basin and our L
2 basin in Savannah River might be the one exception where I've
3 already mentioned that we have some capacity constraints
4 there, and obviously seismic studies have to be done to
5 ensure its continued safety, but our vault systems are pretty
6 robust, and I mean we've looked at this, it's part of upgrade
7 safety and management system, but I absolutely will follow up
8 with you.

9 LATANISION: Well, I asked the question because, as you
10 probably know, the Board did issue a report on dry storage--

11 GELLES: Uh-huh.

12 LATANISION: --and there were a number of issues
13 identified in that report that we believe needed research,
14 and so I'm just curious to know whether there's any office,
15 whether it's yours or any other office within DOE, that might
16 be thinking of research, and a research agenda, that might
17 address some of those issues going forward beyond 50 years.

18 GELLES: Okay. Gary DeLeon is the Director of our
19 Nuclear Materials Disposition Office, and he is the one who's
20 led the effort to respond to the GAO reports specific to our
21 spent-fuel storage facilities, so I'll follow up with him and
22 we can get back to you. And he's within the Office of
23 Technology and Engineering, and they are tapped into our
24 national laboratories, so we're using those resources there.

25 GARRICK: Thank you.

1 HORNBERGER: John, just a quick follow-up on that. Do
2 you run into any legal issues?

3 GELLES: Yes, the Idaho Settlement Agreement requires us
4 to have materials road ready or out of the state in the case
5 of high-level waste or spent-fuel, respectively, so we would
6 absolutely have some issues if we had to retain them in our
7 current configuration at our current sites. But that's
8 obviously a slightly different question then whether or not
9 the facilities themselves can withstand it.

10 GARRICK: Christine, I notice you're revising the DOE
11 Order 435.1, the high-level waste chapter.

12 GELLES: Yes.

13 GARRICK: Are there orders or regulations that you
14 consider to be outdated, or that are impeding the cleanup
15 process or the waste management process?

16 GELLES: Hmm, thank you for that question. Let me think
17 about this for a second. Impeding--

18 GARRICK: Because we've learned a lot in the last few
19 years, and some of the orders are pretty old.

20 GELLES: The Department has undertaken a comprehensive
21 effort to reduce the number of DOE directives that we have,
22 as well as to streamline the directives that we're going to
23 retain. That's one of the reasons why DOE 435 is in
24 revision. So I'm not aware of any DOE orders that are
25 impeding us, per se. There are some regulatory circumstances

1 that I'd love to have tightened up a little bit.

2 For instance, the fact that we don't have--3116,
3 that I mentioned, that allows us to empty high-level waste
4 tanks at Savannah River and Idaho and close them as a low-
5 level waste form to be analyzed through a site-specific
6 performance assessment and be left intact, that authority
7 does not extend to our tanks at Hanford, so that's a
8 regulatory gap that could potentially hinder us in the
9 future, but it's not impacting our near-term activities.
10 It's just one of those issues that has to be resolved moving
11 forward. DOE Order 435 allows us to make such determinations
12 under our DOE authority but that's been litigated before and
13 would likely face litigation in the future, so that's a
14 vulnerability that we have.

15 I think the most relevant thing I would respond to,
16 Mr. Chairman, is that we have these technical requirements
17 that are tiered from the RW repository system that could
18 constrain our waste loading, could constrain our PU loading,
19 at Savannah River and DWPF, that we want to make sure that we
20 do the research to support a conscious deviation from those--

21 GARRICK: Yes.

22 GELLES: --while ensuring that we can maintain some
23 preclosure criticality considerations, and then really
24 optimize our waste treatment activities moving forward.
25 Those are self-imposed constraints right now, and as I tried

1 to share with you, we have a vision for improving upon those.
2 We just haven't gotten there yet.

3 GARRICK: Yeah, well, history indicates that the
4 regulations and the orders do become very dated, and
5 sometimes unnecessarily, and so it's kind of important for
6 the people that are on the side of doing the work being
7 sensitive to constraints and boundary conditions that don't
8 make sense anymore, and I just wondered if you had a process
9 for challenging those from time to time.

10 GELLES: I assure you we have a vision for doing so--
11 GARRICK: Yeah.

12 GELLES: --and we just need to make sure we do our
13 homework and can make a, you know, a technically defensible
14 case for doing so.

15 GARRICK: One thing I noticed in your newsletter that
16 you might be able to comment on, that the Office is
17 developing technology to revolutionize sub-surface
18 exploration. Can you comment on that? I think that would
19 interest this Board a great deal, even though you haven't
20 addressed it specifically in your presentation.

21 GELLES: Ken, are you going to have a slide on ASCAM in
22 your presentation?

23 PICHA: No. No.

24 GELLES: Okay. We have a very advanced modeling
25 capability that we've been developing in concert with the

1 national laboratories and some other DOE offices that is
2 going to give us a greatly improved ability to characterize--

3 GARRICK: Well, that's something--

4 GELLES: --sub-surface contamination and inform our
5 decision-making moving forward. If you'd be interested in
6 receiving a briefing on ASCAM, we can arrange for that.

7 GARRICK: Well, they certainly--it's certainly got words
8 in it that would capture our attention and interest.

9 GELLES: We're very, very proud of this development.

10 GARRICK: Yeah.

11 GELLES: Okay. I'll take that as an action.

12 GARRICK: Okay, thank you.

13 GELLES: Uh-huh.

14 GARRICK: Questions? Yes, Andy.

15 KADAK: Yes, I'm intrigued by your capabilities of--and
16 this goes back to my earlier question about can you--well,
17 given the fact that the MOU is now defunct because RW doesn't
18 exist--

19 GELLES: Uh-huh.

20 KADAK: --where does the requirement that you need to be
21 licensed by the NRC appear for disposal of your waste
22 streams? And since you had success with EPA, might that be a
23 path forward for you, independently, to solve this problem on
24 your own, because it seems like you have your act together--

25 GELLES: Thank you.

1 KADAK: --as they say.

2 GELLES: Thank you.

3 KADAK: Uh-huh.

4 GELLES: That's a wonderful question and I thank you for
5 it. What I shared with you were our assumptions about a
6 future repository--

7 KADAK: Uh-huh.

8 GELLES: --recognizing that there will have to be
9 changes to the statutory framework of the Nuclear Waste
10 Policy Act even to get us on whatever track we're going to be
11 on moving forward, but assuming there is a repository, or
12 repositories, that is for both DOE and civilian, I assume the
13 NRC will have a rule and EPA will be setting standards. In
14 the event that there is a decision to separate those two, I
15 think then that we have a wider range of regulatory
16 strategies that can be proposed. We're open to those.
17 That's part of the thinking that we're doing, again,
18 notwithstanding that there's no administration position on
19 pursuing a change to that current policy. We're just trying
20 to do some homework to tee up a robust set of alternatives to
21 our decision makers in parallel with waiting for the BRC's
22 recommendations.

23 We are very pleased with our regulatory
24 relationship with the EPA as it pertains to the WIPP
25 repository. And even as we're looking at WIPP as an

1 alternative for greater than Class C low-level waste
2 disposal, my office published a draft environmental impact
3 statement for that waste stream that also analyzes some DOE
4 waste streams very similar to greater-than-Class-C low-level
5 wastes, such as non-defense transuranic waste. WIPP was an
6 alternative evaluated, it faired very, very well in the
7 analysis, as did some land disposal alternatives in the very
8 arid sites like Nevada and the WIPP vicinity.

9 And one of the things that we will report to
10 Congress on in a statutorily required report on alternatives
11 will be some possible changes to the current statutory
12 requirement to the NRC license, the GTCC low-level waste
13 repository. Passing no judgment on NRC's value as a
14 regulator, I'm sure they're very wonderful, but if WIPP were
15 to be part of the GTCC answer, it raises the question whether
16 or not we really need a second external regulator given that
17 EPA has done such a wonderful job since the commissioning of
18 WIPP in '99.

19 KADAK: All right, the other question is when we toured,
20 I think it was Hanford, I think there was some waste, I think
21 it was cesium, in, like--

22 GELLES: Cesium and strontium capsules--

23 KADAK: Possibly.

24 GELLES: --stored in the WESF facility?

25 KADAK: And they don't really kind of make the

1 high-level waste criteria, but by some artifact of an old
2 regulation they are classified as such, therefore, they're
3 stuck. Are you doing anything to kind of deal with that
4 issue so you can get rid of it?

5 GELLES: It's absolutely part of our high-level waste
6 inventory--

7 KADAK: Right.

8 GELLES: --because of the origin of those cesium and
9 strontium capsules. They were removed from the tank waste at
10 Hanford for commercial reuse and then, of course, returned to
11 Hanford for storage after there were some issues, some safety
12 concerns, associated with that commercial use. Right now in
13 this project, and what ultimately will happen with the cesium
14 and strontium capsules, is the subject of that tank closure
15 waste management EIS I mentioned. It's part of that. It's
16 also part of the future baseline assumptions that might be
17 revisited as part of our continuing strategic planning
18 efforts to try and reduce our life cycle costs.

19 The current plan is to store them. The previous
20 baseline plan was to dissolve them and have them be vitrified
21 with all of the tank waste, and that's not what we're looking
22 to do at this point, so there are alternatives being
23 evaluated that involve relocation from WESF, which is a very
24 old facility, that the Defense Board has raised some concerns
25 about, maybe for some consolidated onsite storage for decay.

1 There's also some other processing alternatives that might be
2 evaluated that would support their disposition as something
3 other than high-level waste, but we're very early in that
4 alternative evaluation.

5 GARRICK: Other questions? Questions from the staff?

6 GELLES: Chairman, if I may, I'd just like to introduce
7 Tony Kluka of my staff. I'm not going to be able to stay for
8 the whole afternoon.

9 Is Tony still in the room? Thank you.

10 Tony's my high-level waste team lead, and thank
11 you, Tony, for developing this presentation. So I just
12 wanted to point him out to the Board members, the staff and
13 the audience, if anybody has some follow-up questions in this
14 area. Thank you.

15 GARRICK: Okay, well, thank you very much.

16 GELLES: Thank you. Our next speaker is Ken Picha,
17 Director of the Office of Safety Management, Office of
18 Environmental Management. He's going to talk about the tank
19 waste projects.

20 PICHA: Good afternoon. I don't know if having an
21 afternoon presentation after lunch is always the best, but
22 I'll try to keep it somewhat interesting. I'm here primarily
23 because we're forward-looking into the EM organization, I'm
24 not sure if it was mentioned or not by Frank or Christine,
25 but we're in the process of reorganizing the EM organization,

1 and under the new organization I'll be responsible for tank
2 waste and nuclear materials organization.

3 So one of those organizations that Christine talked
4 about, the nuclear materials, the spent nuclear fuel, Gary
5 DeLeon will fall underneath our program, so--anyway, that is
6 the context.

7 We have three, basically, active tank waste sites
8 in EM, and I think you all are fairly familiar with that.
9 The bulk of the volume is at Hanford, the bulk of the
10 activity is at Savannah River in the tanks. As you can see
11 there, it's about twice what's at Hanford, in terms of
12 activity. And then at Idaho we have a smaller volume of
13 waste, I think, of liquid waste remaining, several hundred
14 thousand gallons. We're in the process of completing a
15 facility there that will treat those wastes, and then we also
16 have high-level wastes that are no longer in tanks. The bulk
17 of the curies are actually in calcine bin sets that are
18 located at Idaho.

19 The one site I didn't--that's not up here--all
20 right, there--up here, in Western New York, south of Buffalo,
21 is the West Valley Demonstration Project. I understand you
22 all have been there? Okay. So you can see the status there.
23 We've got 275 canisters that were produced there, and some
24 liquid still remaining in the tanks, and they have a tank
25 waste EIS that they've completed, and they're marching out on

1 doing a--implementing a Record of Decision there for
2 completing the mission that takes place at West Valley.

3 This diagram basically just shows a composition at
4 our two primary sites at Hanford and Savannah River, in terms
5 of both the phases, the different kinds of constituents in
6 the tank waste, supernate, saltcake and sludge, both the
7 volumes and the curies. You can see that at Savannah River
8 there's pretty much the activity--and at Hanford--the
9 activity is split about equal between the sludges and the
10 salts and the supernates.

11 And then this is just a picture of inside some
12 representative tanks. I'm thinking this is Savannah River
13 primarily, and just to show you some perspective, visuals of
14 what each of the types of wastes look like.

15 And then the next few slides here just kind of show
16 the general plans for disposition of the wastes at each of
17 the sites. You've all probably seen this several times. At
18 Hanford we're waiting for the big activity here, this waste
19 treatment and localization plant, which is in construction,
20 to complete so that we can start processing some waste, and
21 through either the low-activity vitrification facility for
22 onsite disposal or to the high-activity waste facility. And
23 those facilities there are part of--I know it looks like it's
24 separate but it's actually part of the waste treatment plant.
25 And I'll have a slide later on that shows some of the

1 facilities, but you all have been there as well, correct?

2 Okay.

3 KADAK: Long time ago.

4 PICHA: Pardon?

5 KADAK: Long time ago.

6 PICHA: Long time ago? Okay. I think we'll have some
7 more recent photos to show some of the facilities there. The
8 bottom line is we've got a lot of canisters of low-activity
9 waste to store, to dispose of onsite. The intent was to have
10 the bulk of the volume be disposed onsite, and then only
11 about 5 percent or so of the curies, 5 to 10 percent of the
12 curies, and then the bulk of the curies, and a smaller
13 volume, to go to a repository.

14 And then we also potentially have some waste here.

15 There's about 24 tanks that received waste from PFP that
16 we're exploring now whether or not those might be candidates
17 for disposal in WIPP as transuranic waste.

18 So here is the waste treatment plant. It consists
19 of four primary facilities, the low--let me get these
20 pointers right--the low-activity waste treatment facility,
21 the high-level waste facility, the pretreatment facility, and
22 then the analytical laboratory. And then these other sort
23 out-buildings, we use the generic term, "balance of
24 facilities." There's a huge air compressor facility because,
25 particularly in pretreatment, for mixing purposes we rely on

1 compressed air; there's the glass-forming storage material
2 facilities that's going to have its own boiler. It's about
3 15 or so facilities that comprise this balance of facilities.
4 Just looking at the roofs on those facilities, I'm thinking
5 this was taken within the last year or so.

6 Savannah River, as you all probably are aware, it's
7 a little bit more mature in their program, in terms of being
8 able to actually process and treat waste. We have two tank
9 farms, F and H tank farm. The Deep Defense waste processing
10 facility is the core for treating waste that was destined to
11 go to a repository. I think we've produced something like
12 3,500 canisters so far. Most--in fact all of that--no, I'm
13 sorry, let me correct that. Up until about 2008, all of that
14 waste was essentially sludge waste. In 2008 we brought on
15 this facility here, this MCU ARP facility that basically
16 employs the same separations technologies that we are
17 incorporating in the salt waste processing facility currently
18 under construction and projected to go online sometime in
19 2014, that will have a higher volume capability of treating
20 salt waste. I think I've got a metric on how much has been
21 produced through here, something like 5 million gallons so
22 far of salt waste.

23 And then we have several--two canisters--let's see,
24 they're not showing here, two canister storage facilities--
25 you probably saw those at Savannah River--with plans for a

1 third being discussed. And then the Saltstone Facility, that
2 is our low-activity waste disposal site. There's several
3 vaults in operation. They just completed construction of two
4 new vaults with a new design. This is a circular design, and
5 I don't know if they took you on a tour of that or not, but
6 with the plans to take those and basically come up with what
7 they call a "mega salt cell" that will have a larger diameter
8 salt disposal facility cell.

9 And this is the Salt Waste Processing Facility in
10 construction. I'm not sure what the vintage of this picture
11 is. They're basically 100 percent through with design, and
12 something like, if I remember right, 60 to 70 percent done
13 with construction. The one thing that they're waiting on
14 here is fabrications of some key vessels that will go in
15 here. They've had to do a lot of work-arounds to continue to
16 be able to build up the facility walls while they're waiting
17 for those facilities to come in, and they're expected to come
18 in sometime this year.

19 At Idaho, these are the--I mentioned that
20 earlier--the calcine, the sodium-bearing waste and the
21 ceramic metallic waste, which, I believe, that may come from
22 the sodium-bonded nuclear fuel. Maybe the folks in NE have a
23 better handle on that than I do, the processing of that. I'm
24 not sure what the NE thing is here.

25 And the Sodium Bearing Waste Treatment Facility,

1 they're planning on doing their contractor readiness review
2 sometime in late January or early in February, and then the
3 DOE readiness review is being targeted for March. I'm going
4 to go out there, actually, tomorrow, and this week take a
5 look at that see, hopefully, we're on progress to do that.
6 They're trying to get that waste processed by the end of this
7 year. I believe there's some kind of a milestone agreement
8 associated with that.

9 Here, this slide just provides a general overview
10 of some of the accomplishments, in terms of tank waste
11 management. We have done--and I think Dr. Garrick was aware
12 of some of the early tank closure activities we were trying
13 to close in the late '90s and early 2000's. We were
14 successful in the late '90s in closing two tanks at Savannah
15 River, and when we actually developed the DOE order that
16 Christine Gelles was talking about, 435.1, we had some legal
17 challenges to implementing that. We had to put some of those
18 activities on hold. Part of the path forward to allow us to
19 get back to proceed with closure activities, as well as
20 provide a clear path at Savannah River and Idaho--at Savannah
21 River for our low-activity waste, and tank closures was this
22 3116 section of the NDAA for 2005. And so that allowed us to
23 continue to work on some tank closure activities, which we're
24 proceeding with at Savannah River, and allowed us to close 7
25 of the 11 tanks at Idaho.

1 As noted here, we processed over 3,500 canisters of
2 high-level waste at DWPF, and then 5 million gallons of salt
3 waste, of which that was--excuse me, sorry--of which some of
4 that, where, basically, the Salt Waste Processing Facility
5 separates the salt waste into a high-activity component that
6 goes over to DWPF for treatment with the sludge, and then the
7 low-activity waste gets stabilized at Saltstone and disposed
8 of onsite in the Saltstone vaults.

9 West Valley, I think Christine talked about that as
10 well; basically ran for six years and produced about 275
11 canisters. They are in the process of trying to disposition
12 some of the materials produced during that high-level waste
13 processing, including the melter, expended melter, and some
14 of the primary vessels, and they're going through the 435.1
15 process for waste incidental to reprocessing to do that.

16 And then I think we touched on the three plants
17 that are in construction at each of our sites, the Waste
18 Treatment Plant at Hanford, the Salt Waste Processing
19 Facility at Savannah River, and then the Sodium-Bearing Waste
20 Treatment at Idaho.

21 In the late '90s up until, let's say, 2002 or so,
22 we had a pretty well-funded tank technology development
23 program. It was under a program called the Tanks Focus Area,
24 and it was organized into several key functional areas; there
25 was characterization, there was retrieval, treatment--I

1 forgot the different--all the different functions, but it was
2 a pretty robust program. Say, over the last five, six, seven
3 years, we haven't quite had the resources that we had
4 previously, however, we were able to leverage what we had to
5 do some things and to focus in some areas, including some
6 advance glass formulations, developing some pretreatment
7 capabilities that would be at-tank or in-tank, using some ion
8 exchange processes and some filtration. We actually have
9 tested those at Savannah River, and within EM we have
10 implemented a process for reviewing the maturity of
11 technologies, a technology readiness assessment process. It
12 was something that DOD and NASA had, and allows us to
13 identify and peg specific maturity of technologies, and then,
14 if they're not to a certain level, called a TRL-6, then we go
15 through a process to mature the technology so that we have
16 the confidence we need to be able to deploy it.

17 The 2012 program, we're actually--with the new
18 organization, we just had a conversation with some of the
19 folks that are going to be part of this group last week to
20 figure out what funds we have, what funds we'd like to have,
21 in addition to be able to proceed, but these are some of the
22 things that we pretty much already have committed to, in
23 terms of we had either ongoing work or work that we know that
24 we want to do. Some of the work, the cold crucible induction
25 melter, primarily targeted for Hanford, Savannah River. We

1 actually are on the second melter; third melter is onsite,
2 and if need to be, could be installed. And we already have
3 plans to secure a fourth melter. The Cementitious Barriers
4 Partnership is something that we're doing with an
5 organization called CRESP, and some other federal agencies--I
6 believe NIST is involved--to look at performance of our
7 things like saltstone and other materials that we might want
8 to use potentially for secondary waste at Hanford.

9 And then the sulfate removal activity, that's a
10 limiting activity in terms of how much waste we can put in
11 glass, particularly at Hanford, where sulfate seems to be
12 more of a problem. I don't think we have anything
13 specifically targeted in funds for that right now. It's
14 something that we would like to consider.

15 And then an activity that's fairly, fairly far down
16 the path is an enhanced simulant for separation of salt;
17 primarily it's Savannah River. Right now they're using some
18 kind of a crown ether material to do the extractant. This is
19 a new generation being developed at ORNL. I think they've
20 done some tests in the lab scale and identified that the DF's
21 that they can get out of this simulator are quite good and
22 have some real potential to reduce some of the processing
23 time in the Salt Waste Processing Facility.

24 System planning, I don't know if when you all were
25 at the Savannah River or Hanford they talked to you about

1 system plans. One of the ways that we try to understand what
2 scope we have to do to complete our missions in the tank
3 waste program, including assumptions, is to document those in
4 a system plan. At Savannah River, we're at 16, so you can
5 see these are somewhat dynamic. The costs of updating these
6 is not minuscule, so they're probably not done as frequently
7 as perhaps some of us would like. And I have an opportunity
8 perhaps to exert some leverage in that regard in the future,
9 but they do get looked at periodically, and they include
10 assumptions such as funding, technologies we're going to rely
11 on, those kinds of things.

12 And there is a mistake in here. The system
13 planning forecast, I believe is 2028 for completion of the
14 mission at Savannah River, at ORP the assumptions there are
15 that WTP start up in 2019, and then completion of their
16 program in 2047, although I will say that with current budget
17 scenarios we will be revisiting that for sure, in terms of
18 some of the assumptions in the system planning.

19 We are going to also tackle a systematic review of
20 the system plans to make sure that they are where assumptions
21 should be consistent, in terms of a disposal path for the
22 high-level waste, treated high-level waste, that those are
23 there, that both sites are using broad funding assumptions in
24 terms of what EM's going to get as an overall budget and what
25 we think we can get to both sites.

1 And at Hanford, that's another dynamic because the
2 tank waste program is on one side, wants one part of the
3 budget, and then the RL, the Richland, for the non-tech waste
4 thing, is on the other side of the budget, and so those are
5 some other budget considerations.

6 Over the past two or three years the tank waste
7 program has undergone a number of reviews, some of those
8 initiated by our Assistant Secretary. In 2010 she
9 established a technical expert group, which was comprised
10 primarily of laboratory personnel to look at different parts
11 of the EM program. They did a review of tank waste and had a
12 number of recommendations. That was actually completed in
13 2011. There was also a tank waste subcommittee established
14 as part of the Environmental Management Advisory Board. The
15 genesis of that was that as we were completing a peer review
16 of the WTP project, the Secretary and the Deputy Secretary
17 wanted to do a review to make sure that past or previously
18 identified technical issues that might challenge the ability
19 for the WTP to meet its contract requirements had been
20 resolved, but to also identify whether there were any
21 potential lingering technical issues that hadn't surfaced.
22 We decided to use the FACA approach and do that through a
23 tank waste subcommittee that was established to do that
24 review. Following that, the Assistant Secretary chartered
25 that group to look at more a tank waste system issues

1 associated with tank waste at Savannah River and at Hanford,
2 and the bullets there identify some of the key aspects.
3 What's not in there, or not explicitly in there, is to look
4 at some of the methodologies included in the system plans
5 that I identified in the previous slide.

6 In 2001, the Defense Nuclear Facility Safety Board
7 issued a recommendation for how we manage high-level waste at
8 the Savannah River site. They were concerned about a few
9 things, including there was some older-style tanks that we
10 were trying to use--old style, meaning, basically,
11 single-shell tanks--that identified some potential cracks in
12 the upper areas of the tanks. And so they were--obviously,
13 we were concerned about that. And also at that time, we
14 didn't really have a good path forward on salt waste. We had
15 a previously identified technology that didn't pan out like
16 we had hoped. We'd started it up and tried to operate it,
17 and it had some safety and some process issues, and so for
18 the last ten years or so we have been working with the
19 Defense Board to propose strategies for resolving their
20 issues, and we had probably seven revisions of a plan to
21 address the recommendations. In December, I believe, the
22 Defense Board said, hey, we think you've done the basic
23 elements to be able to close this recommendation. They were
24 interested in some specific things that we'll continue to
25 provide to them to show that we're making the progress that

1 we think we should still be continuing to make.

2 Another process that we initiated in EM, oh, say in
3 about 2008 time frame, 2009 time frame, was a set of peer
4 reviews. This is modeled on the Office of Science approach.
5 They use something called the Layman Review, after Dan
6 Layman, which is a group of folks, basically peers, in terms
7 of from other projects or other program's secretarial
8 offices, or other contractors come in and do a review. It's
9 a fairly high-level review. We don't have criteria,
10 assessment documents, CRADs. We use lines of inquiry, and we
11 do it at a more macro level, but it's a pretty good
12 opportunity to look at big-picture issues with these
13 projects, and we issue a series of recommendations, the teams
14 do. I've been on one on the WTP, as both a sponsor and a
15 recipient of the recommendations, and then most recently as a
16 reviewer. I've been on the last three for the Salt Waste
17 Processing Facility as a reviewer.

18 And then we've also had these technical reviews of
19 some of the technologies, external technical reviews, of the
20 Small-Column Ion Exchange, and then a technology readiness
21 assessment that we hope to complete in 2012. It was not
22 quite complete at the end of last year.

23 I already talked a lot about the Tank Waste
24 Subcommittee, so I won't spend a lot of time on this slide,
25 but I will just talk briefly about the recommendations. This

1 is basically a binning of the recommendations that they came
2 up with in terms of the functional areas. As you can see,
3 there's a number having to do with the modeling that is a
4 basis for the system plans. They had some recommendations,
5 in terms of the low-activity waste forms. A number, probably
6 the largest number here, for our at-tank or in-tank candidate
7 technologies. We had them look at the reliability of the
8 waste delivery plans, particularly at Hanford, where we don't
9 have that infrastructure complete yet.

10 And then the last item there is a vision to be able
11 to fully integrate the tank farms and the WTP operations.

12 We are in the process now--one of the reasons for a
13 establishment of a tank waste organization is it was
14 difficult with the current organization for somebody, or
15 particularly in this instance, our Assistant Secretary, to
16 point to and say, who's the belly button, if you will, who's
17 responsible for tank waste activities? Or, when you went
18 down to a lower level, who could I point to as the single
19 person who had ownership of Hanford tank waste or Savannah
20 River tank waste programs?

21 So one of the things we're trying to do in this
22 reorganization is establish some clear responsibilities for
23 that. And that will be one of the things that's on my plate
24 is to make sure we go through all the recommendations we've
25 had under these different reviews and make sure that we have

1 a response, or at least actions planned as appropriate; or,
2 if we don't think it needs to be responded to, that we're
3 very clear in that regard. But we have not yet done that, in
4 terms of going through all these recommendations to ensure
5 that we have good knowledge across both EM and the two tank
6 waste sites about what the expectations are to address these
7 recommendations.

8 Basically, the conclusions are we've had a number
9 of reviews over the past three years or so that we need to
10 sort of step back and take a look at what all these mean and
11 whether or not we have actions in place to address them, or
12 what we have specifically identified that we don't think
13 actions are appropriate. And then we have an R&D program
14 that we hope is going to yield some significant savings, both
15 in time and costs. And that's it.

16 GARRICK: Thank you. As a matter of curiosity,
17 what--you got some of that up there--what was the operating
18 period for each of the three plants, the one at Hanford,
19 Idaho and Savannah River?

20 PICHA: At Hanford the waste treatment plant would
21 nominally start up in 2019 and then run through the initial
22 completion, 2047. Now, what I didn't say there, and thank
23 you for the question, is that, as currently proposed, it will
24 not have the capability--the low-activity waste facility will
25 not have the capability to process all the low-activity waste

1 produced through the pretreatment facility by 2047, so we're
2 looking at a supplemental treatment to do that.

3 At Idaho, the sodium-bearing waste treatment
4 facility, we're expecting about a year's worth of operation.
5 Now, whether or not that can be configured, and maybe Joel
6 Case, when he talks, can talk about whether or not there's
7 some opportunity to do anything with calcine, I don't know.
8 It was certainly envisioned and it was sometimes called the
9 Integrated Waste Treatment Unit, should it be able to have
10 some local capabilities.

11 And I don't know much about the plans for how long
12 it would take to package or disposition the calcine into a
13 road-ready form. At Savannah River, the Salt Waste
14 Processing Facility has said it's supposed to start up late
15 2014, and then also operate, basically, through the end of
16 the program, 2028 or thereabouts.

17 GARRICK: Uh-huh, and just as a matter of curiosity,
18 what was the capital cost for each of these facilities?

19 PICHA: The projected capital costs?

20 GARRICK: Yeah, right.

21 PICHA: At WTP--let me just tell you the baseline, the
22 approved baseline. At WTP the approved baseline for the
23 project, all the four facilities and the balance facilities,
24 is \$12.2 billion. At Salt Waste Processing Facility, it's
25 \$1.3 billion and some change, I can't remember exactly. And

1 SPW, I'm going to have to get back to you on that.

2 CASE: Yeah, and--

3 PICHA: Oh.

4 CASE: --all the project costs is \$571 million, and

5 it'll end at that because it's under cost cap, so--

6 PICHA: Thank you.

7 CASE: --TPC is 571.

8 GARRICK: Thank you. Andy?

9 KADAK: Yes. Earlier this morning I asked the lady--

10 Gilles? Is it Gilles?

11 SPEAKER: Yes.

12 KADAK: --about the status of the waste treatment

13 facility in the sense that I had heard that it was not

14 completely designed because the processing methodologies were

15 not working, technically, and whether or not it was on

16 schedule and what the budget was relative to your baseline.

17 So could you first address the technical problems associated

18 with finishing that facility, and then the schedule and

19 budget, if you could?

20 PICHA: Sure. Primarily the primary technical issue we

21 have is the demonstration of the capability of the pulse-jet

22 mixers that are going to be in about 38 of the vessels to

23 operate as envisioned. There was a testing program done to

24 satisfy the closure criteria of a previous review that was

25 done in 2005, 2006. They closed that out but said, you know,

1 it looks like we need to do some additional testing. At
2 about that time, which was late 2010, the Defense Nuclear
3 Facilities Safety Board issued a recommendation that
4 basically followed up a DOE commitment that we would do this
5 larger scale testing and said we think--the Board basically
6 said, we think this testing is real important and we want to
7 make sure that you all are reducing the uncertainties that we
8 can through this testing program.

9 And so that is something that is--that we are
10 continuing to work on, that is not an inexpensive effort that
11 will be undertaken over the next couple of years to
12 demonstrate that the technology will work. We're doing
13 testing in four-foot, and in eight-foot-diameter vessels.
14 Depending how those look, in terms of the ability to predict
15 what's actually happening with some of the computational
16 fluid dynamic models are using could go to a fourteen-foot
17 test facility. But that is the primary technical issue. We
18 have had other technical issues in the course of events.
19 There's certainly some questions about, for instance,
20 accident scenarios that could pose some issues for the
21 primary ventilation system. I apologize, my mouth's dry.

22 So with respect to engineering, the project is
23 about 83 percent done with design and engineering, but you're
24 right, it's not complete, and some of the--particularly the
25 mixing issue has gone on a lot longer than we expected.

1 There is some risk in that, that's all I can--

2 KADAK: So what does that do to your schedule and cost?

3 PICHA: In terms of cost, some of that is imbedded in
4 the contractor management reserve, some of that is in
5 contingency. The other part of that is when a construction
6 project review looked at the project in 2010, mid-2010, the
7 team recommended, they said, you know, based on your steady
8 funding, we were getting \$690 million a year, we don't see
9 that you have a great deal of confidence. They run,
10 basically, Monte Carlo simulations to look at the confidence
11 level in being able to complete the project within the cost
12 and the schedule, and, in fact, the confidence levels were
13 about 20 percent, and, typically, our construction, if you
14 look at things like MOX, if you look at SWPF, if you look at
15 a lot of our facilities, they have a typical hump.

16 You have a ramp-up during peak construction, and
17 then a tapering off. And they said, we think you really need
18 to ramp up very significantly in the years 2012 through 2015
19 if you're going to be able to get a higher level of success
20 and confidence, and I think the confidence that they were
21 able to predict was somewhere in the 70's, that if you had a
22 modified funding profile, it--we certainly didn't get what we
23 expected to get, in terms of that funding profile this year,
24 in FY '12. It probably--we're trying to verify what things
25 look like for '13 and out, but it would mean that it looks

1 like we probably have to consider a re-baseline.

2 GARRICK: Okay. Rod?

3 EWING: Ewing, Board. At Hanford, the plan that you've
4 described would leave a significant volume of low-activity
5 waste, vitrified waste, onsite. Has that plan cleared all
6 the regulatory requirements and agreement with the State of
7 Washington? Is that settled?

8 PICHA: I don't know if that's cleared or not. I don't
9 have the specifics. I understand that they are, at least,
10 conceptually on board with it. Whether or not they've gotten
11 all the permits that are necessary to achieve that, I can't
12 say.

13 EWING: Thank you.

14 PICHA: I mean, it's been in their baseline for a quite
15 a while.

16 GARRICK: Ron and then Carl.

17 LATANISION: Yeah, Latanision, Board. On your slide 12,
18 the Technology Development and Deployment Program, what was
19 the goal of the work on advance glass formulations? What was
20 the orientation of that work?

21 PICHA: Right now at Savannah River I believe we're in
22 the nominally 30 percent waste loading. What that
23 essentially means is that, basically, you get one-third waste
24 and two-thirds glass-forming materials. If they're--with the
25 ability, also, part of that is predicated on getting the

1 confidence that we were looking for to be able to achieve a
2 product with the certainty that it would meet the
3 requirements that we had that flow down from the WASRD and
4 the WAPS that Christine talked about earlier, primarily
5 through--we had a product consistency test that was the
6 measure of an effective glass product. With some of these new
7 technologies we may be able to bump that waste loading up.

8 LATANISION: So if you were looking at waste loading and
9 not the chemistry of the glass--

10 PICHA: Well, I think it was both. Actually, I'm
11 probably not, since I wasn't involved in the recent
12 activities--Tony, do you have any insight to that?

13 KLUK: Well, I...

14 GARRICK: Microphone.

15 PICHA: If you don't, don't bother.

16 KLUK: I would just point out that I believe they're
17 trying to approach 40 percent as the number that they hope
18 to--waste loading that they hope to get. They may be below
19 that but that's where they hope to get.

20 PICHA: But we're still targeting borosilicate glass.
21 We're not doing anything iron phosphate or anything else.

22 KLUK: It's also--that's correct.

23 GARRICK: Would you give your name and affiliation
24 before--

25 KLUK: Tony Kluk.

1 GARRICK: Thank you. Thank you.

2 KLUK: Yes.

3 GARRICK: Carl?

4 DI BELLA: I'm Carl Di Bella, Board Staff. I wonder if
5 you'd put up your slide 2?

6 PICHA: Okay.

7 DI BELLA: Yes, that's the one. So at Hanford you have
8 194 million curies, and later on in the presentation it says
9 that's going to go into 9,667 canisters. So, if I remember,
10 you've got more curies that's going to go into 6,300
11 canisters, of which you've already made 3,500, so that leaves
12 2,800 left, which says that the waste loading, from a curie
13 point of view, puts Savannah River on the order of six or
14 eight times what Hanford is, and Hanford's canisters are 50
15 percent larger. So am I misreading the numbers, or is there
16 perhaps a composition reason for this very large difference?

17 PICHA: I think the primary reason is--somebody asked
18 Christine Gelles the question before about the cesium
19 strontium capsules. There's about an equal number of curies
20 in those cap--well, that's not true, but there's a lot of
21 curies in those capsules. I forget the exact numbers. It
22 just turns out that when they extract this strontium and
23 cesium from the tank waste and put it into capsules, they
24 just were left with a smaller inventory. In terms of the
25 overall volume, I've never done that comparison in terms of

1 the number of canisters per unit volume, or curies per unit
2 volume--per canister.

3 I think one of the things is that they have some
4 challenges at Hanford that I don't believe are present at
5 Savannah River. One is chromium that they have. Chromium,
6 which is, as I understand it, and I'm not a glass chemist,
7 so--it has limitations in terms of waste loading, and you
8 have to reduce the amount of waste you can put into
9 canisters. The sulfate issue is another issue that also
10 potentially limits glass loading in canisters at Hanford.
11 Those are the two main things that I recollect are some of
12 the drivers there.

13 DI BELLA: May I have a follow-up question?

14 GARRICK: Go ahead.

15 DI BELLA: The product consistency test, or durability
16 test, and I'm not sure the right name for it, has--is--gee,
17 it's more than thirty years old, and particularly now that
18 Yucca Mountain is not being looked at as a repository, and
19 that there is certainly time, is there any revisiting planned
20 of the product consistency test?

21 PICHA: That's a good question. I think that's
22 something that I'll need to get with Christine on to consider
23 that as we map out a path forward for disposition of our
24 high-level waste. If we do that, though, it certainly could
25 have potential ramifications on--certainly at Savannah River

1 and, potentially, at Hanford, because the contract is geared
2 towards the WAPS and the PCT as a key component of that, so
3 it has to be done in a very--if we're going to do that--done
4 in a very careful and deliberate manner. But I would say
5 that there may be some merit in looking at that.

6 DI BELLA: Thank you.

7 GARRICK: Andy?

8 KADAK: Yes, just a question in terms of lessons
9 learned. You have not only high-level waste, but you also
10 have spent fuel. Is the intention not to reprocess any more
11 of that spent fuel as a waste management strategy and dispose
12 of it as spent fuel assemblies?

13 PICHA: I think that that decision always seems to be--I
14 won't say that--that question--I'll put it better--that
15 question always is on the table. We still have H Canyon as
16 an operational facility at Savannah River. There are
17 limitations to what we can do in H Canyon. We have funding
18 limitations. But I'd say that one of the things that we will
19 need to do is develop a pretty--something I'd like to do, see
20 about doing, is developing some kind of a program plan that
21 documents a path forward for some of our nuclear materials
22 that's a bit more perhaps visible. But there's certainly
23 that opportunity. I don't think there's any--there's no
24 decisions right now to reprocess anymore spent fuel.

25 KADAK: So given your experiences of dealing with

1 reprocessed materials, high-level waste, your preference
2 would be to take this spent fuel and dispose of it directly
3 rather than go through another cycle of this cleanup effort?

4 PICHA: I probably am not going to get into a personal
5 perspective on that. I think both have challenges and both
6 have advantages. I can't say that I've sat down and done any
7 kind of a methodical comparison about the advantages or
8 disadvantages of each.

9 KADAK: Okay.

10 GARRICK: Okay. Any--oh, yes, go ahead.

11 REGALBUTO: I think it's important to recognize, Andy,
12 that the way that the Defense Program was run was very
13 significantly different than the way a commercial spent-fuel
14 program is run today. So, unfortunately, this was during the
15 war, and we built a separations, you know, facility, not a
16 recycling facility, because a recycling facility for spent
17 fuel is the separation and the waste management together, the
18 way the French do it, for example. This facility had the
19 separations component, and then fifty years later, we build a
20 waste-removal facility, and that's why you have the tanks.
21 In France they don't have tanks, okay? There's no tank farms
22 of any kind.

23 So I don't think it's a good comparison to compare
24 a Defense program that was constrained by the war with a
25 commercial recycling facility for spent fuel. I think for

1 that we don't have any experience in this country to really
2 assess that. You have to go overseas to look at the right
3 way to do that.

4 KADAK: Here's why I asked the question. You can build
5 reactors to recycle, and that may be a justification for
6 going into a sustainable fuel cycle, where you built a
7 reactor as a burner, or whatever, breeder. That would be a
8 path. The other path is, well, let's just deal with the
9 spent fuel as a waste. And how do we best manage that?
10 Separately from recycling.

11 REGALBUTO: Yeah, I think that's what the systems work
12 is doing.

13 KADAK: Right.

14 REGALBUTO: They're evaluating once-through options and
15 recycling options, and then advanced recycling options--

16 KADAK: Right.

17 REGALBUTO: --but the Defense program, especially the
18 United States Defense Program, cannot be compared to a
19 commercial spent nuclear program.

20 KADAK: No, I get that, but my question is more narrow.
21 Let's just say we take and we want to try to minimize waste
22 disposal, okay? By reprocessing, not recycling, reprocessing
23 the material into a waste form that's suitable for disposal,
24 which is why I asked this gentleman the question. Would you
25 consider reprocessing your waste as part of your waste

1 management strategy to reduce volume, let's just say, or make
2 it a more robust waste form, regardless of whether you use
3 the byproducts?

4 REGALBUTO: It depends on the fuel. One example comes,
5 the Magnus reactors in the U.K.--

6 KADAK: Right.

7 REGALBUTO: --where you have to reprocess--

8 KADAK: Okay.

9 REGALBUTO: --before disposal. You have no choice.

10 KADAK: Right.

11 REGALBUTO: You have to stabilize the--

12 KADAK: Uh-huh.

13 REGALBUTO: --so it's a very, you know, we have a
14 boutique of fuels in this country, if you want to call it,
15 compared to other countries that have more, you know,
16 uniform, you know, inventory. That's a case-on-case basis.
17 And one of the things that we would like to do is, for
18 example, take a look at the spent-fuel inventory and say,
19 hey, out of the whole spent-fuel inventory, what really needs
20 to be stabilized? So we'll consider stabilization or volume
21 reduction, based on the specific need. You know, the U.K.
22 Magnus reactors is one of the perfect examples that falls
23 into that category.

24 PICHA: Okay, and if you're just talking about using
25 existing capabilities, H Canyon, for instance, at Savannah

1 River and the tank farm infrastructure, I'm not--that would
2 be where some of the tradeoff would be, in terms of, because
3 it's not acidic we neutralize it and then we get those
4 things. You have to--if you wanted to do it direct and keep
5 it acidic, you'd have to have different tanks, and build new
6 tanks. I'm not sure when you neutralize it, and then have to
7 subsequently treat it, that you end up with reduced volume.
8 You might end up with reduced volume on the high-level-waste
9 side, but not necessarily on the low-activity side, so that
10 would have to some considerations.

11 GARRICK: Any other questions from the Board?

12 (No response.)

13 The staff?

14 (No response.)

15 The audience?

16 (No response.)

17 Good. Thank you. Thank you very much. We're a
18 little ahead of schedule. I think we'll take a twenty-minute
19 break and then come back, okay?

20 (Whereupon, the meeting was adjourned for a brief
21 recess.)

22 GARRICK: Let's reconvene. Our first speaker after
23 the break is Joel Case, who's going to talk to us a little
24 bit about the calcine project at Idaho that's been around for
25 a long, long, long time. And then we're very curious about

1 what's going to happen to that stuff, and maybe he's got all
2 the answers. Joel? It's yours.

3 CASE: Thank you. I'm Joel Case. I'm with DOE,
4 the Idaho Ops Office, so I'm not a headquarters person, and
5 there's nothing wrong with not being a headquarters person,
6 but I deal more on the day-to-day implementation of policy
7 and projects. So, as I think I mentioned, I'm the Federal
8 Project Director for the Calcine Disposition Project. I'm
9 also doing kind of double duty right now, I'm the Deputy
10 Federal Project Director for the Sodium-Bearing Waste
11 Treatment Project, which we're in the commissioning phase of
12 that project, but there are some relationships there, as I'll
13 get to the presentation.

14 I'm going to give a little bit of project
15 background. I know the Board was out to Idaho. I think we
16 talked with you all about it in 2010, I forgot, I think it
17 was the April time frame, so we talked a little bit about the
18 project then, project drivers, the scope of the project and
19 current status.

20 We're kind of blessed in Idaho, where we had
21 stainless steel tanks. We actually did what we thought was a
22 final treatment process, pretreatment on--when we generated
23 our liquid waste we processed--mainly the mission in Idaho
24 back then when we were reprocessing spent fuel was DOE owned
25 fuel and navy fuel, because we do have a naval reactor

1 facility and all the navy fuel does come up to Idaho for
2 examination, and then we reprocess that fuel.

3 What we use in the process--a tank farm that had
4 stainless steel tanks, and we had what was called the Calcine
5 Waste Facility and then the NUWASTE Calcine Facility, which
6 is a fluidized bed technology that processed that liquid
7 waste. So it was acidic waste we didn't have to neutralize
8 because of stainless steel tanks. And we generated about 8
9 million gallons of liquids that we were able to run the
10 calciner and develop a process of--or, develop a product that
11 produced the calcine.

12 About 7-to-1 volume reduction. We did shut down
13 that facility, NUWASTE Calcine Facility, back, I believe it
14 was 1999, 2000, time frame. I was in charge of that program.
15 We really had to shut down for regulatory reasons. The
16 facility didn't meet the current requirements under EPA and
17 State of Idaho air emissions and RCRA treatment, because this
18 waste is considered mixed waste. As you see, we have listed
19 metals--I mean, metals, RCRA metals and listed waste codes,
20 so that was really the drive why we shut down the facility.
21 It was a very old facility and we really couldn't upgrade to
22 meet current treatment standards.

23 But again, it's a very stable waste form stored in
24 bin sets. Key on this one, it is high-level waste and it is
25 regulated under RCRA, so there are some interesting nuances

1 with the process, with EPA and the RCRA constituents. And
2 for an in-state repository, it drove some of our decisions on
3 where we're at with treatment at that facility.

4 As I mentioned, Ken mentioned, we do still have
5 about 900,000 gallons of liquids in our tank farm. We call
6 that sodium-bearing waste. It is really mainly D&D
7 solutions, a lot of cats and dog waste liquids. Everything
8 always streams liquid at the tank--or INTEC, the Idaho
9 Nuclear Technology and Engineering Center, a former chemical
10 processing plant. A lot of the radioactive liquids all went
11 to the tank farm. Right now we're considering that as we
12 manage it as TRU waste. We'll need the waste determination
13 after treatment. It's about 900,000 gallons and we do have
14 the integrated waste treatment facility that will be treating
15 that waste.

16 As Ken mentioned, we're in commissioning phase now.
17 Construction was completed this June. Total project cost for
18 that facility is \$571 million. It's using a steam reforming
19 process. We will utilize that facility after we retrofit for
20 the calcine treatment. That's the plan with the process
21 cells.

22 Commissioning, we're looking at the contractor OR
23 toward the end of January, federal OR, depending on what
24 needs to come out of the contractor operational ratings
25 review, toward the end of February with a startup in the

1 March time frame. And the waste treatment campaign for that
2 will be about a ten-month campaign to meet the commitment
3 with the State of Idaho December 31st, 2012, to have all that
4 waste treated.

5 So I just gave you a little background. But this
6 is how we generate the calcine. As Ken mentioned, a little
7 bit more diagram. We have seven bin sets. They're stainless
8 steel vessels, containing concrete bins. One is empty,
9 that's bin set 7. The first three bin sets, 1, 2, 3, are
10 below grade; the other are half, above and beyond. Each one
11 has a little different design, based on the waste types and
12 spent fuel types we have, so it is, I mentioned, this waste
13 is considered RCRA regulated, State of Idaho; it has a permit
14 for storage. It's not considered compliance-based. We had
15 to have a compliance agreement because of the waste form,
16 it's not compatible; we need double containment, stainless
17 steel and the concrete vaults. The concrete vaults are not
18 compatible with the waste form, so the State had to give us a
19 compliance agreement with the RCRA permit because the
20 concrete is not compatible with the waste form for double
21 containment.

22 Just a little interesting nuance. So the total
23 volumes, as you can see there, per bin sets. And this is a
24 photo of the bin sets, where they're at. And I mentioned the
25 first three are basically underground. Let's see, bin set 1

1 and 2, and then--can you see 3? They're all cut up. That
2 was for shielding. They were put there for that reason, and
3 then the remaining--you can't see bin set 7, it's off toward
4 the right, I believe. It's empty, and bin set 6 is half
5 full.

6 One of the issues we'll be dealing with is
7 retrieval from the bin sets. They do have access ports; bin
8 set 1 doesn't. We do have an R&D program, engineering and
9 development program, looking at vacuum retrieval. Some of
10 the issues we're dealing with this is, is there caking of the
11 powder? We don't believe it is because of the heat
12 generation. And about ten years ago they did do a sampling
13 campaign. They did drive a sampling port down through bin
14 set 3. It seems to be very viable and loose, so there hadn't
15 been any indication it was caking, but that is one of the
16 risk factors for retrieval.

17 This just shows the old NUWASTE Calcite Facility
18 stack, when we ran the calciner. One of the issues was,
19 since this is nitric acid-based waste stream, we had a lot of
20 NOX. There was no NOX treatment capacity for the air
21 cleanup, so it just went out the stack. So those were some
22 of the issues we had on shutting down a top-grade facility.
23 We decided to go to a new facility to treat the remaining
24 liquids.

25 That's the bin sets. So, again, it's a very safe

1 storage configuration, engineered facilities. You know,
2 we've done some studies working with the State of Idaho,
3 because of the seismic issues in Idaho, what are the lifetime
4 of the bin sets? And you'll get anywhere from 300 to 400
5 years. I'm always a little skeptical. Engineers aren't
6 perfect, and so--but the studies are. This is a very robust
7 facility, and we do have corrosion coupons inside, inside on
8 the outsides.

9 Project drivers, as you heard mentioned, Christine,
10 and Ken also, we have what's called the Idaho Settlement
11 Agreement. It's a court order compliance agreement between
12 the State of Idaho, Department of Energy, and also the Navy
13 Nuclear Program. It was signed way back, gosh, in probably
14 '98. But it really sets milestones for all waste streams, so
15 it's a court ordered agreement.

16 If we wanted to change the agreement we have to go
17 back to the Judge, the Court, and the parties have to be in
18 agreement, but these are really our drivers. We had to issue
19 a Record of Decision to identify a treatment process for
20 calcine. Before we issued the ROD, we were looking--we spent
21 probably about ten--oh, gosh, ten years looking at different
22 alternatives over the life of, you know, when we were doing
23 the EIS and from the settlement agreement. I think we looked
24 at various--120 different options, leave in place, direct
25 processing, and, basically, we selected hot isostatic press.

1 It's a thermal pressurized treatment, and I'll talk a little
2 about the decision basis for that. Really driven by waste
3 loading, the requirements for vitrification, a glass-like
4 waste, and performance to meet the WASRD, and it minimized
5 the amount of waste we generate, product we generate.

6 We have to submit Part B permit next December, well
7 this December this year, December 1st. One of the challenges
8 is we're very early in the design phase in technology
9 development. Historically, on RCRA Part B permits, they like
10 final design. We won't be there, so that's one of the things
11 we're working the State about, is what level maturity of the
12 design, and also our technology maturity of the process, to
13 submit that Part B permit.

14 I mentioned the one bullet there, it may include
15 sodium-bearing waste processing schedule. We have to--one of
16 the concerns the State has is we've made no progress on
17 getting the treated SBW, except as at WIPP. Well, we would
18 have to go through a waste determination process for WIPP,
19 and also a permit modification for this waste. It's about a
20 factor of 10 activity level, compared to the high-level waste
21 calcine. So they've asked us, as we submit the permit for
22 the processing schedule, to HIP the treated SBW.

23 And I mentioned we're using steam reforming, so it
24 does produce a material very similar to calcine. It's a dry
25 powder, and that was one of the decisions when we selected

1 steam reforming for processing the liquid sodium-bearing
2 waste, is it compatible with whatever future treatment
3 decisions we'd make for calcine? We didn't want to have to
4 build two different treatment plants. So that's the only
5 issue that's still in the air, and they may require us to
6 submit a schedule for that.

7 A big driver, Christine mentioned, it has to be
8 road ready, which means processed and ready to ship to a
9 repository by December 31st, 2035. The other driver, of
10 course, is under the Federal Facility Compliance Act. We
11 have a specific Idaho site treatment plan. It has a number
12 of milestones for all our mixed waste. The real key one for
13 us is for the calcine project we'll have to submit to the
14 State of Idaho our project milestones by the end of this
15 year. And again, start construction, design reviews, et
16 cetera, complete construction, and also with the Part B
17 permit of the treatment schedule. So those are the real
18 drivers for the project.

19 Project scope is design, construct processing
20 system. Again, key here is using an Integrated Waste
21 Treatment Unit facility to the maximum extent practical.
22 When we first started the design and selection of CWI for
23 sodium-bearing waste and steam reforming, one of the things
24 that EM wanted to look at is we're not going to build two
25 major processing facilities in Idaho, so we looked at kind of

1 maximizing use of these process facilities. So the facility
2 itself, Integrated Waste Treatment Unit was designed to
3 what's called a Performance Category 3 Standard. That's
4 really a seismic type standard. A robust facility based on
5 our material at risk for both the sodium--it's a PC-3
6 facility, which is driven by the source term for the calcine.
7 So the intent was once we're done processing the liquid SBW,
8 we would remove those vessels and place a treatment process
9 in for calcine, which is a HIP. So that's really driven a
10 lot of our design efforts and technology maturity efforts.

11 We have about 4,400 cubic meters of calcine, and it
12 has a weight of 12.2 million pounds. We're going to be
13 utilizing WASRD requirements for Yucca, as Christine
14 mentioned. Prototypically, that is kind of, you know, what
15 the assumptions are for high-level waste. We're using right
16 now waste-forming canisters. We're looking at different
17 various permutations. Because of facility constraints, we
18 may not be able to use 10-foot canisters. We're looking at
19 naval reactors on their spent-fuel container, it's a little
20 wider a little more stout, so it will fit in this facility
21 without any modifications. But that's one of the trade-off
22 studies we're doing. And once it's treated, we'll ship it
23 off--store it onsite or store it off-site, pending final
24 disposition.

25 Total project costs, this is pre- what we call

1 Critical Decision 1. We don't have a project baseline, so
2 we're--that comes to Critical Decision 2 when we get to a
3 preliminary design. We're in conceptual design. The cost
4 range is \$.9 billion to \$2 billion. That's design and
5 construction, it doesn't include life cycle. You know, just
6 to design and build the facility, doesn't include operational
7 costs or shipping costs, or repositing cost if we have
8 to--like we did pre-Yucca Mountain. There was a
9 per-canister cost for disposition.

10 I mentioned we did select back in 2009, I think it
11 was December 26th, the Hot Isostatic Pressing concept. It
12 is--there were some questions today about teaming partners
13 with commercial companies. We are--AVURE Technologies. HIP
14 is a process that's been around a long time, since 1941,
15 mainly looking at sintering metal products. I think it's
16 also used in fuel fabrication. But it's really a great
17 process that makes components, airplane components, engine
18 blocks. It's basically anywhere you have a metal, sintered
19 powder metal, you can make a component.

20 So it consists of a pressure vessel and
21 electronically heated furnace, and uses, basically, isostatic
22 pressure, so kind of internal, and argon gas and high
23 temperature, high pressure, and you get a glass-ceramic waste
24 form. Some of the attributes that drove this in the RCRA
25 decision process is you get very good waste loading. We've

1 been studying hot isostatic press for calcine waste form in
2 various forms and permutations since 1988, if you look at the
3 records, and that's all in the NEPA documentation. You get
4 very good waste form loading, anywhere from 50 to 75 percent
5 in some of the surrogate waste we looked at, so--and it also
6 produces a waste form that's not very leachable.

7 That's one of the challenges we're looking at
8 because we do have some heavy metals, and the PCT tests, the
9 product, you know, performance testing, but we don't want it
10 to leach metals from a RCRA standpoint, so we're doing a lot
11 of waste form development work. We're working with ANSTO,
12 the Australian Nuclear Technology Organization. This
13 is--you've heard of Sinerop (phonetic), this is kind of the
14 same thing, it's their spin on HIPing. So developing a very
15 glass-like ceramic waste form. And we're in the middle of
16 testing right now on very small samples, and we're doing
17 a--we have a very good technology roadmap to get to
18 full-scale demonstration of the process.

19 But the key here is it would fit in the facility,
20 don't have to build a glass--it seem seems to have better
21 performance characteristics from--minimizes the number of
22 canisters you produce, get very good waste loading. Downside
23 is it's outside the whole BDAT, what's called Best
24 Demonstrated Available Technology for high-level waste.
25 That's vitrification, borosilicate glass. So we do have some

1 challenges of getting through the land disposal restrictions
2 and the BDAT determinations. We're working with
3 Headquarters, Christine's group, Bill Levitan at
4 headquarters, on that whole petition process, depending on
5 where the repository is, because of our constituents. Very
6 large life cycle cost savings because of the smaller volume
7 and number of canisters generated.

8 Process overview. View this schematic. We tried
9 to break it out in critical technical elements. This is the
10 bin sets, the mack (phonetic), we transfer it. We have done
11 some full-scale demonstrations, actually, plus with COGEMA a
12 few years ago. I think they sold that part of the company,
13 but we did do some mockups using simulated calcine, full-
14 scale, of using the mack transfer, transport lines, to get to
15 a feed tank. We did that in Raleigh, North Carolina. They
16 have a test facility there. So we--but we do have a program
17 looking at nozzle design, penetrations, access to the bin
18 sets, because we do have risers, but they're four-inch, six-
19 inch, very small. So there's challenges there.

20 And then you basically have a day tank. One of the
21 things is a key with the recipe with that, with the
22 additives, to get a glass-ceramic waste form, we're doing--we
23 have three main types of calcine. It was all based on the
24 fuel types we process. But the major types, aluminum-based
25 fuel, that was calcine; zirconium-based fuel; and then a

1 mixture of the two. So we're looking to get a formula
2 development that has an additive, it really covers all three
3 fuel types.

4 But you would go--you have a hopper receipt, and
5 then you have a--you bake out the calcine. One of the
6 processes you don't want to have any moisture content, in the
7 HIP process. It just--because bad things can happen with--if
8 you have any moisture in those sealed canisters. You don't
9 want to breached can. So there is a calcine bake-out
10 process. Let's see, the additives come in, and after we do
11 the bake-out, and they have their own separate bake-out, and
12 then it would be mixed to the recipe and then loaded into the
13 HIP can, which then is placed in a HIP furnace and then
14 loaded into the HIP unit. We're talking about a 24-hour
15 cycle. That's the estimate we're looking right now, but
16 that's one of the things on the R&D program, technology
17 maturity, is what's the best mix for processing the calcine?

18 We're looking at three treatment trains, three HIP
19 units in the facility. We're looking at a 12-year processing
20 time. So that, basically, 24 hours, we assume we'll get
21 about a 40 percent reduction of the actual HIP can. That
22 would be then removed, cooled off, and loaded into the--in
23 the packaging treatment area. We're looking at five,
24 basically, HIP hockey pucks there. They'd be about, oh, two
25 feet by five. Load five to a canister, and then package for

1 shipment or storage, so that's kind of the basic process.

2 We do have mercury in our waste. That's one of the
3 issues dealing with the RCRA constituents in off-gas
4 treatment. So there is right now a mercury condenser. We
5 don't know if we really need it, but that's some of the
6 testing we'll have to do. We do already have a GAC bed
7 process, because sodium-bearing waste--we're trying to use as
8 much of the infrastructure at IWTU for this process. So it's
9 really new. You know, process cells here. We'll remove the
10 vessels we're using for steam reforming and place this
11 process here. There will be a new addition on the rail
12 transport, or truck transport, and I'll show you an overview
13 of that.

14 So I won't say it's a very simple process, but it
15 is. We're working with AVURE Technology. They're a Swedish
16 company but they're worldwide. Also ANSTO and a couple of
17 other companies. Michigan Tech. They have world-renowned
18 expert on HIPing. So we're trying to get that commercial
19 experience and apply it to radioactive waste.

20 The Australian government, they are looking at
21 this. They're in final design and they will be using the HIP
22 process to treat their test reactor they have there for
23 research medical isotopes. They'll be treating
24 remote-handled waste they generate from that, the
25 generators--I think it's Moly Generators they use, and

1 they're going to be building a facility using HIP to process
2 the waste that comes off that facility. So they're under
3 contract with us. They're helping us out on the HIP can
4 design and the waste formulation.

5 This is the Integrated Waste Treatment Unit
6 Facility. Again, the way the contract's structured, this is
7 the facility but it's under the sodium-bearing waste
8 treatment project. This is--whoops, sorry--this is what
9 basically \$571 million buys you. It's, basically, this is
10 the shell of the building. One of the real key issues we had
11 at this facility was Performance Category 3. If you look
12 inside the facility, this is really the shell of the
13 building, with the process cells inside, but seismic
14 analysis, you know, we're engaged heavily with the Defense
15 Board on our seismic evaluations and the design of that. A
16 very robust facility. You can't really tell from the
17 outside, but this building houses the process cells and the
18 control room, and all the other off-gas ventilation
19 equipment. And this is the--

20 LATANISION: Just for a point of information--this is
21 Latanision, Board--is the HIP unit in a pit in that building?

22 CASE: No, it--right now this facility has a steam
23 reforming process.

24 LATANISION: Oh.

25 CASE: The plan is, path forward, is once we're done

1 treating the sodium-bearing waste, is you would remove the
2 steam reforming process vessels. And they were constructed
3 in modular units. And they're big modules, but we have
4 access hatches that we can lift them out, and there's a crane
5 in there, and then you just remove this process and put the
6 HIP process in. And, you know, but that--it's going to be a
7 challenge, but, again, the thought process was is we don't
8 want to build two major treatment facilities. But that's one
9 of the challenges we'll have, and we're working with the
10 contractor on that, on the D&D, et cetera, of that, so--

11 LATANISION: One other point of information--Latanision,
12 Board--is it a wire round--a wrap?

13 CASE: We're looking at a wrap--the HIP unit itself?
14 Yes, because if you look at the two types of HIP units,
15 historically there's the wire round ones, and the others that
16 are big. There have been some safety issues with the
17 non-wire round, so it's coiled because you can get a breach
18 of the HIP unit, especially with water. I hate to say--it's
19 not deflagration, it's just a pressure explosion. So the
20 wire ones have a very, very good history, and that's what
21 we're assuming right now when we started to work with AVURE
22 and those people. So we are looking at a wired unit.

23 And we have gone to some of the facilities to look
24 at their operational experience. But this is IWTU, and right
25 now scheduled for commissioning toward March for startup, but

1 this is where we house the process. This gives you a little
2 bit--nope, sorry--this is right now the existing process
3 cell. So what you were seeing was the shell of the building
4 outside. This is the process cell. We have what we call the
5 four-pack. Here is where we have all our steam reforming
6 vessels, so you would really retrofit the facility, remove
7 the steam reforming vessels. We have like four main process
8 vessels for that process, drop the HIP units in. We'd have
9 three HIP lines. Here's load-out cells. This would be, you
10 know, cool off in the HIP units itself. And then this--so
11 this is all existing right here, the footprint, and then this
12 facility would be the shipping annex. We'd have storage
13 areas here we could load out, a little bit below grade, and
14 then your transport capability here.

15 And then if you need storage, we'd have to build a
16 storage unit. Right now that's not in the design, but we
17 have a private storage building for the treated
18 sodium-bearing waste. We're assuming we're going to make 750
19 canisters of waste. There's 16 to a vault, and that storage
20 facility is right up here. So we'll just--we'd have to add
21 on after treatment if there's no repository for treatment--
22 for disposal.

23 So that just gives you a schematic of what we're
24 looking at to retrofit the facility. Very high level. Right
25 now we're in conceptual, looking at a lot of different

1 issues, value engineering studies.

2 Project focus for most of this fiscal year is
3 really to lead to our Part B permit submission, both for
4 retrieval from the calcine bin sets since they're under their
5 own permit, and for the permit for this treatment utilizing
6 IWTU. IWTU has an existing permit for steam reforming.
7 We're building upon a permit that was basically a liquid
8 waste treatment permit that goes all the way back to the
9 NUWASTE calcine facility days. It's a lot easier in the
10 permitting process just to modify existing permits. The
11 state's been very receptive working with us on that. The
12 real challenge here is enough design information and
13 technology maturity to submit that permit. So our real
14 focus is focusing on those design elements that have the
15 least understanding with the process, and also focus on
16 technology maturity of the main HIP process, focusing on
17 waste form development--HIP can design is kind of an art--and
18 some of the off-gas issues.

19 We are looking--one of the lessons learned always
20 is you really need to have full-scale testing development.
21 For steam reforming we did a 1/10 scale of the whole process
22 at Hazen Facility in Golden, Colorado. About a six-month
23 program, 1/10 scale, but there are always scale-up issues.
24 We're look at a full--of the actual HIP process, having a
25 full scale unit work on cold waste once we get the recipes

1 down. So we focus on that design, and then all the
2 engineering files for the process, to submit as part of the
3 permit.

4 And then technology development. We're--a big
5 effort on waste form testing with simulants. We're working
6 on a scalable process, focusing on 100-gram samples, working
7 up to 1 kilogram, to 25 kilograms, and then build upon that.
8 So, furnace filter testing. That issue was, under the
9 pressure, if you had a breach, we didn't want to contaminate the
10 process cell, so it's been a big effort working on a
11 confinement system for the HIP unit in the furnace. So
12 that's what we call a "furnace filter."

13 AVURE Technologies. It's been very beneficial
14 working with them. They've got some really great ideas on
15 that, and we think we've got that one, at least the design,
16 ready for that.

17 HIP can testing. Since it's isostatic, it's very
18 interesting, the algorithms for that on the process. Again,
19 high pressure. It's got to shrink in a nice, very succinct
20 kind of way. So we only--so we're working with them and
21 their engineers in the computer modeling of that, and also
22 small-scale testing. They have a facility in Ohio that
23 they're helping us with.

24 And the same thing with the HIP can profile
25 testing. It's all related. And Bodycote is the other

1 company. They use this process a lot at their facilities.
2 So a lot of commercial involvement engagement. Because,
3 again, this is a technology in DOE we're not that really
4 familiar with, it's just not your classic vitrification.

5 Mentioned technology development. We think it was
6 Ken, or was it Christine, talked about our technology
7 readiness level. We're using the 413.3A guide process on
8 your technology development levels. We had it reviewed, and,
9 in fact, Tony Kluk, he led a team a year ago last summer that
10 did an assessment of our process. We tried to develop the
11 process into eleven key technical elements, critical
12 technical elements, in the process. Evaluation was done July
13 2010. They did come back in December and took a look, so
14 this is where we're at on the major areas for the process.
15 The main focus, as you can see, you know, the waste form is
16 very, very critical for us. That's one of the ones that we
17 need to do some really good surrogate waste work on.

18 HIP can design. I mentioned that's one where you
19 want to make sure of the process, you don't get a breached
20 can. It's kind of critical to get the right algorithm for
21 that, modeling for it, and then do the testing. HIP can
22 confinement. I mentioned that's a filter issue. We believe
23 we've got that issue addressed, at least, for the TRL-4.
24 We'll do full-scale testing for that, and everything else.

25 Simulant formulation really goes into the ceramic

1 waste form additive. We're looking to try to get one recipe,
2 but we're testing three major recipes we think cover the
3 spectrum of the calcine we have. So that's where we're at,
4 and with the goal being at the Technology Readiness Level-4
5 by Critical Decision-1, which is we go back to headquarters
6 to be able to get design funding and really establish the
7 project and get a baseline, and that's scheduled in 2014.

8 You had a lot of questions about waste form today,
9 and the WASRD. Again, we're looking to get a waste form that
10 meets "good as glass," and you hear that term a lot. It
11 basically performs as well as borosilicate glass, so you
12 won't have--and will not leach the metals and the mercury.
13 So that's where we're looking now.

14 The other aspect is we've been working with
15 headquarters and EPA here in Washington headquarters, as the
16 LDR and the BDAT; we'll probably be using a petition process
17 to get this process equivalent to vitrification. That's the
18 best demonstrated available technology. Since this is high-
19 level waste, BDAT is vitrification. This is not
20 vitrification, so it will require some process and
21 rule-making for that determination.

22 And all the data, you know, in our discussions with
23 EPA, very data intensive. They'll be following our waste
24 form development program, the test results, et cetera, so
25 that will go hand in hand with our technology development

1 process. And we do have a strategy document they've
2 commented on and given us some feedback informally, so--and
3 it's about a five- to six-year process for that, we're
4 estimating.

5 Waste form testing. This just gives you example of
6 the 100-gram test we've done. This shows a HIP can before
7 it's HIPed, and, you know, you put the powder in, and the
8 calcine in, seal the can up, it goes in and then gets HIPed.
9 And you get, really, a very nice ceramic waste form. We've
10 done our first round of testing on a recipe with ANSTO. This
11 has been done over in Australia. They've been able to do
12 actual real RCRA metals. It's been hard to find a lab
13 because of the RCRA issues, lab testing. It's very hard to
14 find a lab that can do that in this country that has permits.
15 They don't have the same regulatory requirements over there,
16 so we were able to--and they have the technology and they
17 have the test bed at their facility at ANSTO, so they're
18 doing the testing for us, at least at this level, and we plan
19 on scaling up to the 1 kilograms this fiscal year also.

20 One of the problems we've had is Cadmium. The
21 first tests indicate we're not meeting the requirements for
22 Cadmium, but we're just kind of over the edge, so there's
23 some work going on to analyze those results, to change the
24 recipe to look at how we can hold Cadmium in in the process.

25 So, mentioned project reviews. I think Ken had

1 some of his on your slide that talked about the TEG group and
2 the CRESP review. One of the things EM asked after we first
3 started the program last year, she wanted to take a look and
4 just where we were at the with the process, other
5 alternatives, as part of an enhanced-waste tank initiative.
6 So we did have a consortium for risk evaluation and
7 stakeholder participation. That's run out of Vanderbilt.

8 Dr. David Kosson had a team and they did a
9 technical review of the process, and I won't--you can read
10 the slides. You know, they were recommending for risk
11 mitigation, make sure we have a backup plan. Don't know if
12 you know, we don't have funding enough for one plan, so
13 that's why those things will just have to--we'll share as
14 much knowledge with some of the stuff going on with cold
15 crucible and other work that's going on in EM

16 And also we had EM's technology evaluation group.
17 They were out this summer. They came out to take a look at
18 where we are and, you know, they did support what we're
19 doing. Again, two risks in regards to waste acceptance
20 criteria is we're vulnerable because right now we do have to
21 go through a process with EPA to get this as BDAT. And they
22 are also a little concerned about relying on one recipe.
23 They thought, you know, because that's our ultimate goal, so
24 they're really concerned about that, and so we are looking at
25 the three, but--and then sampling, we'd really like to

1 minimize the number of samples in the process, but, you know,
2 that's one of those things and, you know, because it's very
3 costly on real waste, so they identified some of those risks,
4 which we're taking into account in the program, so, and
5 they're very good reviews.

6 What we're looking for, a process--we're really
7 driving towards submitting our Part B permit in December.
8 For two years it'll be kind of a minimized--take-a-look at
9 engineering studies for D&D of the IWTU based on the design
10 we have. Scale back up on 2014. Really ramp up the process
11 on testing. Final designs, submit the CD-1 package. And
12 then acquisition strategy post-2015. It's still under
13 discussion because our current contract with CWI, who's doing
14 the majority of this work for us, is--there's a three-year
15 extension right now being considered, this is consistent with
16 that, but this would probably be a separate design build once
17 we complete the 2015 studies, up to--once we get to CD-1, it
18 would fall into a separate acquisition.

19 So that's kind of a summary of where we're at. A
20 lot's moved forward since you guys visited back in 2010, so
21 I'll open it to questions.

22 GARRICK: Okay. By the way, what's the specific
23 activity of the sodium-bearing waste, approximately? Because
24 it's pretty low, isn't it?

25 CASE: You mean from a radionuclide standpoint?

1 GARRICK: Yeah.

2 CASE: I guess--oh, gosh, it's factor of 10 less than
3 this, like, gosh, I just saw that, I--

4 SPEAKER: I think that's right, Joel.

5 CASE: Yeah, it--

6 GARRICK: Would it--

7 CASE: It's a factor of 10 lower than the calcine, but,
8 you know, that's--

9 GARRICK: Factor of 10 lower than the calcine?

10 CASE: Yeah. I think we--yeah, so--

11 GARRICK: Go ahead.

12 LATANISION: Latanision, Board. I was interested in the
13 design of the HIP that you're using because I've had
14 experience with HIP failures, three of them, and they are
15 very spectacular as you can imagine, given the temperature
16 and the pressure that are involved. And so my advice is that
17 you be very careful to make sure that your staff understands
18 how important the alignment of the yoke and that assembly is,
19 because if it's misaligned, the danger of a failure is
20 enormous and--

21 CASE: Well, I looked at some of the historical--
22 like you said, there have been some spectacular failures that
23 we've looked at, and, you know, again, this is a technology
24 that we're not familiar with, from a, you know, DOE
25 standpoint, and that raises everybody's eyes when you say

1 those type pressures and those temperatures, so--

2 LATANISION: Yeah.

3 CASE: --we've--part of the review we had is CRESP.

4 The CRESP review--we had a safety person involved with that,
5 and we are cognizant, and that's one of the things, it's--
6 that's why I've gone to the coil and very, very--and we have
7 the industry involved. It's as if--it would not be a good
8 day in Idaho if you had a failure with this, so--

9 GARRICK: What's the driver for the HIP process?

10 Like, why did you even consider it?

11 CASE: You know, I wasn't involved in the Record of
12 Decision, but going back on the history and review it looked
13 like a lot of it was really driven by volume, waste-loading
14 and volume reduction, and getting to a waste form that could
15 meet vitrification. If you look at the number of canisters--
16 if you looked at some of the cost drivers, I'm not saying
17 cost wasn't a driver but it was probably double the amount of
18 canisters that they assumed for vitrification, and I think
19 when they were assuming about \$680,000 per canister,
20 disposition cost, and that skewed the cost way out for that,
21 for vitrification compared to this technology. The other is
22 waste length because you get smaller volume. So it was
23 driven, I think, a lot by the total life cycle costs.

24 But there was kind of a tabletop session and we
25 have documentation. We did do a--I won't say a bake-off. As

1 part of the IS process, we did invite companies for
2 technology. We put contracts in place, I think AREVA,
3 actually, for the cold crucible, Energy Solutions with joule-
4 heated melter, ANSTO, so we did get some data that we--to
5 support it, and but it seems to come down to total project
6 cost and the number of canisters and waste form performance,
7 based on the limited data we have. Did that answer the
8 question?

9 GARRICK: Yeah, uh-huh.

10 CASE: It was kind of long-winded, but--

11 GARRICK: And how about this steam reforming
12 facility? What alternatives were considered before you
13 settled on that?

14 CASE: I was involved with that. I was the FPD for
15 that project since its inception. That really was looking
16 at, if we couldn't run the calciner, it was a process--in
17 fact, in those days we didn't--we were going to do direct
18 disposal of calcine. That was kind of the--so we didn't try
19 and relate--we were asked to de-couple SBW, but it was driven
20 by if we can't run the calciner, can we send it to WIPP?
21 What's the best technology that produces a calcine-like
22 product? And we did go down to Irwin, Tennessee. It looked
23 very attractive of how they were processing waste. This
24 facility's a fairly robust design, a little different, but
25 that was really driven by--all right, we looked at probably,

1 oh, a hundred technologies--you know, the whole EIS process.
2 We really limited it down to direct disposal, run the
3 calcine, vitrification, risk separations, out separations,
4 and I think there was direct evaporation, the final
5 selections, and it was really driven by what can we produce
6 that's very similar to the calcine material in case we do
7 have to retreat the treated sodium-bearing waste. So that
8 kind of drove it. Plus, you know, you looked at the facility
9 down in Irwin. It was a very attractive option, so--

10 GARRICK: Questions? Yes, Rod.

11 EWING: Just to follow up, for the waste form from
12 the steam reforming, did I understand that would be HIPed
13 afterwards?

14 CASE: Well, one of the issues--the State of Idaho,
15 we've always acknowledged that the sodium-bearing waste
16 should really be disposed at WIPP. If you look at the
17 history of the waste we have with sodium-bearing waste, it's
18 less than 1 percent of recycled per cycle waste, just the way
19 we filled them--

20 EWING: Right.

21 CASE: So we've been trying--you know, early on in
22 the process we basically would like to get that waste managed
23 as TRU waste, and do a waste determination and send it to
24 WIPP as TRU waste. The State of Idaho, because this also is
25 governed by a site treatment plan and the Settlement

1 Agreement, they haven't seen much progress in us getting that
2 issue resolved, so they're asking, when we submit the HIP
3 process permit in December, to add a schedule for potential
4 treatment of the treated SBW. So that's where that comes in.

5 EWING: So how would that work if you do your steam
6 reforming then pull that out and put your HIPing--

7 CASE: We would--we have a product storage
8 building. We would have to go back, open up the canisters
9 for the--because we're using 10-foot canisters that will fit
10 in what's called the RH-74 B package for shipment, RH TRU to
11 WIPP. It's designed as a pinnacle, so we'd have to basically
12 retrieve the treated SBW and run it through the HIP machine,
13 so--

14 EWING: So it would have to be stored, waiting for
15 the--

16 CASE: Yeah, and right now we do because there's no
17 disposition path. It's like that picture showed there was
18 a--there's a product storage building right now that will
19 accommodate all the treated SBW because we have no--we had to
20 modify the contract because the assumption is we'd ship it to
21 WIPP, but we do have, oh, I think it's 64 concrete vaults
22 that can hold 16 canisters each, and that's part of the IWTU
23 facility that's being constructed. So it'll be stored there
24 right in the product storage building right next to the IWTU.

25 EWING: All right. And in terms of the durability

1 of the waste form, just looking at the calcine without any
2 treatment, wouldn't it come at least close to being as good
3 as glass, compared to this environmental glass?

4 CASE: No, it's--if you look at the calcine it's
5 aluminum nitrate process. It does leach in water. I won't
6 say it dissolves, but part of the calcine is--kind of
7 dissolves in water. It was a--the process produced just--it
8 looks like Tide powder, if you've ever seen--

9 EWING: Right, I know.

10 CASE: --yeah, but it is very leachable. Not
11 leachable in the canisters, but--and we had worked with Yucca
12 Mountain with RW about looking at performance in the
13 canisters, and, really, when you compare our inventory with
14 the rest of the high-level waste inventory in spent fuel, it
15 would have met their performance requirements from a PA
16 standpoint, but not the glass performance requirements.

17 EWING: Okay.

18 CASE: So--and that's why we're looking at direct
19 disposal for calcine. And that was the preferred alternative
20 until we did the selection, because of some of the risk
21 factor with that.

22 EWING: And did it fail, in terms of the RCRA
23 constituents or--

24 CASE: Yes, and glass, PCT. It just, you know, it
25 just fails both. And it has to be treated under RCRA because

1 of those listed waste codes. Now we do have approach where
2 we think we can work with the State, because those--the
3 listed waste isn't there. It's just because of the lab waste
4 we generated. You know, it's just, once listed, always
5 listed, so we think we have a path forward to try and address
6 that, and then you're really left with the Cadmium, which is
7 in the waste, and that has, you know, it's really there. The
8 rest of the waste goes to (unintelligible) and the solvent.
9 They got processed out though when we calcined it. But it's
10 listed, and that's--you have to do delisting, so--

11 EWING: Thank you.

12 GARRICK: Any questions from the Board? Other
13 questions form the staff? Yes, Nigel Mote?

14 MOTE: Mote, Staff. Joel, I take it the 10-foot
15 containers that the HIPed units were going to is the same, or
16 approximately the same, as the Savannah River site.

17 CASE: The canisters?

18 MOTE: Yes.

19 CASE: We're actually looking at using the Navy
20 spent-fuel-type can--package, because one of the issues we
21 had with, if the nine--a 10-foot canister, or 15, like for
22 Hanford, we had to modify the process cells, and that gets to
23 be really, really costly to try to modify a PC-3 facility,
24 those process cells. So we've actually had some trade papers
25 working with naval reactor program to look at, I think

1 they're 5 by 15, so it's more of a box as opposed to a
2 canister. So that's what we're looking to package them in.

3 MOTE: Okay, can you tell us what the 40 percent
4 reduction relates to? What was the start volume and what's
5 the finish volume?

6 CASE: Oh, I'm sorry. Go ahead.

7 MOTE: I saw the slide you had up. I realized that
8 probably, or, possibly, it means a 40 percent reduction from
9 the initial fill of the HIP can.

10 CASE: Yes, that's--

11 MOTE: Right.

12 CASE: Yes.

13 MOTE: How does that compare with the volume of the
14 raw calcite? What, is it an increase or a decrease,
15 compared to the current volume of the waste?

16 CASE: It'd be quite a decrease, actually, because
17 the calcine's got a lot of air in it, and so, the additives--
18 it'd be a decrease is what we're estimating. And I don't
19 know--have it off the top of my head, total volume.

20 MOTE: Okay. Can I have one extension?

21 GARRICK: Go ahead.

22 MOTE: I recall there was a competing technology
23 being developed at Idaho, which was a cold vitrification. I
24 mean, it was almost like an epoxy resin mixed with
25 constituents that came together in a slurry with the calcine

1 in, and then poured into a container very similar to a HIP
2 container, and that, at the time I saw it, which was about
3 eighteen months ago looked like it was going to give the same
4 volume reduction but with no temperature and no pressure
5 issues. What happened to that?

6 CASE: We did a--it's still ongoing. We're
7 working--that's on the lab side. BEA is on our, you know,
8 we're kind of under two contracts, but they provide a lot of
9 support to us. And one of the things Dr. Triay, who's part
10 of Enhanced Waste, you saw--I think there was a slide
11 mentioned studies on cold crucible--there is some limited
12 funding going on, looking at cold crucible treatment process
13 for calcine. That's still limited work going on with that,
14 and they have a test facility in Idaho. In fact, they have a
15 little cold crucible unit.

16 MOTE: Cold crucible is still a hot technique. The
17 crucible's cold, but the medium which is used for processing
18 is a high-temperature technique.

19 CASE: It's high temperature. I forget what the
20 temperature is, I'm not sure, but I know, yeah, it's just--it
21 gets better waste loading and, like you say, better--it's
22 really key, better waste loading. One of the challenges we
23 have with cold crucible is the off-gas system. HIPing should
24 be a dry system. There's some real concerns about--with cold
25 crucible, it's going to be a wet scrub system--and that, and

1 will it fit in IWTU. But we are--there is some limited
2 funding going on through the EM, I don't even know what EM it
3 is now, it used to be EM-20, I think, the technology and
4 development, what the lab is supporting, and also at Hanford.
5 So that work is still going on and--

6 MOTE: Okay, the process I saw was cold. I mean,
7 not cold crucible with a high-temperature process. It was a
8 cold process.

9 CASE: Oh, a cold--like a ceramic grout-type of
10 process?

11 MOTE: Yes.

12 CASE: Oh, I--

13 MOTE: Yeah, it was like an epoxy. A cold epoxy
14 that--

15 CASE: Oh, okay, I'm not aware--I know we do a lot
16 of grout. I'm not aware of that--

17 MOTE: Okay.

18 CASE: --work, so--

19 MOTE: All right. Thanks.

20 GARRICK: Any other questions?

21 (No response.)

22 Okay, thank you very much, Joel.

23 CASE: Oh, thank you. I appreciate the
24 opportunity.

25 GARRICK: We've now come to the point in the

1 program that's dedicated to public comment. I have two
2 names. One of the may have, I'm told, may have inadvertently
3 put their name on here when they meant to have it on the
4 other registration. Dr. Michael Baughman?

5 (No response.)

6 He didn't want to wait this long, I guess. All
7 right, Steve, we can count on you. You can go up there if
8 you want to. If you want to go up there--

9 FRISHMAN: I just have a very short comment.

10 GARRICK: Okay.

11 FRISHMAN: I'm just here to ruin your day, once
12 again. I'm Steve Frishman, representing the State of Nevada.
13 In listening to Ernie Harden's presentation on the thermal
14 considerations in various geologic media, his presentation
15 seemed to carry an implication that is something that we
16 talked about years ago, and it's probably worth your keeping
17 in mind, as you see that kind of work developing again, and
18 that's when we had early discussions about the MPC.

19 One of the considerations that I brought up, I
20 think to this Board, was to think carefully about both the
21 size and the emplacement mode of the container, and mode or
22 configuration, because it appeared to me that, with the MPC,
23 what was happening was it was beginning to drive the
24 repository design, and in the course of driving the design,
25 you have limited your scope of safety considerations.

1 So the implication from what Ernie was talking
2 about somehow sort of came across that bigger is better, but
3 in this case, I think if you're looking at geologic media,
4 thermal considerations and design scenarios, bigger doesn't
5 necessarily mean safer. So I'm just sort of warning that we
6 got into this once before and it ended up that the large
7 container, horizontal, in drift, sort of limited some other
8 safety considerations and led to some things that, you know,
9 may have actually compromised safety in order to preserve
10 that particular design. So I just wanted to get that back
11 into your thinking. So while you're thinking about the work
12 that NE is doing, and the way of--sort of considerations
13 about different rock types and designs, just sort of keep
14 that in mind as you are reviewing that type of work, because
15 we got locked in once before and I'm still not convinced that
16 the early lock-in didn't have a lot to do with later safety
17 considerations for the Yucca Mountain design. So, thank you.

18 GARRICK: Thank you. Any comments from anybody?

19 (No response.)

20 Ernie? Ernie gone?

21 SPEAKER: They all left.

22 GARRICK: Well, I believe that pretty much
23 concludes the day's activities. I want to thank all the
24 presenters. We know how much effort it takes to make these
25 presentations, and we greatly appreciate it. The Board

1 always learns a great deal in these exercises, and we're
2 delighted. We want to thank you very much for the effort.

3 And with that, unless somebody has an issue that
4 they'd like to bring before the group, I think we will
5 adjourn. Thank you.

6 (Whereupon, the meeting was adjourned.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

2

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's 2012 Winter Board Meeting held on January 9, 2012 in Arlington, Virginia, taken from the electronic recording of proceedings in the above-entitled matter.

8

9

10

11

12 January 30, 2012

Federal Reporting Service, Inc.

17454 East Asbury Place

Aurora, Colorado 80013

16

17

18

19

20

21

22

23

21

23