

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL 2012 BOARD MEETING

Wednesday  
October 17, 2012

Hilton Garden Inn  
700 Lindsay Boulevard  
Idaho Falls, Idaho 83402

**NWTRB BOARD MEMBERS PRESENT**

Rodney C. Ewing, Ph.D., Chairman, NWTRB  
Steven M. Becker, Ph.D.  
Sue Clark, Ph.D.  
Efi Foufoula-Georgiou, Ph.D.  
Linda Nozick, Ph.D.  
K. L. Peddicord, Ph.D.  
Paul Turinsky, Ph.D.  
Mary Lou Zoback, Ph.D.

**NWTRB EXECUTIVE STAFF**

Nigel Mote, Executive Director  
Karyn D. Severson, Director, External Affairs  
Joyce M. Dory, Director of Administration  
Linda Coultry, Meeting Planner  
William D. Harrison, Systems Administrator

**NWTRB SENIOR PROFESSIONAL STAFF**

Bruce E. Kirstein  
Gene W. Rowe  
Douglas Rigby  
Daniel S. Metlay

I N D E X

	<u>PAGE NO.</u>
<b>Call to Order</b>	
Rodney C. Ewing, Chairman	
U.S. Nuclear Waste Technical Review Board . . . . .	5
<b>SRG's Views on BRC Transportation Recommendations</b>	
Jim Williams	
WIEB HLW Program Manager. . . . .	16
<b>Questions and Answers . . . . .</b>	<b>25</b>
<b>Comments</b>	
Jeffrey Williams	
Director	
Nuclear Fuels Storage and Transportation	
Planning Project. . . . .	31
<b>Comments</b>	
Earl Easton	
Senior Level Advisor for Transportation	
U.S. Nuclear Regulatory Commission	
Division of Spent Fuel Storage and Transportation. . .	33
<b>Questions and Answers . . . . .</b>	<b>37</b>
<b>Update on Activities, Used Nuclear Fuel Disposition</b>	
Monica Regalbuto	
Deputy Assistant Secretary for Fuel Cycle Technologies	
Office of Nuclear Energy. . . . .	46
<b>Questions and Answers . . . . .</b>	<b>59</b>
<b>Fuel Cycle Technologies: System Architecture Evaluation</b>	
Mark Nutt	
Argonne National Laboratory	
Deputy National Technical Director	
DOE-NE Used Fuel Disposition Campaign . . . . .	71
<b>Questions and Answers . . . . .</b>	<b>91</b>

I N D E X  
(Continued)

PAGE NO.

<b>Logistical and Operational Issues Associated with the Transport of Stranded Fuel from Shutdown Reactor Sites</b>	
Jeffrey Williams U.S. Department of Energy . . . . .	97
<b>Questions and Answers . . . . .</b>	118
<b>Lunch . . . . .</b>	126
<b>Modeling Used Fuel Storage Temperatures</b>	
Harold E. Adkins Senior Research Engineer Fluid and Computational Engineering Pacific Northwest National Laboratory . . . . .	127
<b>Questions and Answers . . . . .</b>	146
<b>Generic Disposal Concepts and Thermal Load Management for Larger Waste Packages</b>	
Ernest Hardin Sandia National Laboratories. . . . .	157
<b>Questions and Answers . . . . .</b>	177
<b>Sodium Bearing Waste Disposition Plans</b>	
Joel Case IWTU Operations Activity Manager Idaho National Laboratory . . . . .	183
<b>Questions and Answers . . . . .</b>	196
<b>Calcine Disposition Project</b>	
Joel Case Federal Project Director, Calcine Disposition Project Idaho National Laboratory . . . . .	201
<b>Questions and Answers . . . . .</b>	216
<b>Public Comments . . . . .</b>	220
<b>Adjourn . . . . .</b>	239



1 INL, many times, and this was really an exceptional tour that  
2 we received; lots of exciting science and possibilities. I  
3 was really pleased to see some of the new analytical  
4 facilities and modeling capabilities that we were exposed to.  
5 So thank you very much.

6 I'll introduce the new members--in fact, all  
7 of the members of the Board--in just a moment; but, first,  
8 just a word about the Board and how I see our mission as we  
9 go forward. As I said, I'm new to the chairmanship of the  
10 Board, but I've been involved in nuclear waste issues for a  
11 long time; and I'm especially honored to be chairing the  
12 Board at a time when new options for managing spent nuclear  
13 fuel and high-level waste are under consideration.

14 Of course, during this time there are  
15 challenges to changing gears and going in new directions,  
16 considering new ideas; but along with those challenges come,  
17 I think, important new opportunities. The challenges are  
18 clear. Just by a quick recitation of our history, after  
19 characterizing the Yucca Mountain site for almost 20 years,  
20 the Department of Energy submitted a license application for  
21 a Yucca Mountain repository to the Nuclear Regulatory  
22 Commission in mid-June of 2008; and then DOE requested that  
23 the license be withdrawn in early 2010. Final court action  
24 on whether the NRC must reopen the licensing process is still  
25 pending.

1  
2           A Blue Ribbon Commission set up by the administration to  
3 look at options for managing the back end of the nuclear fuel  
4 cycle submitted its report in January of this year, 2012. We  
5 are still waiting for the administration to respond to the  
6 recommendations of the BRC, and in Congress the Senate is  
7 considering legislation that would implement some of the Blue  
8 Ribbon Commission recommendations. The House of  
9 Representatives has reviewed the recommendations but has not  
10 decided what action to take.

11           So, in summary, for all parts of the system, action  
12 is pending, and it's not clear which direction we'll be  
13 going. So what are the opportunities in such a situation?  
14 From the Board's perspective, I would say that we will  
15 continue to cast an independent eye on the technical validity  
16 of what DOE is doing to respond to the challenges that I've  
17 outlined just a moment ago. We can provide decision makers  
18 in the Department of Energy and Congress with unbiased  
19 technical information to inform the policy debate.

20           In my opinion, independent technical oversight and  
21 information has never been more important than during this  
22 period of transition in nuclear waste policies and programs.  
23 For DOE or whatever organization finally has the  
24 responsibility for waste management, there are plenty of  
25 opportunities to gain insight from the Blue Ribbon Commission

1 deliberations, from the experience of the nuclear waste  
2 program in this country and from the experience of other  
3 countries with their own nuclear waste programs, and,  
4 finally, from the ongoing technical oversight that the Board  
5 provides. We will be establishing the basis for some of the  
6 Board's technical findings and recommendations during our  
7 meeting today. And, in fact, that's the purpose of these  
8 public meetings is to air important issues and obtain the  
9 information we need to frame our reports and recommendations.

10           Concerning the history of the Board, it was created  
11 in the 1987 amendments to the Nuclear Waste Policy Act. We  
12 know from the statute and legislative history that Congress  
13 expected the Board to evaluate DOE activities, provide  
14 ongoing technical advice, and report Board findings and  
15 recommendations at least twice each year to Congress and the  
16 Secretary. An important thing to know about the Board is  
17 that it is an independent federal agency. We are not part of  
18 the Department of Energy. We are not part of any other  
19 agency. We are in the Executive Branch. And if you're  
20 interested in more detail, you can find additional  
21 information on our website, and there are Board reports and a  
22 brief fact sheet on the table at the back of the room.

23           Board members are appointed by the President to  
24 staggered four-year terms. The National Academy of Sciences  
25 nominates individuals to serve on the Board, and then the

1 decision is made by the White House.

2           Let me now introduce the Board members who are here  
3 today. As mentioned earlier, this will be the first Board  
4 meeting for many of the members; and even the three of us who  
5 are ongoing members are relatively new to the Board, having  
6 been appointed just a little over a year ago. So, as a  
7 group, we'll certainly be approaching these issues with new  
8 perspective, new eyes, but we'll also rely strongly on the  
9 previous technical work of the previous Boards.

10           First I'll introduce myself. I'm Rod Ewing, say it  
11 again. I'm a professor at the University of Michigan. I  
12 hold appointments in three departments, the Earth and  
13 Environmental Sciences Department; in fact, I'm a geologist.  
14 The other two appointments are in Nuclear Engineering and  
15 Radiological Sciences, and the third appointment is in  
16 Material Science and Engineering. As I introduce the other  
17 members of the Board, I'd like them to raise their hand when  
18 I call their name, and then I'll give you just a little bit  
19 of information about them.

20           So Steve Becker. Steve is a Professor of Community  
21 and Environmental Health in the College of Health Sciences at  
22 Old Dominion University in Norfolk, Virginia. He was a  
23 member of an assistance team that was invited to Japan after  
24 the earthquake tsunami at Fukushima Daiichi in 2011, and  
25 Steve is a new appointee to the Board.

1 Sue Clark is a Regents' Distinguished Professor of  
2 Chemistry at Washington State University. She has served on  
3 numerous advisory committees. Sue is one of the veterans.  
4 She has been on the Board for more than a year, just a little  
5 more than a year.

6 Efi Foufoula-Georgiou. Efi is a Distinguished  
7 McKnight University Professor of Civil Engineering and the  
8 Joseph T. and Rose S. Ling Professor of Environmental  
9 Engineering and Director of the National Center of Earth  
10 Surface Dynamics at the University of Minnesota. She is a  
11 new member.

12 Linda Nozick. Linda is a Professor in the School  
13 of Civil and Environmental Engineering and Director of the  
14 College Program in Systems Engineering at Cornell University  
15 in New York. Linda is another Board veteran of a little more  
16 than a year.

17 The next three members are all new to the Board.  
18 Lee Peddicord. Lee has served as Director of the Nuclear  
19 Power Institute at Texas A&M since 2007. He has been a  
20 Professor of Nuclear Engineering at the university since  
21 1983.

22 Paul Turinsky. Paul is a Professor of Nuclear  
23 Engineering at North Carolina State University. Since 2010  
24 he has served as Chief Scientist for DOE's Innovation Hub for  
25 Modeling and Simulation of Nuclear Reactors.

1           Mary Lou Zoback. Mary Lou is a Consulting  
2 Professor in the Geophysics Department at Stanford  
3 University. She is a seismologist and a member of the  
4 National Academy of Sciences.

5           The new Board appointments were made so recently  
6 that it has been difficult for several of our members to  
7 change their schedules to attend this first meeting, and at  
8 least one member will leave a little early today. That's Sue  
9 Clark. So if you want to bend her ear, grab her at the next  
10 break.

11           For two of our new members, Susan Brantley and  
12 Gerald Frankel, it was impossible to overcome previous  
13 scheduling conflicts, and that prevents them from being here  
14 today.

15           And another new member, Jean Bahr, who had planned  
16 to be here, has had a small accident, and she's at home  
17 recovering. Jean is a Professor of Geoscience at the  
18 University of Wisconsin in Madison. She is also a member of  
19 the Geological Engineering Program and is a faculty affiliate  
20 of the Nelson Institute of Environmental Studies.

21           Susan Brantley is a Distinguished Professor of  
22 Geosciences at Penn State University. She also serves as the  
23 Director of the Earth and Environmental Systems Institute,  
24 and she was recently appointed to the National Academy of  
25 Sciences.

1           And Jerry Frankel is a Professor of Material  
2 Science and Engineering and Director of the Fontana Corrosion  
3 Center at Ohio State University.

4           We look forward to seeing all three of these  
5 members at our next Board meeting.

6           All of the Board members serve part-time, but the  
7 staff is full-time, so they provide important continuity and  
8 technical support to the Board. The technical staff are  
9 seated in the row against the wall to my left.

10           Now that we've finished the introductions, let me  
11 say a few words about today's agenda. The meeting has two  
12 distinct but complementary parts. In the morning we will  
13 discuss transportation and packaging of spent nuclear fuel,  
14 and in the afternoon we will focus on DOE's work related to  
15 the thermal effects of storing and disposing of the waste, as  
16 well as the classification and treatment of some of the  
17 defense wastes that are destined for disposal in a deep  
18 geologic repository.

19           To give you a little more detail on the morning  
20 session and then the afternoon session, the first thing to  
21 say is that the panel discussion that was so carefully  
22 arranged by Dan Metlay has suffered from a continued loss of  
23 panel participants. And so at the appropriate time I'll rely  
24 on Dan to give us the current state of play in terms of  
25 participants. That panel, which will be presented

1 successfully, I'm sure, will be followed by an update of  
2 activities and plans of the DOE Office of Used Fuel  
3 Disposition. This has always been an important part of our  
4 meetings. We will then hear about the Used Fuel Disposition  
5 architecture structure that is being conducted at Argonne  
6 National Laboratory, and the last presentation before lunch  
7 will be on issues associated with transporting orphaned spent  
8 fuel from a shutdown facility to a consolidated storage  
9 facility. This, of course, is of great interest to the Board  
10 and quite timely.

11           After lunch we will hear two presentations on  
12 thermal issues related to storage and disposal of spent fuel.  
13 Of particular interest to the Board is the evaluation of the  
14 disposal waste package designs. In January of this year at a  
15 Board meeting in Arlington, Virginia, we heard from DOE about  
16 generic work being undertaken to model the disposal of spent  
17 fuel in repositories situated in clay, crystalline rock, and  
18 salt. Those designs involved closed repositories, which seem  
19 to necessitate the use of smaller waste disposal canisters,  
20 at least with clays and crystalline formations as host rocks.  
21 Today we will hear about DOE's generic design work for open  
22 repositories, which may permit disposal of larger waste  
23 packages.

24           Following these presentations we will hear about  
25 two INL projects to treat defense waste for disposal. We

1 have asked DOE to focus particularly on the classification of  
2 the sodium-bearing waste so that we can determine whether  
3 this falls within the Board's mandate for review.

4           We have scheduled time for public comments at the  
5 end of the day. This session is an important part of the  
6 Board meetings. If you would like to make statements or make  
7 a comment, please enter your name on the sign-up sheet at the  
8 table near the entrance to the room. If you prefer, written  
9 remarks and other materials can be submitted and will be made  
10 part of the meeting record. Oral comments will appear in the  
11 transcripts of the meeting. All of the Board transcripts and  
12 other meeting materials, including written comments or  
13 statements, are posted in the Board's website.

14           At this point I need to remind you that the Board  
15 members in our discussions and with our questions will freely  
16 express their personal views and opinions. We want to  
17 continue this practice--it's been the practice of earlier  
18 Boards--but we also want you to know that our comments during  
19 the meetings are not official Board statements. When a Board  
20 position is articulated, we will make that clear. And, in  
21 fact, we make it clear by making those statements through our  
22 reports and letter reports.

23           As usual, to minimize interruptions, I ask you to  
24 turn off your cell phones or at least put them on silent  
25 mode. I also want to remind you that it's very important

1 that when you stand to speak that you identify yourself and  
2 your affiliation, because this is critical to the proper  
3 transcription of what's said. And please speak to the  
4 microphone so that we have a well-recorded and complete  
5 transcript of the meeting proceedings.

6 With these preliminaries out of the way, I think  
7 we'll move directly to the panel discussion. But, as I said,  
8 before we start the panel discussion, I'd like Dan to give us  
9 the present state of play. Okay. So thank you very much.

10 METLAY: As I'm sure everybody in the room  
11 recognizes, the four State Regional Groups reflecting the  
12 Northeast, the South, the Midwest, and the West have played  
13 an extremely important role for more than 20 years in  
14 interacting with DOE to reflect upon an appropriate way to  
15 transport radioactive materials, both in the case of WIPP and  
16 in the case of Yucca Mountain. We thought it was  
17 appropriate, given the recommendation of the BRC, to develop  
18 in the near term a full transportation system to get  
19 representatives from these four Regional Groups to talk about  
20 their views of the BRC recommendations and how those  
21 recommendations might be implemented.

22 Three out of the four groups accepted.  
23 Unfortunately, within the last ten days, two out of the  
24 three, for very good and important reasons, were unable to  
25 attend; and so our panel of three had dwindled to a single

1 presenter of one, Jim Williams representing the Western  
2 Interstate Energy Board. We were very fortunate that both  
3 Jeff Williams from the Department of Energy and Earl Easton  
4 from the Nuclear Regulatory Commission have agreed to step in  
5 and give some impromptu comments on the role their agencies  
6 have had with the State Regional Groups.

7           So I guess with that introduction, perhaps Jim  
8 Williams could come forward.

9           JIM WILLIAMS: I'm Jim Williams. I'm with the  
10 Western Interstate Energy Board. That's what WIEB stands  
11 for. You know, all of us really appreciate the invitation to  
12 the so-called State Regional Groups, and I regret that I'm  
13 the only one that was able to show up.

14           I want to discuss three items. Our response to the  
15 question implicit in the title for this session, the State  
16 Regional Groups' Views on the BRC Recommendations on  
17 Transportation, is one. Another is that I'd like to go  
18 through the meeting that we had just last week and its  
19 purpose and its topics and give you a sense of what we  
20 discussed there. And then I want to spend a few minutes on a  
21 notion that came out of our meeting the previous week with  
22 the DOE in D.C. on how states and a federal agency should  
23 proceed with transportation system design.

24           Before I do that and since the others are not here,  
25 I wanted to report briefly on the meeting that we had with

1 the Department of Energy on October 3rd and 4th. Jeff  
2 Williams ran the meeting with the help of Corinne Macaluso  
3 and Alex Thrower, who is on the BRC staff, and Judith Holm,  
4 who has masses of experience in certain aspects of this  
5 program; Elizabeth Helvey, who has chaired a lot of the  
6 Section 180(c) work. Monica Regalbuto was there, and we  
7 appreciated that very much. And Pete Lyons stopped in for 45  
8 minutes and had a good discussion, emphasized the uncertainty  
9 that the DOE is in at the moment, but also expressed a lot of  
10 knowledge of our process and support for our process, I  
11 thought. So I thought--it was a two-day or day-and-a-half  
12 meeting. I thought it was an excellent start to a  
13 partnership process, and we hope to repeat that in some way  
14 on some regular basis.

15           Okay, now--the next one, please.

16           As to the WIEB views on the transportation  
17 recommendations adopted by the BRC, here are, I think, a  
18 summary of what our views are. We're for them, and we're for  
19 the BRC recommendations generally. We advocated for them,  
20 both in several presentations to the BRC and in our comments  
21 on the draft report and in a special regional meeting in  
22 Denver that the BRC had to discuss their draft report. So we  
23 want to work with DOE-NE and any successor agency to  
24 implement these recommendations. And that is the subject of  
25 my third topic, and I'll get back to it in a little bit.

1           We have lots of thoughts on particulars and  
2 linkages. These come from people on our committee, some of  
3 whom helped create the WIPP transportation model, a key model  
4 of success, and others who have 15 or 20 or 25 years'  
5 experience dealing with transportation issues from state  
6 points of view and from the perspective of effective states  
7 and communities.

8           We have a broad view of transportation, not just  
9 routing and operations, but it includes cask design, modal  
10 choice, acceptance order, even storage policy, and we are  
11 trying to think through with everybody else kind of an  
12 integrated approach among these things that addresses this  
13 issue. As I mentioned, we had a pretty fully-loaded meeting  
14 last week, and I'll get to that in the next slide. And we  
15 are expecting our inquiries to proceed on two paths that we  
16 will, I think, definitely consider related to each other, not  
17 separate and distinct from each other, one regarding the  
18 orphan sites and removal from them and the other regarding  
19 removal from still-operating sites. Okay, next.

20           Quickly about the meeting that we had last week, it  
21 was a day and a half, plenty of discussion. Corinne Macaluso  
22 attended and contributed. The first part of it had to do  
23 with the status of the nuclear waste program in  
24 reformulation. For the BRC findings and recommendations, we  
25 had a review--a good review, I thought, from Alex Thrower,

1 who was on the BRC staff. On the litigation on the waste  
2 confidence, the fee, the mandamus suit, we had Mike McBride,  
3 who is with Van Ness Feldman, who was the BRC's, kind of,  
4 go-to law firm on legal issues. On legislation we had Sam  
5 Fowler, who is chief counsel for the Senate Energy Committee  
6 discuss some of the background and the choices made during  
7 the development of S.3469. On regulation we had the  
8 estimable Earl Easton, who pulled out a flip chart and began  
9 explaining to us first principles of various issues, and I  
10 thought it was great, but we need more of it. And on the  
11 DOE-NE initiatives we had Corinne Macaluso, who also  
12 contributed in other parts of the meeting and on topics, some  
13 of which, I think, Monica will talk to you after this  
14 session.

15           The second part of the meeting or the rest of the  
16 meeting was a--we organized around the National Academy's  
17 recommendations from 2006. Why did we do this? It provides  
18 a comprehensive list of basic issues, and I'll show you how  
19 we worked our way through them. And so it establishes, we  
20 thought--we still think--a pretty good framework for looking  
21 at the total issue rather than pieces of it and also because  
22 the BRC generally adopted these recommendations, although  
23 they did not get into detail. Transportation came up rather  
24 late in their process, possibly to some degree at our  
25 insistence, and so they did not elaborate on that in the way

1 that they did on consolidated storage facilities and  
2 consent-based siting. We approve. So we understand that.

3           At the bottom here, the way we worked through those  
4 issues is sort of asking ourselves three questions. Should  
5 these recommendations from the National Academy be a part of  
6 spent fuel/high-level waste transportation system design at  
7 this point? Our answer is generally yes. Next, what  
8 questions and issues must be addressed in implementation?  
9 And there are lots of those, and the discussion brought up  
10 more topics for us to get to a comfortable understanding of  
11 than we will be able to address, and we are trying to digest  
12 and assess that now. And then, what directions and  
13 priorities does all this suggest for us in our efforts over  
14 the next couple years? Okay, next one, please.

15           And so this is the way we worked through the  
16 recommendations. On each of these categories we had a  
17 committee member lead the discussion. First was--well, we  
18 had to have Bob Halstead on two of them, cask design and  
19 testing, Bob Halstead. Same with modal choice and acceptance  
20 order. On route assessment and selection we had Fred Dilger.  
21 On transportation operations, including 180(c), we had Anne  
22 deLain Clark, who is from New Mexico and has been dealing  
23 with those types of issues from a WIPP perspective for a long  
24 time; transportation security, Rich Baker from Arizona; and  
25 organizational structure, Connie Nakahara, from Utah. And so

1 laying that list down the top row we are thinking that we  
2 might organize or at least consider in our organization how  
3 these issues relate to removal from shutdown sites, number  
4 one, and later from operating sites.

5           Okay. I want to now go to the next slide and touch  
6 on one topic that came up in our October 3rd and 4th meeting  
7 with DOE-NE, which involves not just what choices we make  
8 with regard to transportation, but how these choices are  
9 made, by what process, and based on what values. This, in my  
10 mind, stems from the key principal finding from the National  
11 Academy report in 2006, which reads, "There are no"--well, my  
12 assembly of it for this purpose, "There are no fundamental  
13 technical barriers to the safe transportation of spent fuel  
14 and high-level waste; however, there are a number of social  
15 and institutional challenges, and challenges of sustained  
16 implementation should not be underestimated." We agree with  
17 that statement and think it has pretty many implications.

18           And so in our meeting on October 3rd and 4th we  
19 raised the idea of what this implies for the federal-state  
20 transportation process now underway. And our, sort of,  
21 question to ourselves is: What happens in hundreds of  
22 corridor communities potentially that are facing perhaps 50  
23 years of spent fuel/high-level waste transportation? Well,  
24 at that point, when that goes down to the community level,  
25 will the federal agency be on its own on the stage, or might

1 states and localities be willing to join the federal agency  
2 on the stage? And if the ambition is to do the second, then  
3 we should consider that right now; and we have tossed out a  
4 few ideas about how to formalize that idea. One has to do  
5 with the partnership purpose, the idea that the federal  
6 agency and states begin and continue in partnership in this  
7 and hopefully wind up in partnership on transportation system  
8 design.

9           Another has to do with the potential Achilles heel  
10 that the transportation component poses to the entire  
11 program. And when I think about it, I think that certainly  
12 origin sites and the few consent-based destination sites will  
13 understand the role of transportation and the need for it  
14 even if they are uncomfortable with it. Not true for  
15 hundreds of communities along corridors. So those  
16 communities are going to have to weigh a somewhat abstract  
17 national need against a threat impositioned on them  
18 personally, and so we should understand that at the outset.

19           Another has to do with risk perception and the  
20 response to risk perception. We think and agree with the  
21 National Academy that there are no fundamental technical  
22 barriers, but that does not mean that perceptual issues can  
23 be washed away. And it also suggests to me some kind of key  
24 thoughts about how we should communicate all this, not by  
25 trying to convince people of the risk of zero, but

1 acknowledging the residual risks, discussing ways that we  
2 have addressed them, and not by trying to convince people  
3 that these risks are somehow less than some other risks that  
4 they currently bear.

5           Then we get to the list of best business practices  
6 that might be considered to ensure safe and uneventful  
7 transportation, and it is a--well, you see the list: full-  
8 scale cask testing possibly as part of a comprehensive  
9 program, comes right out of the National Academy; shipment of  
10 older fuel, which the National Academy recommended, while  
11 maximizing transportation efficiency, and we'll need to be  
12 thinking and getting input on that; shipment sequencing from  
13 individual and sub-regional reactor sites; full  
14 implementation of the dedicated train decision, we had  
15 considerable discussion about what that exactly should mean;  
16 use of advanced monitoring and tracking tools and advanced  
17 route assessment tools, this may suggest some break from  
18 the--or some new thoughts about how DOE should procure  
19 technology for transportation purposes; and communication  
20 processes, at the moment I've forgotten exactly what the heck  
21 that meant.

22           Anyway, the whole thing arrives at an understanding  
23 about the somewhat complicated cost component of the  
24 transportation program, in which best business practice means  
25 a lot of things that may or may not go beyond regulations;

1 and some of those things will involve what may be interpreted  
2 as additional costs but that very likely those additional  
3 costs are minor, even trivial, compared to the costs of  
4 contention and delay and, you know, not just in the  
5 transportation program but in linked aspects of the program  
6 such as DOE's ability to accept this fuel and get over the  
7 breach of contract judgment.

8           And so that leads to an idea about what DOE or its  
9 successor agency needs to be able to carry out this mission,  
10 hopefully in partnership with states; and they will need  
11 consistent and adequate funding over long lead-time. They  
12 will need reliable agency support for key things necessary to  
13 implement a best practice transportation program. That means  
14 support of the Department and the administration in Congress,  
15 and it may--and that's not necessarily an easy one, but I  
16 would argue that the Agency responsible for this needs to not  
17 be at the whim of politics of the process, and they need to  
18 recruit and retain top-flight people. So the status of this  
19 is very preliminary, and it's going to be reviewed by us over  
20 the next months.

21           So the next one is questions.

22           EWING: Thank you very much. We'll follow our normal  
23 procedure where I'll first ask whether members of the Board  
24 have questions. Any questions from a Board member? Yes,  
25 Mary Lou.

1           ZOBACK: Mary Lou Zoback, Board member. Thank you.  
2 That was a very insightful, thoughtful presentation, and my  
3 only question is: The "we" that you use, were you  
4 specifically referring to WIEB, or do all the State Regional  
5 Groups get together and discuss this among themselves? And  
6 the meeting with DOE, was it just WIEB or was it all the  
7 groups?

8           JIM WILLIAMS: It is all the groups, and this one  
9 stemmed out of the October 3rd/4th meeting with DOE-NE in  
10 D.C. And at that meeting all four groups were represented,  
11 me and my counterparts in the other regions, and each of us  
12 brought a couple of our key committee members to the meeting.  
13 And, as I say, I thought it was a great meeting. I mean, if  
14 you're talking about the particular vision or charter or the  
15 ideas for that, that came up, and it's very much in its  
16 preliminary stages. But a lot of these things, the states  
17 generally agree. They, I think, strongly agree about working  
18 towards a partnership process; but there are, of course,  
19 regional politics that intrude on all this, and we don't  
20 agree on everything. But we, I think, do agree--you know, I  
21 may be out of turn, but we do agree that we need to work  
22 among ourselves and with DOE and thrash those things out.  
23 And to do that we need to bring along our members, so at the  
24 moment we have--let's say, among our eleven states we have  
25 five that are representative by people that are steeped in

1 this stuff, steeped in it.

2 Others have other day jobs and are trying to get on  
3 board. Well, you know, that's where I am supposed to be of  
4 some help. Frankly, they need to be active in decisions that  
5 we make within WIEB and in interactions with other State  
6 Regional Groups, but I think that we can get there. But I  
7 personally think we sort of need a charter for the process,  
8 and that's why I brought this thing up at the end even though  
9 it's a preliminary set of ideas.

10 ZOBACK: I appreciate that. So do you think in the end  
11 that this sort of vision that you outlined on the final slide  
12 would be adopted by all the different State Regional Groups?

13 JIM WILLIAMS: Including DOE-NE.

14 ZOBACK: Yeah.

15 JIM WILLIAMS: I mean, they are--

16 ZOBACK: Oh, no, right, they're the partnership; right?

17 WILLIAMS: Yeah, right, right. That's where we're all  
18 heading.

19 ZOBACK: Okay, fantastic. Thank you.

20 EWING: Linda.

21 NOZICK: Nozick, Board.

22 JIM WILLIAMS: Hi.

23 NOZICK: Hi. I was wondering if there's any particular  
24 actions you think that would be effective beyond those  
25 categories in bringing these corridor communities along? Is

1 there anything particularly that you've seen over the years  
2 that's been left out?

3           JIM WILLIAMS: I sort of have to go back to first  
4 principles on that. One of the things that the State  
5 Regional Groups bring to the process is that we have members  
6 from each state or in many cases a couple of members from  
7 each state. So I think that we need to conduct this process--  
8 -I mean, actually, I think that's sort of a metaphor of the  
9 idea of when this hits the fan in Chicago or Omaha or some  
10 other community, is the federal agency going to trot out  
11 there on their own? You know, this is a disaster, a  
12 potential disaster to the program.

13           And so I think that the way to get around that is  
14 to have a sort of partnership purpose starting now and build  
15 towards that and not pretend that there are any quick fixes  
16 in these communities. But to really understand--and I  
17 mention this--that in dealing with these communities, it's  
18 not going to--in my view, I would start by not assuming that  
19 we can convince a community that this has no risk. Don't  
20 even go down that path. Say that there are these risks, here  
21 they are, and then say here are some things that we are  
22 considering doing to limit that risk to the appropriate  
23 minimum. I mean, I fully believe myself that the health and  
24 safety risks of a gasoline truck are probably considerably  
25 higher than that of a nuclear waste cask on a technical

1 basis.

2           But the risk perception component of this cannot be  
3 washed away, and we shouldn't assume that it--it would be at  
4 our peril if we assumed it could be. And oftentimes in the  
5 technical process, you know, I mean, I think the NRC is  
6 subject to this, because they do, as an agency, make their  
7 decisions on a technical basis. They need to. But in  
8 dealing with communities on this, we shouldn't do it. We  
9 should be much more careful about how we approach them,  
10 engage them. You know, it's not a small task that we're  
11 talking about here. That was only partly responsive, but I  
12 think basically so.

13           NOZICK: I was wondering, any discussion of fairness or  
14 why my community versus your community? Any ideas along  
15 that--

16           JIM WILLIAMS: I don't have a solution for--well, I do  
17 have some ideas.

18           EWING: Before we go further, I'd like to get the other  
19 two presenters in. Do you have a question?

20           BECKER: Yes.

21           EWING: All right.

22           BECKER: Steven Becker, Board member. I too have very  
23 much enjoyed the presentation. There is now a pretty large  
24 body of research that suggests, not surprisingly, that from  
25 the public there are concerns around these issues--all-around

1 issues of health and safety. And that same body of research  
2 also suggests that they tend to look to local and state  
3 health departments to provide information to them that can be  
4 trusted. What role do you see in this partnership for the  
5 local and state health departments?

6 JIM WILLIAMS: That they are brought in and--well, the  
7 anticipation of bringing them in is there right now, and they  
8 are brought in via states, and that it is true--or I agree  
9 with the results of the research that we need the fire chief  
10 and the police chief up there saying that they think they  
11 understand this pretty doggone well, they understand how they  
12 would deal with the contingencies, and be willing to say  
13 that, okay, that's how I back up to partnership process  
14 beginning now.

15 EWING: Right. Another last question, Lee.

16 PEDDICORD: Yes. Lee Peddicord, Board member. You had  
17 mentioned the past experience with the WIPP transportation  
18 model, which you characterize, you felt, as being successful.  
19 With regard to your last slide and those issues you laid  
20 out--that's the one before--are you all going to get a chance  
21 either within WIEB or your colleagues, your peer  
22 organizations, to go through and assess these issues against  
23 the WIPP transportation model, see where these were met,  
24 where there might be actions taken, and so on, and meet these  
25 objectives?

1           JIM WILLIAMS:    Yeah, and the answer is, it's engrained  
2   in our members who were there at the design of this and have  
3   been part of the implementation of it.  What we do have on  
4   our agenda is a sort of a careful review of how the so-called  
5   WIPP transportation model adapts to spent fuel and high-level  
6   waste, which has a lot more radioactivity, more rail  
7   transport, other key differences.

8           PEDDICORD:    And that seemed to be a fairly well-defined  
9   set of corridors that are going to be replicated many more  
10  times in addressing spent nuclear fuel.

11          JIM WILLIAMS:   Those corridors were negotiated with  
12  states by, actually, a few people from the Department of  
13  Energy, one of whom is named Ralph Smith, who actually  
14  engaged with states over about a nine-year period.  And he  
15  was a great person for states to deal with and didn't give up  
16  on a thing, but he was a good person to work, and that work  
17  occurred over a long period of time with agency support up  
18  above.  So Ralph could go to Larry Harmon or whoever and get  
19  some scope for his negotiations.

20          EWING:        Okay.  I think we need to move on.  Thank you  
21  very much for the presentation.

22                        What I'd suggest is, we have pressed into service a  
23  DOE and an NRC representative, so I'd ask them to take just  
24  five or ten minutes to respond and comment, and then we'll  
25  have questions from the Board and staff.  But I want to leave

1 time for questions from the public at the end.

2           So Jeff Williams from the DOE. Jeff is the  
3 Director of the Nuclear Fuels Storage and Transportation  
4 Planning Project.

5           JEFF WILLIAMS: Thank you. Yeah, this was just some  
6 impromptu remarks, and I just wanted to say that the BRC  
7 recommended that we start this process back up with the  
8 Regional State Groups. This was not part of NE's R&D  
9 portfolio when we started our program. It was just July 11th  
10 that we established cooperative agreements with the help of  
11 our procurement people in Idaho, which was a new thing to put  
12 these groups in place, and we really do look forward to  
13 interaction.

14           The one point that I think we made, Pete Lyons  
15 made, and I made it as well is that we're not the same as RW  
16 was two or three years ago. We have a fraction of the  
17 resources, we have a fraction of the staff, and we're not  
18 going to be able to do the same things that we were able to  
19 do before.

20           And also the other point that we stressed at that  
21 meeting is that that there is a good bit of uncertainty.  
22 There were a lot of requests for, okay, well, this time let's  
23 establish this and let's not have it pulled and tugged by the  
24 administration's policies. However, we're really not in a  
25 position to promise anything like that. So we've started

1 this; we're trying to take this in little bits and pieces at  
2 a time. I think one of the major things that we would like  
3 to work on in the near term is this 180(c) policy and  
4 procedures, and probably to many of you on the Board this is  
5 new foreign talk. As a geoscientist it took me several years  
6 to learn all these things about transportation as well, but  
7 180(c) is providing--it's required out of the Nuclear Waste  
8 Policy Act to provide funds to states and tribes, funds and  
9 emergency response training.

10           The Office of Civilian Radioactive Waste Management  
11 had published in the Federal Register a policy three  
12 different times with comments they were moving forward with  
13 putting this in place when the program was defunded. So that  
14 was one of the major things that has been recommended to us,  
15 and we do try to--we are hoping to get that completed this  
16 year.

17           I think Jim's ideas about forming partnership is a  
18 great idea, and I just hope we can do that with what we have.  
19 And maybe the project will grow and develop into something  
20 where we can do that. But with that--and he did talk about  
21 developing a full transportation program. We're just not  
22 prepared to do that right now with the people and the staff  
23 and the focus where we are.

24           But with that, I'll stop and let Earl--or if you  
25 have any questions for me.

1           EWING: So, quickly, are there questions from Board  
2 members? I have in mind at the end we'll have all three  
3 available for questions.

4           All right, thank you.

5           So we pressed into service in the hallway early  
6 this morning from NRC, Earl--I'll confess, I don't know your  
7 last name. It all happened so quickly. But we appreciate  
8 your being here, so introduce yourself, please.

9           EASTON: My name is Earl, Earl Easton. I'm with the  
10 U.S. Nuclear Regulatory Commission, and I'm in the Division  
11 of Spent Fuel Transportation and Storage. I've been there  
12 longer than I'd like to admit; started in 1982. I've had the  
13 great honor of attending all the state meetings since April  
14 28, 2004. You can ask me why that's an important date and  
15 remember that date later. But, I tell you, the NRC has found  
16 this very, very valuable. And let me give you a few reasons  
17 why we have found this interaction very, very valuable.

18           If you look at the safe transportation in the U.S.,  
19 you'll find it's a partnership. It's a partnership primarily  
20 between the Department of Transportation, who deals with  
21 carriers; NRC, who deals with packages; and states, who deal  
22 with state and local conditions. It's a partnership. We  
23 have to make sure all the partners know what each other is  
24 doing and hold each other accountable for those roles  
25 assigned. When you look at shipment of stuff like

1 transuranic to WIPP of our spent fuel to Yucca Mountain, you  
2 throw in another partner, DOE. DOE is both a regulator and a  
3 user, so sometimes they sort of have both roles. So it's  
4 important, we think, to get all these parties together to  
5 sort out the roles and hold each other accountable for each  
6 of their roles.

7           Be aware that commercial shipments are shipped  
8 differently than government shipments. Under the old Yucca  
9 Mountain plan, DOE had security responsibilities. If our  
10 licensee which are a public utility would ship, NRC has the  
11 regulatory authority. Sometimes this can be confusing to  
12 states. There's a dual system, although DOE committed to  
13 using the NRC or NRC equivalency, but a lot of times this is  
14 confusing to states. We are in the process of changing  
15 transportation security rules, so we try to go out and make  
16 sure the states allow and participate in that project.

17           This is a little disjointed just because it is.

18           Also, we have sort of piggy-backed on this process  
19 to enable us, the NRC, to proactively deal with the states.  
20 I give a lot of credit to DOE, who set up these groups. We  
21 didn't have a forum, really, to deal with states in  
22 transportation on a quick, effective method. We sort of  
23 honed in on it. We thought it was so valuable that when  
24 Yucca Mountain funding went away, the NRC actually jumped in  
25 and provided bridge funding to keep the groups viable. We

1 view it's that important.

2           One of the reasons--Jim mentions the NAS study,  
3 which was a comprehensive look, 2006, at transportation in  
4 the U.S. NRC, DOE, DOT were co-sponsors of that study, and  
5 we felt ownership of that study. So there were a lot of  
6 recommendations that came out of that study, and I'll pick  
7 three in particular that the NRC assumed ownership of. And  
8 that was security because for commercial shipments, that's  
9 ours; how does full-scale testing fit in, because we certify  
10 packages; and one of the recommendations was long-duration,  
11 fully-engulfing fires. They had some questions. So we have  
12 just done five, six years of studies on long-duration, fully-  
13 engulfing fires. They've all been put out for public  
14 comment. They're all being documented. They're all being  
15 finalized now.

16           Lastly, because I don't want to take up too much  
17 time, we have a lot of issues coming up. How are we going to  
18 license high-burnup fuel for transportation? If we change  
19 the way we license stuff, we want the state to understand  
20 that they are partners in the regulation of transportation.  
21 Waste confidence, which is an environmental impact statement  
22 that we have to determine what the impact is from long-term  
23 storage and subsequent transportation, we want to get the  
24 states involved. We may use this as a forum.

25           Also, we know that there are some activities on the

1 horizon such as Carlsbad. Carlsbad may very well propose an  
2 interim storage site. We will probably be the person who  
3 licenses it. But before we get to the licensing phase, we  
4 may want to have a series of public meetings. The NRC would  
5 support public meetings when it came to transportation and  
6 explaining the storage regulations.

7           So I just wanted to end up with a few notes, and  
8 these are sort of in response to the questions. I would  
9 rather have answered the questions and actually given a  
10 presentation from the ones you asked Jim. I found that  
11 working with all four State Regional Groups, each one has its  
12 own personality and each one has its own priorities. But  
13 there are a common core of priorities that they have come  
14 together and actually work out. But within their groups,  
15 they each have different priorities.

16           I found it particularly pleasing in the spring when  
17 the State of Oregon went out and did a series of public  
18 meetings within the state on transportation safety, and a lot  
19 of the material that was used is material that was supplied  
20 by the NRC and which we dialogued and explained. And so we  
21 sometimes would like to see more leverage so that the states  
22 understand our role and can talk to a more immediate  
23 audience. And so that's another value we look in this group.

24           With that, I'll sort of cut it off. I know we're  
25 running short of time.

1           EWING: Okay, thank you very much. But stay up front,  
2 and I'd like to ask the previous two speakers to join the  
3 panel, and then I'll open it up to questions. So first  
4 questions from the Board?

5           Okay. Questions from the staff? Yes, Doug.

6           RIGBY: Doug Rigby, staff. This is a question for Earl,  
7 NRC. I was wondering if in the environmental impact  
8 statement, this new work that's going forward now, you just  
9 mentioned that, in addition to extended storage, the  
10 subsequent transportation, is that an explicit part of that  
11 environmental impact statement, the transportation part?

12          EASTON: You're referring--

13          RIGBY: Your waste confidence--

14          EASTON: --to the waste confidence.

15          RIGBY: Right.

16          EASTON: I really--

17          EWING: Please identify yourself before you speak so--

18          EASTON: I'm Earl Easton with the Nuclear Regulatory  
19 Commission. I really can't get into many of the details. As  
20 you know, the Commission is now manning a separate group to  
21 do waste confidence and sort of strategizing what is going to  
22 be in there and at what level we assess the impact. And I  
23 can only say, as a commercial, stay tuned. And for the  
24 details we'll be doing scoping meetings, we'll be doing  
25 outreach meetings, and one of the things that we're looking

1 at is extended storage and does that have impacts on  
2 transportation. But this is primarily, I think, going to be  
3 focused on storage.

4 EWING: Yes, Efi.

5 FOUFOULA: Foufoula, Board member. So you mentioned a  
6 nice example of the Oregon state to understand the role of  
7 NRC. What role does Energy take to involve the states in  
8 that understanding?

9 EASTON: Well, the particular example is, the  
10 representative from Oregon that attends Jim Williams'  
11 meeting, Ken Niles, he was requested to do a series of  
12 meetings throughout Oregon on transportation of waste, mostly  
13 with Hanford. And so he actually called and asked certain  
14 questions, how would I explain it, what videos do I have,  
15 what presentation materials. I talked them over with him on  
16 the phone. This was part of his presentation. But that  
17 would not have happened, I would guess, if we hadn't  
18 proactively dealt with the states over a period of ten years.  
19 I mean, Ken first had to trust me that I was telling the  
20 truth; right? The videos I gave him, he had to be able to  
21 explain the context of those and believe those. So that's  
22 part of the role. We go out and explain what we do in this  
23 partnership. We also try to get the states to tell us what  
24 they do as part of the partnership. Did that answer--

25 FOUFOULA: Sure.

1           EWING: Are there are comments along the same line  
2 responding to that question from the others? You needn't,  
3 but just checking. Other questions from Board or staff?  
4 Yes, ma'am.

5           ZOBACK: Yeah, Zoback, Board member. There is a  
6 subtext--and I'm just going to ask the question since I'm new  
7 to the Board. Has DOE previously been providing the funding  
8 for the State Regional Groups? And now NRC is? Is DOE going  
9 to take that back up?

10          JEFF WILLIAMS: Okay, yeah. What's happened is, DOE  
11 initiated this in the 1980s, and we provided funds through  
12 these four groups and other groups as well. Indian tribes,  
13 which we would like to bring in, we just don't have the  
14 resources yet, but we're trying to figure out how to do that.  
15 But we did that from the 1980s through 2009 or '10, whatever  
16 it was, when the Office of Civilian Radioactive Waste  
17 Management was defunded with the withdrawal of the license  
18 application. When the Blue Ribbon Commission did their  
19 report, they stressed the importance of planning for  
20 transportation, and they stressed the importance of dealing  
21 with the states, and they encouraged DOE to start this  
22 cooperation back up.

23                   And so we did put that in place this year, July  
24 11th. We have now provided funds to four Regional Groups.  
25 We, the Southern States Energy Board, the people who would

1 have been here if they would have come. And so this is just  
2 something brand new we initiated, and then we had this kick-  
3 off meeting with them October 3rd and 4th. So that was our  
4 first reengagement with the people--

5 EASTON: And just so there's no misunderstanding about  
6 the NRC funds, when the OCRWM program disappeared and the  
7 funding went way down, the NRC viewed this as such a valuable  
8 resource that we sort of said, well, when will Jeff Williams  
9 be back in business? We guessed three years, so we fought to  
10 get three years of funding. It wasn't at the same level that  
11 these guys can provide, but we fought to get three levels of  
12 funding as a bridge, not loan but a bridge.

13 Now Jeff's back in the game, we'll sort of retreat  
14 to the sidelines. Because, remember, this was set up by DOE  
15 to coordinate DOE shipments, and we didn't want to crash the  
16 party and take over, you know, all that, so--

17 ZOBACK: No, but I think it's admirable that another  
18 federal agency would step up to do this. That's the kind of  
19 cooperation we need to see in government.

20 JEFF WILLIAMS: I did want to add one other thing.  
21 There is another part of DOE called the Environmental  
22 Management, who is responsible for WIPP shipments, who have  
23 also stepped in to kind of fill that void in the meantime.

24 JIM WILLIAMS: Just a quick comment. When our funding  
25 crashed in May of 2009, crashed to zero, our committee at

1 that time decided not to disband but to continue. And on the  
2 idea that just because the OCRWM program crashed, it does not  
3 mean that there aren't plenty of issues, some coming out of  
4 NRC, some coming out of others, that require attention and  
5 some response. And so we've kept in business over these  
6 three years. We are the same committee, same chair, same key  
7 members as we were three years ago; and in the interim, you  
8 know, I've been sort of in the uneasy position of working  
9 without funding, but it's been drawing on, you know, reserves  
10 and other kinds of catch-as-catch-can plus Earl's funding  
11 last year. So we've kept in business, and so this is a  
12 reactivation meeting, not a start-up.

13 ZOBACK: And I again want to applaud the State Groups  
14 for staying engaged in the problem over this transition.

15 EWING: So let me ask--actually, I want to be sure to  
16 let the public comment if they want, and I'll come back to  
17 you later.

18 So are there any questions from the audience? Yes.  
19 And please identify yourself.

20 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task  
21 Force. I think with this whole issue of transportation, once  
22 you get to the public, you're going to be hit with the  
23 question about how you're beginning at the middle or possibly  
24 even the end and not at the beginning; and they're going to  
25 want to know how you made the decision to transport at all.

1 Was it because somebody just said get this stuff out of here,  
2 or what was the reason for that? And how did health and  
3 safety of the public get enhanced because you transport it?  
4 And that's going to be something that the partnership, all  
5 the players, are going to have to answer; and you're going to  
6 have to answer it throughout the whole system and why that  
7 decision was made.

8         JEFF WILLIAMS: And I'd like to say that the decision  
9 has not been made. I mean, this was in the recommendation of  
10 the Blue Ribbon Commission, and they said that in the near--  
11 their recommendations were to move forward on interim  
12 storage, and their recommendations were to move forward on  
13 planning for transportation, get the continual repository  
14 program moving, and that a new organization should take over  
15 the responsibility for this and that in the near term the  
16 Department of Energy should do some initial planning. And I  
17 think, as you know, there has been no administration position  
18 yet on the Blue Ribbon Commission report, and there's been no  
19 public decisions. So in the near term--we're in the near  
20 term planning stages with the little bit that we can do at  
21 this point in time, so there's been no decisions made.

22         TREICHEL: Yeah, okay, just keep that in mind when you  
23 do decide.

24         EWING: Okay, thank you. And we have one last person  
25 here. This will be the last question.

1           HOFFMAN: Thank you, Mr. Chairman. Mike Hoffman. And I  
2 represent Lincoln County and White Pine County in Nevada.  
3 And I guess my question is just perhaps for any of the panel  
4 members. We heard earlier that the trust and confidence on  
5 transportation has a lot to do with trusting both our health  
6 and safety officials. The emphasis of this transportation  
7 plan is now and always has been on State Regional Groups.  
8 The BRC clearly recognized that local governments play a key  
9 role in getting a solution for radioactive waste management.  
10 I'm wondering if the three of you or any of you have thought  
11 about how to engage local governments, because they do not  
12 share the same opinions as their states, and oftentimes state  
13 benefits and state health and safety kinds of focuses do not  
14 trickle down to local governments. And I would think that  
15 the National League of Cities or the National Association of  
16 Counties might be good entities to bring into this process  
17 and get some local government perspective. I'm curious if  
18 you've thought about that.

19           EWING: Whoever answers, briefly, please.

20           JEFF WILLIAMS: I'd say, yeah, we certainly have thought  
21 about that. However, without a place to go and a decision on  
22 whether we're going, we have nowhere gotten near that point  
23 in time. However, with the possible potential focus of  
24 shipment from shutdown reactor sites, it is possible to  
25 better focus that and deal with the locals on that level of

1 routes out of that place. But we're just not to that point  
2 at all in this program.

3 EWING: And Earl from the NRC.

4 EASTON: We do have examples where we've reached out and  
5 tried to help more local communities. It's usually when  
6 we're asked to assist. I would cite an example in Wisconsin  
7 when they're shipping university fuel. And they were sort of  
8 bewildered by the security system, so we got a request in  
9 from the state, and what it ended up is we had a meeting with  
10 all the local law enforcement and emergency response people  
11 along the route. We got them all together in one location  
12 and went through the route, and everybody was allowed to ask  
13 questions and talk about resources. And we support that, but  
14 we have a finite budget, which is funded by license fees, and  
15 it's impossible for us to go out to every locality. That's  
16 one of the reasons we picked on the State Regional Groups,  
17 because they're already in existence, they're a cheap  
18 resource for us because they're already there, and we sort of  
19 depend on the states sort of doing the next level of outreach  
20 and getting back to us with requests.

21 Now, I understand states have a split personality,  
22 and I mean that in a good sense. We're partners with states;  
23 we're co-regulators in transportation. But we realize there  
24 are some states involved in licensing actions: PFS, Private  
25 Fuel Storage, in Utah, Yucca Mountain in Nevada. So

1 sometimes their state representatives take on different  
2 roles, and sometimes they are hard to distinguish.

3           But these State Groups are really to focus on the  
4 cooperation, the partnership, from the NRC point of view,  
5 because we have a process to do licensing. So I know  
6 sometimes, I guess, some localities and certain areas sort of  
7 get neglected, if you will.

8           EWING: This is the closing comment.

9           JIM WILLIAMS: Well, Mike, I take your point, and I  
10 think we need to do more of that. I also point out that at  
11 this meeting last week we had representatives there from Nye  
12 County and from Eureka County in Nevada, and they were  
13 participating throughout.

14           EWING: All right. I'd like to thank our panelists,  
15 particularly those who were pressed into service,  
16 particularly Earl. I have the feeling he was just passing  
17 down the hall. No, this has been excellent and, I think, to  
18 everyone's benefit. To those who may have additional  
19 comments or questions, I'd remind you that we have time at  
20 the end of the day for further discussion. So thank you very  
21 much.

22           So the next presentation is by Monica Regalbuto,  
23 Deputy Assistant Secretary for Fuel Cycle Technologies, and  
24 she'll be providing an update on activities of the Office of  
25 Used Fuel Disposition.

1           REGALBUTO: Good morning. I am very pleased to be here  
2 speaking to you about the recent activities of the Office of  
3 Used Fuel Disposition. A special welcome to all the new  
4 Board members. We do look forward to working with all of  
5 you. And I particularly want to acknowledge the NWTRB, DOE,  
6 NRC, and other federal agency staff, which really are the  
7 group of individuals who bring continuity and corporate  
8 knowledge to our programs. We would not be where we are  
9 today without the hard work of these individuals, as we have  
10 gone through so many changes over the years--well, not that  
11 many years, I guess. It seems like a lot of years--over the  
12 last couple of years.

13                   Just as a little background--and I know the  
14 previous panel touched on this--when the Office of Civilian  
15 Radioactive Waste Management was terminated, its functions  
16 were relocated to various DOE offices. Specifically, the  
17 research and development functions were transferred to the  
18 Office of Nuclear Energy. Other functions were transferred  
19 to the Office of General Counsel, Office of Legacy  
20 Management, Office of Environmental Management, and so on.  
21 So what you're looking today are the functions that were  
22 transferred to NE, but there are other pieces of OCRW that  
23 are in various sections of DOE. So just keep that in mind.

24                   In this slide we show the latest organization of  
25 the Office of Nuclear Energy. The research and development

1 functions are located in the Office of Used Fuel under the  
2 Fuel Cycle Program, which I lead, and you will see that we're  
3 NE-5. Planning Projects is shown in the little dashed box,  
4 and we'll elaborate a little bit more on that. And then the  
5 NE-53, which is the Office of Used Fuel, it's the research  
6 and development area.

7           Moving us a little bit forward--before I go there--  
8 I'm sorry, I moved too fast. We also have an area embedded  
9 in here, which is the NEUP programs, which is the Nuclear  
10 Energy University Programs. Some of you may be familiar.  
11 That is an independent part from my organization, which is  
12 NE-5, where we run the university program to--you know, we  
13 normally take 20 percent of all of those budgets and move it  
14 into the university program, and that's a competed (phonetic)  
15 program that is run every year. We have integrated research  
16 areas. Those are bigger grants. And that's where we go and  
17 select new ideas from the university community.

18           The Fuel Cycle Technologies Program seeks to  
19 balance both near-term and long-term objectives. The near-  
20 term objectives are listed on the left-hand side for you, and  
21 those are listed in the red box. In that area we support the  
22 nuclear power of today. Specifically, we address two big  
23 areas. One is storage and disposal of high-level waste and  
24 used fuel, and the other one is accident-tolerant fuels,  
25 which is a program that we initiated after the Fukushima

1 events.

2           On the right-hand side you're going to see the  
3 longer-term programs, and in that we focus on alternative  
4 nuclear energy systems of the future. Specifically, we look  
5 at different cycle options. We have a system study that is  
6 currently underway. We finished Phase 1 for that. In Phase  
7 1 we looked at different parts of fuel cycles for the future.  
8 Phase 1 did not include the repository waste forms. Now  
9 we're starting Phase 2, which includes waste forms and  
10 repository; and we are looking at all those options. The  
11 main emphasis on the long-term is to increase resource  
12 utilization and reduce the quantity of long-lived radiotoxic  
13 elements in the used fuel that will be disposed in the  
14 future. Both of these activities are conducted while we  
15 manage proliferation risk, but, for sure, the biggest  
16 challenge of today is used fuel disposition.

17           So let me bring us back to since the last time we  
18 met. We have done some restructuring in NE-5 organizations,  
19 specifically in support of used fuel. And we did this to  
20 better address the program needs related to planning projects  
21 and research and development. You see the consolidated  
22 storage project team showed in the green dotted on the right-  
23 hand side. That is focused on develop design concepts for  
24 consolidated storage facilities; prepare for large-scale  
25 shipping campaigns to centralize storage facilities; and

1 evaluate system architecture alternatives. Both Mark Nutt  
2 and Jeff Williams will be discussing this in a little bit  
3 more detail in the next two talks. And this Planning  
4 Projects is headed by Jeff Williams, who was here in the  
5 panel.

6           In the R&D Office, it continues to be led by Bill  
7 Boyle, and Bill is sitting in the fourth row to my left. And  
8 the focus is to develop technical basis for extended storage,  
9 which some of you were discussing in the previous panel;  
10 develop technical basis for transportation of high-burnup  
11 fuels, which is also an area of great focus for us; and  
12 evaluating the different repository alternatives. Both the  
13 Planning Projects and the R&D activities are carried under  
14 current legislation and budget framework and are recognized--  
15 they are fundamental to the nuclear waste program.

16           And this is just a quick summary. Many of you know  
17 this better than many of us. Nuclear power is an integrated  
18 part of the administration, all of the above energy  
19 strategies. It provides approximately 20 percent of the  
20 nation's electricity supply; and of the total electricity  
21 supply, 60 percent if the emission-free comes from nuclear.  
22 We have about 104 operating plants, all running at about 90  
23 percent average capacity factors; and most of those plants  
24 are expected to apply for license renewal for the next 60  
25 years of operation. There is an expected U.S. electricity

1 demand projected to increase to about 24 percent by 2030.  
2 And there are representatives from EPRI and NEI in the  
3 audience if you would like to discuss a little bit more  
4 details towards the role of nuclear energy in our energy  
5 portfolio.

6           But each year the U.S. plants produce approximately  
7 2000 metric tons of spent fuel. The estimated inventory by  
8 the end of this calendar year is about 70,000 metric tons of  
9 used fuel stored in pools or dry storage. About 27 percent  
10 of that is stored in dry. And that is projected to increase  
11 and grow to about 88,000 metric tons by the year 2020. The  
12 current policy of used fuel is direct geological disposal,  
13 and at least one repository is needed.

14           The Office of Fuel Cycle Technologies is concerned  
15 with all aspects of the fuel cycle, you know, cradle to  
16 grave, minus the reactor. So that's what my office does. We  
17 go all the way from mining and milling to conversion,  
18 enrichment, fuel fabrication. Anything related to the  
19 reactor as part of what we call NE-7 Portfolio is led by John  
20 Kelly and is on the first org chart that I showed you. And  
21 then we have the two back-end facilities. The current fuel  
22 cycle in the United States is an open but incomplete fuel  
23 cycle. As of today we are missing two categories of  
24 facilities shown in the red box, one for consolidated interim  
25 storage and the others for final waste disposal.

1           To develop a U.S. path forward, a used fuel managed  
2 strategy is needed, and I think all of us in this room  
3 recognize that. The BRC provided recommendations to help  
4 guide the management of used nuclear fuel and also for fuel  
5 cycles of the future. In addition, it affirmed the need to  
6 conduct research and development on these advanced fuels that  
7 represent advantages to today's open fuel cycle strategies.

8           Much has happened this year, and that's why it  
9 feels like many years to me. Most notably, the Blue Ribbon  
10 Commission issued its report in January. The main  
11 recommendations are listed in this slide for reference. I do  
12 not plan to read them all, but I will shared with you that we  
13 have closely read the report and paid attention to these  
14 recommendations. These recommendations have led to the near-  
15 term program shifts that I just described to you and  
16 potential restructuring in the long run as the new federal  
17 corporation or federal agency gets standing. While we're  
18 still in the midst of fine-tuning our strategy, work  
19 continues and is being initiated in areas which are essential  
20 for us to move forward.

21           Specifically, the BRC confirmed the importance for  
22 the Department of Energy to continue its work in the used  
23 fuel program as we gel together with this new strategy. Our  
24 activities that are underway in our Office which address  
25 issues raised by the BRC to move us forward, we have

1 activities--and you heard a little bit about it in the first  
2 panel--beginning laying the groundwork to implement  
3 consolidated storage; begin providing funding for stake  
4 holders in preparation of the movement of spent fuel from  
5 shutdown reactor sites to this consolidated storage; and we  
6 also have activities related to keeping the repository  
7 program moving forward through valuable non-site-specific  
8 activities, including research and development on geological  
9 media and work to design improved engineering barriers.

10 Oh, what happened? Well, I will just describe to  
11 you this arrow figure, and I hope it printed out in your  
12 package that you have more than an arrow. So those of you,  
13 there are copies in the back if you would like to see the  
14 figure. It's page 10.

15 Okay. So for the balance of my presentation, I  
16 would like to focus on ongoing activities on the various used  
17 fuel disposition program areas. If you have a paper copy, on  
18 the left-hand side there are three boxes, and those describe  
19 our three program areas; that is, storage, transportation,  
20 and disposal. All three of these program areas have a  
21 research and development component. So when OCRWM went away,  
22 everything was lumped into this R&D portion. And it wasn't  
23 clear, you know, how storage and transportation non-R&D  
24 activities were being managed. So this year we are  
25 restructured to make that more clear to everybody and help

1 us address the BRC near-term recommendations; and we created  
2 what you see on the right-hand side if you have the paper  
3 copy, which is the nuclear fuel cycle storage and  
4 transportation near-term planning projects, which is the new  
5 Office that Jeff Williams is coordinating, and Bill Boyle  
6 remains coordinating the research and development activities.

7           What I will do first is cover the project  
8 activities for storage and transportation, and then I will  
9 cover all the research and development activities at a high  
10 level in all three program areas: storage, transportation,  
11 and disposal. The next two talks will focus a little bit  
12 more on the specific details of some of these programs. Some  
13 of you have heard some of our R&D portfolio on disposal, but  
14 we can do that at a later date. And Bill is here if you  
15 would like to talk to him at lunch time or during the breaks.

16           So this is at a high level. In the area of  
17 transportation we heard in detail today--and, just to recap,  
18 the objective is to ensure the implementation of a staged,  
19 adaptive, consent-based transportation of spent nuclear fuel  
20 and high-level waste. It implies re-engagement with regional  
21 groups, as the groups shared with us this morning, and  
22 employing successful approaches from past experience, for  
23 example WIPP, this objective alliance with the BRC  
24 recommendations shown in the textbooks, which is development  
25 of routes from shutdown reactor sites in a collaborative

1 manner. So I don't want to go too much in detail, because  
2 you heard about it this morning.

3           Some of the specific activities is developing a  
4 planning report for the shipment of stranded fuel from  
5 shutdown sites to a consolidated interim storage facility,  
6 and Jeff Williams will cover this in his presentation. The  
7 panel also mentioned the fact that we were truncated on that  
8 Nuclear Waste Policy Act 180(c) policy regarding how we  
9 finance and provide technical assistance to states along  
10 transportation routes, and we will continue this effort now  
11 that we are restarting these activities. Development of  
12 communication products; complete assessment of transportation  
13 hardware, which we did not discuss in detail today, but this  
14 implies casks, rail cars, support, security, and so on. And  
15 this we do in cooperation with NRC.

16           In the program area of storage, the objective is to  
17 begin laying the groundwork to implement consolidated  
18 storage: Build on previous DOE work and also, very  
19 important, industry storage licensing efforts; evaluate  
20 design concepts for consolidated storage; develop  
21 communication packages for use with potential host  
22 communities which describe various attributes of these  
23 storage facilities; initiate development of consent-based  
24 process through a siting process; evaluate the benefit of a  
25 programmatic environmental impact statement; and evaluate

1 system benefits of standardized packaging, which is, again,  
2 an area of quite a bit of importance to us. So those are the  
3 activities that we have on the planning projects. Those tend  
4 to be more heavily focused on interaction with community-  
5 based groups, industry, and so on.

6 I am going to jump to the research and development  
7 area. And the area of storage and transportation is not all  
8 planning projects clearly. There is still an R&D component  
9 in this area, and the objective is to prepare for, again, the  
10 eventual large-scale transportation of spent fuel and high-  
11 level waste. We have significant efforts to develop the  
12 technical basis for a number of items: extended storage of  
13 used nuclear fuel, fuel retrievability and transportation  
14 after periods of extended storage, transportation of high-  
15 burnup used nuclear fuel, and better understand potential  
16 degradation mechanisms in long-term dry cask storage,  
17 including identification of data gaps to support license  
18 amendments beyond 40 years of dry storage, continue material  
19 testing to support modeling and simulation of used fuel  
20 again, and participate with industry and others on full-scale  
21 storage demonstration of high-burnup used fuel. And this is  
22 a very important activity with us that we're in the process  
23 of putting it together.

24 In the area of disposal, there are three overall  
25 objectives: Provide sound technical basis for the assertion

1 that the United States has multiple viable disposal options;  
2 increase confidence in the robustness of the generic disposal  
3 concepts; and evaluate the BRC recommendations for developing  
4 a near-term plan for taking the borehole disposal concept to  
5 the point of demonstration.

6           Some of the current research and development  
7 activities in the area of disposal are listed here. We focus  
8 on increasing confidence in generic disposal concepts, and  
9 Peter Swift is our lead in this area, and he is also here in  
10 the audience if you would like to discuss with him. And I  
11 forgot to mention John Wagner is from the laboratory  
12 community, and he is assisting on the planning projects. As  
13 part of this increased confidence in the generic disposal  
14 concepts, we plan to evaluate engineered barrier systems for  
15 mined repositories in salt, crystalline rock, and clay/shale.  
16 And some of you may have heard some of Peter Swift's  
17 presentations and Bill Boyle's presentations in the past  
18 addressing these items. Enhanced understanding of natural  
19 system performance, specifically groundwater flow and  
20 radionuclide transport in geological media; integrating  
21 repository design concepts and host rock geology through  
22 thermal load management. We have had some presentations of  
23 that in the past, too.

24           So I just want to emphasize that in addition to the  
25 domestic, what I call, R&D activities in disposal, we have

1 also leveraged international collaboration. We are very  
2 pleased that, you know, we have re-engaged formal  
3 collaboration in research and development in programs in  
4 Europe and Asia. While the U.S. was focused on YMP for a  
5 number of decades, there was progress being made in the  
6 international community in other media. Some of the specific  
7 collaborations are currently ongoing. We joined the  
8 underground research laboratory with Mont Terri in  
9 Switzerland. This gives the Department of Energy access to  
10 data from all Mont Terri R&D and also the opportunity to  
11 conduct new experiments in their facilities.

12           We also rejoined the Grimsel granite underground  
13 research laboratory in Switzerland, and this allows us to get  
14 a better understanding of generation rate and interactive  
15 mechanism for colloidal formation.

16           In addition, in the spring of 2012--just recently--  
17 the development of coupled models and their validation  
18 against experiments, Decovalex, which is an international  
19 organization that started Phase 2 of their projects, and we  
20 are partnering with them and starting with them in this  
21 enterprise. And starting in 2013 the KAERI Underground  
22 Research Tunnel activities, we're starting their  
23 collaboration next year.

24           We're also looking forward towards the Aspo Hard  
25 Rock Lab in Sweden. We're just in the process of finalizing

1 our agreement, and I thank Idaho operations for assisting  
2 this in all the procurement areas that we have to do with  
3 this international community. Bill Boyle, as I mentioned, is  
4 here; and if you'd like more details on this international  
5 collaboration, he'll be happy to discuss with you.

6           Just some closing remarks. The Office of Fuel  
7 Cycle Technologies is committed to the development of used  
8 fuel waste management strategies. As Jeff mentioned, we are  
9 not where we used to be in terms of waste management. We are  
10 not OCRW. Some of the functions went to different parts of  
11 DOE. We do have the main R&D and the project planning  
12 component of the disposal of used fuel.

13           The Used Fuel Disposition program is laying the  
14 foundation for the development of storage, transportation,  
15 and disposal options, but clearly we have to do it under the  
16 current legal framework that we can only operate today until  
17 things change; right? Project plans are closely tied up with  
18 BRC near-term technical recommendations, and we continue to  
19 adjust in order to meet our changing priorities. So we are  
20 very open to feedback. We are very open to new ideas,  
21 because we are in the process of moving along. And I think  
22 one of the things that will happen over the years is this  
23 process--we'll always be learning from new areas that we keep  
24 on learning.

25           Projects are underway to address key issues. Some

1 of these activities will eventually move to the new  
2 single-focus organization; some may not. At this point, you  
3 know, we are being as flexible as we can be, but we're also  
4 becoming very focused so that the activities that we do will  
5 support the next organization, whatever that organization  
6 happens to be. And we're trying to be good stewards of the  
7 money and the funding that we are provided, and we're  
8 grateful for that.

9           So, with that, I'll entertain any questions you may  
10 have.

11           EWING: Okay, thank you very much. Questions? Linda.

12           NOZICK: Nozick, Board. Monica, you talked about under  
13 the NFST project the idea of communication products. That's  
14 a very valuable endeavor for a whole lot of reasons.

15           REGALBUTO: Yes.

16           NOZICK: I was wondering, what's the process you go  
17 through to identify what those products exactly should be and  
18 then how you evaluate their effectiveness.

19           REGALBUTO: There was a previous experience when the  
20 Nuclear Waste Policy Act first was initiated before the  
21 amendment came in. There are still a group of people--right  
22 now they are located in the Office of General Counsel--which  
23 used to be part of OCRW. They used to put together these  
24 packages to the communities. In general, you know, one has  
25 to go and address what is the community interested in

1 hearing. Normally they want to hear about the risk. First  
2 of all, they want to know what is it that you're trying to  
3 build, you know, what is it that you're proposing to bring to  
4 my community. So some are preconceptual designs, which is  
5 one of the areas, for example in intra-storage (phonetic),  
6 that we have, I think, three funded organizations that are  
7 bringing some of those designs so we can explain to the  
8 public what is it you're trying to build. We have to explain  
9 the risk associated with these facilities that they are and  
10 then address any concerns that they may have in order for us  
11 to present a communication package. So it's an interactive  
12 approach. It's not like fact sheets, you know, that doesn't  
13 work.

14 NOZICK: So it's operated out of what office? I'm not  
15 sure I heard that.

16 REGALBUTO: Well, some of the team members from the past  
17 right now are working for General Counsel. So, you know, we  
18 have people from the former OCRW that are throughout the DOE  
19 system. So we will regroup whoever--

20 NOZICK: So you're going to reorganize who is doing  
21 these packages?

22 REGALBUTO: Yes, yes.

23 NOZICK: Because, I mean, it's a very critical--

24 REGALBUTO: Yes. And it's important--Jeff, you want to  
25 add something?

1           JEFF WILLIAMS: Yes.

2           REGALBUTO: I see you going like this.

3           JEFF WILLIAMS: Jeff Williams of the Department of  
4 Energy, I just wanted to add, this is something that's been  
5 put on our plate as, you said, a very important item to do;  
6 however, we have not even initiated this. For FY13--we don't  
7 have our funds for FY13; however, this is something that we  
8 definitely do want to focus on. It's something that the Blue  
9 Ribbon Commission recommended the importance of, and they're  
10 the type of things that Monica just talked about.

11          REGALBUTO: So we're in the thinking process, not in the  
12 execution process, because we don't have a budget. But we  
13 can be proactive and start thinking what is it that we're  
14 going to need so when we get the funding we're ready to go.

15          NOZICK: Okay, thank you.

16          EWING: Steve.

17          BECKER: Steven Becker, Board. I'd like to follow up on  
18 that. I too agree that the communication component is  
19 critically important. In the past several years the federal  
20 interagency Nuclear/Radiological Communication Working Group  
21 has done a great deal of research on radiation communication,  
22 radiation-related communication, and I'm just wondering if  
23 there are plans to interface with that body to take advantage  
24 of the research that's been done.

25          REGALBUTO: We do plan on those communication packages

1 to include other federal agencies. You mentioned one of  
2 them, which is significant. NRC is another one. EPA is  
3 another one. We do have to have a complete set of items,  
4 because it's not just about DOE; right?

5 BECKER: Yes.

6 REGALBUTO: It's about all the other federal agencies  
7 and all the different stakeholders that do have a say in this  
8 process.

9 BECKER: So the CDC has also done a great deal of  
10 research.

11 REGALBUTO: Yes, the CDC, exactly. So, you know, there  
12 is a number of them out there, and for that we do need to  
13 have a budget. But that doesn't prevent us from starting to  
14 brainstorm what is it that we need to do and who do we need  
15 to engage with.

16 BECKER: And may I briefly follow up on a question I  
17 asked earlier? With respect to the 180(c) process, are there  
18 plans for including local and state health departments?

19 REGALBUTO: The plan is to include both state and local.  
20 As the panel was mentioning first, you know, the Regional  
21 Groups are the first reaching activity that we have, because  
22 it's organized and, you know, when you go to local, who local  
23 is. Under our current framework, we cannot predispose that  
24 their specific community is going to be that local community.  
25 So it kind of puts us in a little bit of a bad situation. We

1 can do it on a voluntary process. If a local community wants  
2 to come to participate, they're welcome. But I cannot go and  
3 reach to a local community on the premises that they have  
4 been preselected because there has been no preselection  
5 process. So on a volunteer basis is different. You know, we  
6 are under a legal framework still.

7 EWING: All right, Lee.

8 PEDDICORD: Yes. Peddicord. Board member. You had  
9 mentioned the current and expanding international  
10 collaborations you're developing, which I think sound  
11 extremely positive. My question is: Will those include  
12 accessing any data information available on high-burnup fuel  
13 and those issues I've identified with storage and  
14 transportation?

15 REGALBUTO: I'd have to ask--Bill, is high-burnup fuel  
16 part of the portfolio, or is it only on the disposal and  
17 repository geological sciences?

18 BOYLE: William Boyle. DOE. The slide you showed, that  
19 was all disposal-related. But we do participate in the  
20 extended storage program, ESCP people call it. And it's  
21 focused, in part, on high-burnup fuel. So there are  
22 international participants in that as well.

23 REGALBUTO: And, you know, we also have the industry-led  
24 effort on that, which we're still in the planning stages, you  
25 know, where we plan to lower cask and follow it for ten

1 years. So that is on the--but that is more on the domestic  
2 side, and we're working with the utilities on that.

3 EWING: Okay. Sue.

4 CLARK: Clark, Board. I wanted to shift the focus a  
5 little bit and just ask you, for the education of the Board,  
6 can you just talk at a high level about the interface between  
7 DOE, NE, and the programs you talked about and then DOE-EM.

8 REGALBUTO: Yes.

9 CLARK: And then my second question is specifically on  
10 your Slide No. 3 and the balance between current power today  
11 and then future power. What can you say more about that  
12 balance in terms of dollar amounts or how you're thinking  
13 about that?

14 REGALBUTO: Okay. So the first question regarding our  
15 involvement with EM, we have a very, very close collaboration  
16 with the Office of Environmental Management. My previous job  
17 was with them, so we work together. A special interest, for  
18 example, is waste forms coming out of the defense program,  
19 which currently now are scheduled to meet YMP disposal  
20 standards; right? And Yucca is no longer being funded. You  
21 know, where does that leave us in terms of glass? Do we have  
22 more room for different types of formulation? Those are all  
23 of the exploratory, you know, level. But it does impact;  
24 right?

25 We also work very close with WIPP; okay? WIPP is

1 the only working geological repository in the world as of  
2 today, and the lessons learned from WIPP are incredibly  
3 important to us. Not showing in here, you know, is always  
4 the issue of GTCC waste, which also comes out of the  
5 decommissioned sites. We not only have high-level waste,  
6 we've also got GTCC, which also needs to be addressed. GTCC  
7 falls under EM. It's always been under EM. But we've  
8 closely worked, because in this case we're the generators  
9 instead of EM being the generators. So we do work very close  
10 with them.

11           You know, some of the back-end technologies--some  
12 of them have been developed by NE in the past, and they  
13 actually have been implemented in the field by EM. Sometimes  
14 EM develops technologies, and we implement them in NE, so  
15 it's a two-way street. Scientists usually are the same  
16 folks, and we are in the process, for example, of having one  
17 separations roadmap for the whole department, which also  
18 includes NNSA in their radioisotope production area.

19           So we are, you know, consolidating more of our  
20 resources together, because we do all benefit, and we do have  
21 a limited amount of actinide chemists in the system,  
22 unfortunately, and all three of us, including Office of  
23 Science--that would be four--tax under the same resources.  
24 So better coordination is much better for the whole  
25 department.

1           Your second question was related to energy of today  
2 and energy of tomorrow, which is shown in the green. These  
3 are near-term activities, you know, clearly driven by, one,  
4 do we want nuclear to continue to grow. We have a problem  
5 today; that's used fuel disposition. Accident-tolerant fuels  
6 came in after the events in Fukushima. The Senate has taken  
7 a strong point in that. And in that I have to maybe  
8 elaborate a little bit more, because it's just a box in  
9 there; but, you know, we can talk about it later on.

10           In accident-tolerant fuels we have two parts; okay?  
11 One is development of fueling cladding. We have very nice  
12 IRPs that we sent to the universities. Two of them were  
13 awarded this year with really, really a good focus on  
14 passivation layers, for example, for Zircaloy cladding, some  
15 proposed development of new fuels. It's all of the above. I  
16 call this a drag and drop on the current LWR fleet, so we're  
17 not planning to replace the fuel. It's just--I mean, to  
18 replace the reactor. It's just replace the fuel. In John  
19 Kelly's program, NE-7, they concentrate on the off-battery  
20 part of these accident-tolerant fuels, the generators, the  
21 loss of power, and so on.

22           In the right-hand side is what we view as the  
23 traditional program, if you want to call it that way. That  
24 is the traditional fuel cycle R&D portfolio. One way that I  
25 like to capture that is, the base of designing a new reactor

1 in isolation of the front end and the back end, in my  
2 opinion, are over; okay? It's not about building the most  
3 spiffy, nice machine that can do whatever you want and do a  
4 local optimization on that machine. It really is to address  
5 an energy system which is cradle to grave. So make better  
6 use of your resources and generate less radiotoxic waste on  
7 the back end. So maybe you go a little bit more into a  
8 burner-type reactor, closed cycles that produce less risk-  
9 based type of waste forms.

10 In terms of--you're asking about the funding.

11 CLARK: Well, the balance between those two boxes.

12 REGALBUTO: The balance between the boxes--on this side,  
13 you know, obviously all former OCRW type of activities are in  
14 here. Accident-tolerant fuels is--you know, it's roughly  
15 \$15,000,000 if you want to call it that way. It's  
16 distributed between industry, universities, and some national  
17 labs, different costs, you know, for that development. It's  
18 a big industrial engagement in this one.

19 These are more R&D type of activities. I did  
20 mention the system studies, for example. That is one that we  
21 are awaiting results for the next two years, which will guide  
22 the determination of R&D dollars in there. Many of the  
23 activities that come from the right-hand side, for example in  
24 fuels, that learning has been utilized in accident-tolerant  
25 fuels, so some of them, metallic fuels for example, are

1 imports from the other side.

2           In terms of funding requirements, we do go through  
3 our prioritization process. We don't just say, hey, you take  
4 50, you take 50, you take 25. That's not the way we do it.  
5 What we do is we have an integrated prioritization list.  
6 Each of the areas put together their prioritization list;  
7 there is a discussion based on current needs and current  
8 political pressures; and base it on what we need to move  
9 forward regarding near-term--a balance between near-term. We  
10 create a master integrated prioritization list, and then,  
11 depending on the funding that we have, we go through those  
12 activities. If we get more funding, is the next one coming  
13 off the list; if you get less funding, you got to take off.  
14 In addition, you have to take into consideration some of  
15 these activities are three- or four-year activity years. So  
16 if we know we're not going to get support, we cannot get it  
17 started.

18           So that's how we balance. It really is done by  
19 prioritization.

20           EWING: Last question is Paul's.

21           TURINSKY: Yeah. Turinsky on the Board. Monica, one of  
22 the BRC reports wants this away from reactor storage. Can  
23 you take me through how the decision will be made whether to  
24 move forward on that recommendation and the timeline for  
25 building it?

1           REGALBUTO: On reactor storage?

2           TURINSKY: On away from reactor storage, consolidated  
3 storage.

4           REGALBUTO: Yes. Consolidated storage, you know, is  
5 currently very limited on the Nuclear Waste Policy Act. We  
6 can plan; we can, I think, build; but we cannot open it until  
7 the repository is open. So that's going to take a change in  
8 the law. Unfortunately, you know, this is beyond our  
9 control. It has been addressed by some of the proposals in  
10 the Senate. Jeff is going to discuss that in detail, looking  
11 at the stranded sites first and then looking at the other  
12 sites. So if you'd like to hold your question, Jeff's  
13 presentation is going to cover how we go about that.

14          TURINSKY: Well, I was interested in the decision-making  
15 process.

16          REGALBUTO: The decision-making process, we recognize  
17 that because the repository program is on hold, we understand  
18 that there will be a need for consolidated storage; but right  
19 now we do not have the power to build one because of the  
20 current framework that we have to work in. So the law will  
21 have to change in that case. We will plan activities; we  
22 will say what we need to do and, you know, how a proposed  
23 facility will look like; but as a proposed facility,  
24 conceptual at this point. We don't have authority to go  
25 forward in any of those. But, you know, I always say that

1 doesn't stop people from thinking. So we can think; we just  
2 cannot execute at this point.

3 EWING: Okay, last question, Efi.

4 FOUFOULA: Foufoula, Board. So in addressing the BRC  
5 recommendation for borehole disposal, what are the  
6 implications probably long-term on the whole fuel cycle  
7 package--

8 REGALBUTO: Borehole disposal has been around for a  
9 long, long time; right? And, you know, there are people who  
10 like the concept, and there are people who don't like the  
11 concept. One of the things that we tell ourselves, first,  
12 is, you know, there are new technologies for drilling that  
13 have not been addressed. Sandia National Laboratory actually  
14 invested their own funds in putting together the most updated  
15 information on, you know, drilling technologies and so on.  
16 It was part of the laboratory research and development  
17 dollars that they have discretionary ability to use. So that  
18 was a very good start.

19 Obviously borehole disposal, you're talking 70,000  
20 metric tons; right? That does not mean that, you know, that  
21 we'll start advocating boreholes all over the United States.  
22 But there may be certain types of fuel whose characteristics  
23 may be conducive for a borehole. So what we're trying to do  
24 right now is give borehole a fair chance. A lot of people  
25 argue about boreholes, but there is no data to say yes or no,

1 is it even doable?

2           So, you know, I think while my colleagues--Bill  
3 Boyle mentioned in the past, look, we study every single  
4 geological type of form, but we haven't really put any  
5 emphasis on boreholes to really say, here's the data to  
6 support that. And that's where we are right now.

7           EWING: So I'm going to--I realize there are still a few  
8 questions, but we have to pay a little bit of attention to  
9 the schedule. So I'll call this session to an end. If you  
10 have questions, Monica is still here; so please take  
11 advantage of her. And we'll reconvene at 10:15.

12           Okay, thank you very much to all of the speakers.

13           (Pause.)

14           EWING: The next speaker is Mark Nutt, Deputy National  
15 Technology Director, and he'll be discussing used fuel  
16 disposition system architecture study.

17           Mark, it's all yours.

18           NUTT: Thank you. Thank you for the opportunity to talk  
19 to the Board about this.

20           First, I'd like to acknowledge that I'm not the  
21 only one that participated in this effort. We had a team of  
22 people from Argonne, Sandia, Oak Ridge, and Savannah River  
23 National Labs. If I would have put all their names up on  
24 this cover sheet, it probably would have filled the whole  
25 thing. So it's been a large, multi-lab team effort to pull

1 this off.

2           Used nuclear fuel system analyses of the types that  
3 involve oxide storage have been done before, primarily in the  
4 '90s when monitored retrievable storage systems and  
5 multi-purpose canisters were being considered to augment  
6 disposal at Yucca Mountain. Well, since then conditions have  
7 changed since those analyses were completed, and they need to  
8 be updated based more on current situation, which is the  
9 utilities have loaded, as Monica indicated, a large number of  
10 canisters into dry storage and continue to do that. And  
11 there is now consideration of different geologic environments  
12 that potentially affect waste packaging sizes. The need to  
13 do these types of system analyses have been recognized by  
14 both the Board and by the Blue Ribbon Commission in their  
15 final report to Congress, so we've started on those analyses.

16           Before I start discussing them, there's some  
17 insights that were gained prior to and during these analyses,  
18 and assessing the feasibility of direct disposal of the dual-  
19 purpose canisters and activities related to implementation of  
20 standard canisters are underway. There are potential  
21 benefits associated with each; however, there's uncertainties  
22 regarding whether they could be implemented, when they would  
23 be implemented, and what the benefits would be when  
24 implementation would occur. Regardless, there is legacy,  
25 single-purpose, and dual-purpose and continued use of dual-

1 purpose canisters at reactor sites is underway, and those  
2 canisters will still have to be managed.

3           When we're referring to a system within the  
4 discussion today, we're talking about all the facilities and  
5 all the operations at reactor storage to ultimate disposal in  
6 a repository; so when you hear me talk about the system today  
7 or the waste management system, that's what I'm referring to.  
8 And how this system is operated will really influence the  
9 design and operation of downstream facilities. There's  
10 approximately 30 different vendor designs that are being  
11 loaded, both vertical and horizontal designs, and how this  
12 inventory and mix of canisters would evolve in the future  
13 depends on how the used fuel is managed at reactors. This  
14 essentially defines the boundary condition for what has to be  
15 dealt with down the road, and I'll talk more about that  
16 later.

17           The facility concepts you could put in place would  
18 depend on several different variables, for example,  
19 acceptance rates, start dates for acceptance when we start  
20 picking it up from the reactors, and how the used fuel would  
21 be managed at the reactors and when it would start to be  
22 picked up. One of the considerations that we looked at this  
23 year that's on the box below, the comparison, is whether to  
24 put everything in canisters at the reactor and transport it  
25 off-site; or when a storage facility becomes operational and

1 fuel acceptance begin, to keep some of that fuel as what we  
2 call bare fuel or uncanisterized fuel, transported in  
3 reusable transportation casks. There's trade-offs associated  
4 with the two, and the question is what are any system-level  
5 benefits that could be achieved by one over the other.

6           So our objectives are really to obtain quantitative  
7 information and insight regarding these and other  
8 considerations that can be gained with an analysis of  
9 integrated disposal system architecture. The objectives are  
10 to develop the tools, capabilities, and apply them to  
11 quantitatively evaluate a range of potential used fuel  
12 management system architecture alternatives. Flexibility is  
13 going to be a key part of our analysis, what system  
14 architectures allow for flexibility and which ones become  
15 more rigid, essentially what conditions lock in--or what  
16 scenarios lock in conditions that couldn't be undone later,  
17 what scenarios allow for flexibility and deployment, could  
18 stage a staged or phased deployment approach.

19           A wide range of factors are going to be considered  
20 as we move forward in assessing each of the alternative  
21 architectures. Cost is just one factor. Others will be  
22 considered. Some are listed up there. One, for example, is  
23 worker exposures along the way in the different operational  
24 aspects. Our goal is really insight. We on the technical  
25 side and the laboratory side are not going to draw

1 conclusions or recommendations. That's for other people  
2 above us to decide. There's a lot of other factors that  
3 contribute. We're looking at the technical, quantitative-  
4 type information to feed into a future decision-making  
5 process.

6           Fiscal Year 12, which we're still kind of  
7 completing for the work we're doing, saw a resumption in the  
8 fuel system architecture development with a broader focus  
9 than was looked at before. Again, the potential future  
10 systems are different than they were fifteen years ago or  
11 even so much as five years ago. The system has potentially  
12 changed. The overall objective of the Fiscal Year 12  
13 activities were first to develop and then demonstrate the  
14 capabilities on a limited number of cases. The initial  
15 effort involved a systematic evaluation of the disposition  
16 pathways followed by a down-select of those to evaluate for  
17 this fiscal year followed by selection of assumptions,  
18 boundary conditions, and system inputs to use in the  
19 evaluation.

20           In parallel, we developed logic simulation  
21 capabilities for evaluating a broader set of disposition  
22 pathways that were looked at before and applied those tools  
23 to the selected disposition pathways, the assumptions, the  
24 boundary conditions, and the inputs we considered. In  
25 addition, we developed modular design concepts, the

1 facilities that could be used for each of the disposition  
2 pathways, and could figure the results of the logistics  
3 modeling to those simulations for the various cases we  
4 considered. So we're a fourth group out there doing some  
5 design concept work. There's the three industry teams that  
6 were mentioned earlier, and we're actually doing some of it  
7 on the lab side.

8           This chart is what we've been calling our  
9 Disposition Pathway Overview. We kind of treat it as a  
10 high-level problem statement showing the different pathways  
11 through which used nuclear fuel can transition to ultimate  
12 disposal in a geologic environment. Right now this is the  
13 only side we have in place today, as was indicated earlier.  
14 We're storing fuel at the reactors wet, and we're off-loading  
15 it to dry to keep pool capacities. The rest of this system  
16 is what we're looking at and then how this system is operated  
17 and how it influences the downstream operations.

18           There's a range of options for at-reactor  
19 management, including the implementation of standardized  
20 canisters at that system, which we've got down here.  
21 Management at an interim storage site, how would you run this  
22 facility, and where and when you would re-package fuel  
23 provided that the direct disposal of dual-purpose canisters  
24 doesn't prove feasible or a site is not suitable for doing  
25 that. So there is a need in all of our analyses that we're

1 looking at this year for a re-packaging operation to get it  
2 into a disposal configuration, a canister that can be  
3 disposed of.

4           Each pathway through that chart was followed  
5 through, and we identified nine broad disposition cases.  
6 These involved different at-reactor management alternatives  
7 and where and when packaging or re-packaging could occur.  
8 And, again, we're assuming in our analyses that the  
9 re-packaging and disposal in canisters of the size suitable  
10 for disposal in the environments we're looking at has to be  
11 done. We down-selected from the nine the two broad  
12 disposition pathways we wanted to look at for comparison.  
13 One was the transport of all fuel away from reactor sites in  
14 canisters, assuming that every reactor site could put the  
15 infrastructure in to load large dual-purpose canisters and  
16 move it off-site. The other one is to maintain the fuel  
17 that's in the spent fuel pool that once acceptance starts in  
18 a bare configuration, transport it as bare fuel, in addition  
19 to the legacy canisters that would have been loaded.

20           The second alternative--the other part was where  
21 re-packaging was done. We assumed it would be done either at  
22 this repository when fuel arrived or at the storage facility  
23 when fuel would be shipped. That down-select considered  
24 commonality and capabilities--sorry--commonality and  
25 capability requirements, complexity in the system, and

1 flexibility. One of the cases in our broad nine cases was  
2 re-package fuel into what we're calling the way the disposal  
3 size canisters at receipt at the storage facility with the  
4 dates we chose, and I'll talk to it in a minute. We decided  
5 not to include that one because that would reduce flexibility  
6 later. We don't know the ultimate size of the disposal  
7 canister right now, so we said let's do it at the end when  
8 the material is going out to the repository.

9           We selected assumptions and input and boundary  
10 conditions listed on this slide--I'm not going to walk  
11 through every one of them--to really constrain the problem.  
12 But they do provide us a broad enough range to show trends  
13 and gain insights with the cases identified earlier and how  
14 they would respond to these different assumptions. An  
15 example is the range in acceptance rates that we chose: 1500  
16 metric tons, 3000, and 6000 metric tons per year; and the  
17 times we picked to start facility operations, we assumed  
18 storage facility operations start in 2020 or 2035, and  
19 repository operations start in 2040 and 2055. As Monica  
20 indicated earlier, we're assuming planning dates based on--  
21 assuming planning dates, no basis.

22           The assumptions we made in here are not meant to  
23 imply that a system would actually be operated this way. An  
24 example of that is perhaps the oldest-fuel-first acceptance  
25 priority, a youngest-fuel-first shipment from the reactors,

1 and the first-in-first-out shipment from a storage facility  
2 to a repository. One of the underlying aims--these are  
3 typically things that have been looked at in the past in the  
4 past-type system analyses, so it was a good logic starting  
5 point for us. As an example, we could have picked oldest-  
6 fuel-first acceptance from the reactors, but we decided to go  
7 with youngest-fuel-first, feeling that would most likely  
8 minimize the need for additional on-site storage, since they  
9 tend to load the older fuel into the dry storage canisters  
10 first. If we go get the youngest fuel out of the pools, if  
11 possible, that would minimize additional needs for on-site  
12 dry storage.

13           This initial set of analyses allows for gaining  
14 insight regarding how the integrated system dynamics--how it  
15 would respond to the variables we looked at, give us an  
16 understanding of the trends, and really point us to where the  
17 next set of analyses should investigate. As I indicated, we  
18 didn't evaluate all these combinations. These waste package  
19 sizes, there's been presentations--not to this Board, but Dr.  
20 Hardin, Ernie Hardin, presented them earlier--that talks  
21 about the waste package sizes we're looking at; and those  
22 essentially map to the various media that are being  
23 considered by the Used Fuel Disposition Campaign.

24           The logistics modeling that we did provided the  
25 foundation for the analyses. It gave us the information on

1 annual quantities, annual rates of material arrivals, needed  
2 capacities that facilities would have to accommodate, etc.  
3 In order to model the scenarios that we were considering, the  
4 legacy tool set that DOE had previously developed needed to  
5 be modified and improved. We did that, and the updated tools  
6 were used to evaluate different scenarios leading to the end  
7 state, which is a production of those waste packages. You  
8 can see the size, the numbers of the waste packages of the  
9 different--or disposal canisters--we're not producing waste  
10 packages yet--but to produce those number of canisters that  
11 have to be disposed of.

12           The models we put together track the individual  
13 fuel assemblies throughout the disposition pathway, from the  
14 pool into reactor storage, from storage to a consolidated  
15 storage facility, from there to a repository, including  
16 packaging and re-packaging into disposal canisters. One  
17 important item to note is all the fuel projections--all the  
18 fuel discharges that were used in our projections from 2002,  
19 which is the last time the Department of Energy has data from  
20 the industry. So we're projecting forward from that date  
21 using an Energy Information Agency forecast on nuclear  
22 generation and some algorithms to project how much fuel would  
23 be discharged from each reactor. The results of the  
24 logistics modeling were used to establish the requirements  
25 for the facilities that could be deployed to meet each one of

1 the scenarios we looked at.

2           Some of the insights we gained is, there's a  
3 trade-off with a higher acceptance rate. They do require  
4 less on-site storage but larger facilities downstream. One  
5 thing we notice is a 6000 metric ton--the high acceptance  
6 rate we picked really only leads to an incremental benefit in  
7 reducing on-site storage--the amount of on-site storage  
8 needed, but it resulted in pretty large facilities  
9 downstream. And show you that a little bit later.

10           How the fuel is managed on-site, when the  
11 acceptance from the reactors begin and the rates all have  
12 downstream impacts, really, as I said earlier, what's shipped  
13 away from the reactors establishes the boundary condition for  
14 what occurs in the rest of the system. A delay in the start  
15 of acceptance or acceptance at a slower rate results in more  
16 fuel being placed in dry storage at the reactor. That can  
17 decrease flexibility later and the system begins to more lock  
18 into everything being in canisters.

19           So if there is a benefit at all of maintaining bare  
20 fuel in the system and being able to process it as bare fuel  
21 begins to go away with delays in acceptance or with slower  
22 acceptance rates, the same thing applies to a standard  
23 canister. If there's real benefits to doing standard  
24 canisterization, the longer it takes to get that implemented  
25 would mean more fuels going into the dry storage casks at

1 reactors; and that benefit could tend to decrease.

2           We saw that acceptance rates exceeding the annual  
3 discharge rates of approximately 2000 metric tons a year  
4 would reduce the need for on-site storage once acceptance  
5 begins. If they're discharging a rate of 2000 metric tons  
6 and it's being accepted faster than that, you can start  
7 turning that around. However, the larger acceptance rates  
8 don't necessarily decrease the peak amount of fuel that can  
9 ultimately be placed in dry storage. You can see that by  
10 looking between--these are 1500 metric tons, 3000, and 6000.  
11 There's a big drop between 1500 tons and 3000, not so big  
12 between 3000 and 6000. And essentially the peaks occur right  
13 about the time you start the acceptance, so the utilities  
14 have had to put that much fuel in; and then regardless of  
15 whether you move faster, that's going to be the peak. What  
16 the larger acceptance rates will do is decrease the amount of  
17 time that the fuel would spend in dry storage. You could  
18 pull it off and out of the--off the pads at the sites  
19 quicker.

20           The real key is managing the inventory in the pools  
21 at the reactor sites. It likely would be desirable on the  
22 utilities' part to not have to transfer additional fuel to  
23 that reactor dry storage once acceptance begins. One thing  
24 we're seeing is oldest-fuel-first probably wouldn't do that.  
25 An oldest-fuel-first strategy would give preference to the

1 fuel that's already in dry storage, because that's what  
2 they've loaded. You'd pull that fuel off; and in order to  
3 maintain fuel pull capacity, additional fuel would have to be  
4 off-loaded out of the pools into dry storage. Youngest-fuel-  
5 first can. We're seeing that there's some limitations once a  
6 large quantity of the legacy fuel, the existing inventory,  
7 has been removed and all that's left is shorter cooled fuel  
8 to be transported out. There's thermal limitations on the  
9 casks that require some delays, some decay storage within the  
10 pools to allow it to be moved.

11           There could also be challenges to the system when  
12 the reactor fleet begins to shut down, roughly starting in  
13 2035, running through mid-century. And there's a desire on  
14 the utilities' part to off-load the pools to do  
15 decommissioning and demolition of the plants sooner. There'd  
16 be a large amount of canister loading that would be done into  
17 those systems.

18           Alternative strategies for accepting fuel from the  
19 reactors and for shipments from a storage facility to a  
20 repository is an area where we think some further work is  
21 needed. Again, the initial assumptions we made this year  
22 were selected to gain insight on how the system would respond  
23 and provide the insight that we've been talking about.

24           One other potential area to be investigated is to  
25 treat the storage facility as an integrated used fuel

1 management facility to decouple reactor used fuel management  
2 needs, you know, their desires to manage their system, that  
3 could be different from the requirements for a repository.  
4 If there's thermal management issues at a repository that  
5 differ from how the reactors would want to manage their fuel,  
6 if you could use the storage facility perhaps as a buffer and  
7 temper that, is an area we want to look into.

8           We saw the processing rates and inventory scale  
9 with throughput rate; that's expected. The faster you go,  
10 the more fuel you have to process, the bigger the inventories  
11 will get. Again, one of the insights we gained is that a  
12 6000-metric-ton-per-year acceptance rate would lead to large  
13 facilities, and the capabilities of those facilities may not  
14 be utilized over the life of the facility. Again, the legacy  
15 inventory would be able to be worked off at that higher rate,  
16 and then the processing--the actual acceptance and processing  
17 rate would more match the discharge. Again, that would  
18 require processing facilities and lines that are high for a  
19 period of time and then decrease as the legacy inventory.  
20 You can see that happening with this curve. That's a  
21 6000-metric-ton cumulative receipt at a storage facility.  
22 That's 3000 and that's 1500. You can see these stay linear.  
23 This one decreases and essentially goes to almost about 2000  
24 tons a year as things move along. So you design to handle  
25 that, and then you operate at that for a period of time.

1           Storage capacity, which is shown in all these  
2 charts that are probably impossible to read out in the  
3 audience and even on the slide charts, but we found that  
4 storage capacity is a function of the acceptance rate and the  
5 start of operations of the repository relative to the start  
6 of operations of the storage facility. That's kind of what  
7 you're seeing here. This is a storage facility starting in  
8 2020, repository starting in 2040. This is a storage  
9 facility 2035 and 2055, and these are the different  
10 acceptance rates, 1500, 3000, 6000. And you can see there's  
11 some fairly large differences between the two. So higher  
12 acceptance rates means larger inventories; longer storage  
13 periods means larger inventories. You combine the two, and  
14 you get the largest facilities needed.

15           When we put bare fuel in the mix--this is all  
16 canisters. Everything that's going to the facility is  
17 canisters. If we put bare fuel in the mix, there is a  
18 reduction in the dry storage inventories at a storage  
19 facility. The trade-off is, you now have bare fuel that has  
20 to be stored. So the fuel is either coming this way or it's  
21 coming this way.

22           I'll add a note that the analyses we did this year  
23 didn't consider additional storage that may be required for  
24 repository thermal management. We essentially assume that  
25 the repository starting in 2040 could pick up and move at the

1 rates we wanted, and there is no thermal management needed at  
2 the repository. If you include that, there is a--I believe  
3 it will increase these inventories. Unless the direct  
4 disposal of the dual-purpose canisters can be demonstrated, a  
5 site could be found, they could be disposed of, a large used  
6 fuel handling effort will be required. One thing is that  
7 these analyses looked at the disposition of about 140,000  
8 metric tons of fuel, the existing fleet operating through a  
9 60-year--assuming they all get 60-year lifetimes and operate  
10 to the end of that lifetime.

11 In total it's approximately 400,000 fuel assemblies  
12 that would have to be packaged or re-packaged into disposal  
13 canisters. There is always going to be a need to re-package  
14 some quantity of dual-purpose canisters. They've been  
15 created; they're being loaded right now; they're in the  
16 system. If everything gets loaded into large dual-purpose  
17 canisters, over 11,000 of them--we're projecting over 11,000  
18 would have to get re-packaged. Maintaining some fraction of  
19 the fuel as bare fuel would reduce that number; and, again,  
20 the trade-off is having to have a bare fuel storage  
21 capability, for example a wet pool, a spent fuel-type pool.  
22 And, again, any benefit of doing that decreases as delay in  
23 acceptance or slower--for delays and acceptance or slower  
24 acceptance rates.

25 You know what, I actually--that was the slide that

1 should have went with that last bit of talk.

2           The development of modular design concepts allowed  
3 for the construction of facility layouts for the wide range  
4 of scenarios that we're looking at. And I should have put a  
5 chart in here. With the combination of the four different  
6 broad cases and the input assumptions that we made, we ended  
7 up with 36 different cases that we evaluated all the way  
8 through. So allowing--looking at modular facilities, let us  
9 look at the layouts that would go with each one of the  
10 scenarios that we looked at. The designs we looked at were  
11 modular concepts for dry. We did vertical and horizontal dry  
12 storage systems, and we looked at a wet storage pool for bare  
13 fuel storage and for a re-packaging plant. Here you're  
14 seeing a vertical dry storage concept and a re-packaging  
15 facility--packaging and re-packaging facility.

16           Unit operation times were estimated for all the  
17 handling and processing steps within each one of these. We  
18 then used those with the logistics modeling results to  
19 determine what the requirements were. As an example, the  
20 peak canister arrivals at the storage facility, combined with  
21 the unit operation times to receive a canister and put it out  
22 into dry storage, told us how many receipt bays would be  
23 needed for that facility. And we were able to do this  
24 modular for each one, lay it against the scenario logistics  
25 output, and size these things.

1           As expected, the facility sizes measured on these  
2 charts is a storage footprint. It doesn't include all the  
3 footprint that may be associated with the facility. It was  
4 just what was the footprint associated with, say, the pads.  
5 What we saw was the facilities were larger for higher  
6 acceptance rates and for longer duration. It essentially  
7 maps back to the inventories that would have gone into  
8 storage, and larger inventories require larger facilities.  
9 Keeping a fraction of fuel that's bare kind of reduced the  
10 overall footprint, but it's a trade-off between dry storage  
11 pads to wet storage pools and basins. One of the examples is  
12 we have over 50 to 75 3500-assembly basins that were in--for  
13 an acceptance rate of 3000 metric tons per year for a 2020  
14 start of storage operations, 2040 start of repository  
15 operations.

16           Also, as we expected, the number of processing bays  
17 or lines increased with throughput. You're essentially  
18 moving more fuel, you need more facilities by which to do it.  
19 Again, we observed that at a 6000-metric-ton rate all the  
20 processing lines would not be utilized for the entire  
21 operational life of the plant. And, again, as these peaks  
22 come early, you disposition them, and then you drop back down  
23 to receiving at the rate it's discharged from the reactors.  
24 And the chart that I showed on Slide 13 demonstrates that  
25 again.

1           In laying out the facilities to match the scenario  
2 cases that I talked about earlier, we saw that having all the  
3 fuel and canisters didn't necessarily result in a need for a  
4 larger re-packaging plant operation. Again, there is always  
5 going to be a need for having to open the dual-purpose  
6 canisters to re-package the contents, and there is always  
7 going to be the same number of fuel assemblies that would  
8 have to be re-packaged into the same number of waste  
9 packages. So the facility size didn't change so much, but  
10 the number of the canisters that would have to be opened is  
11 lower, and that could have broader system impacts; namely,  
12 worker exposure could be one of the differences. And we're  
13 starting to look at that, as I'll mention on this slide.

14           So we did accomplish our objectives. We  
15 re-established an important foundational capability to assess  
16 the potential used fuel management alternatives. We  
17 developed methodologies and tools. We applied those tools to  
18 a select set of used nuclear fuel system architecture  
19 alternatives. They did provide us insight into potential  
20 disposition pathways, identified areas where additional work  
21 is needed. Our measured milestone report is coming out, a  
22 draft to the Department at the end of this month. That's  
23 why, as you look through this, you're seeing a lot of these  
24 figures and charts listed as a preliminary.

25           We came up with activities that we're going to look

1 at in the next fiscal year. We started developing a worker  
2 exposure methodology, and we're going to continue to do that.  
3 We plan to implement that in our logistics simulation and  
4 look at the cases I just mentioned or talked about with  
5 respect to that. We want to implement within the logistics  
6 code blending and aging at the storage facility to look at  
7 the impacts of thermal management at a repository. We also  
8 want to be able to look at the alternative used fuel shipment  
9 strategies from the reactors and from the storage facility,  
10 as I talked about. We want to look at different bare fuel  
11 storage alternatives besides what storage pools, including  
12 transportation casks/maintenance fleet facilities within our  
13 logistics framework; look at sensitivities regarding pool  
14 densities. We've assumed high-density storage within the  
15 facilities we looked at; look if there's impacts associated  
16 with going to lower densities.

17           And now that we're starting to see it could be a  
18 large re-packaging effort, start looking into advanced  
19 re-packaging techniques: What's the state of the art, what  
20 are engineering gaps, what needs to be done to potentially  
21 develop advanced automated re-packaging techniques--dry,  
22 remote handling--and to support that, initiating process flow  
23 diagram and process node descriptions for re-packaging  
24 facilities.

25           With that, I'll entertain questions.

1           EWING:   Okay, thank you very much.

2                    Questions from the Board?   Linda.

3           NOZICK:   Nozick, Board.   Just some really simple  
4 questions.   The software package you're using to do that?

5           NUTT:    It's a Visual Basic tool.   One part of it's a  
6 Visual Basic logistics tool that was developed by the Office  
7 of Civilian Radioactive Waste Management in about the 2002-  
8 2003 time frame.   The other part's a transportation operation  
9 model that was developed at Oak Ridge.   We're linking the two  
10 together.   We had to do some updates.   The old model that RW  
11 developed didn't have the ability to do re-packaging at a  
12 storage facility.   We put that in there.   And there are a few  
13 other things that we had to just update it to bring it--to be  
14 able to do what we wanted.

15          NOZICK:   So, like, the picture on Slide 16, the picture  
16 of that facility, is that coded actually into the simulation  
17 so you're seeing the detail close or--

18          NUTT:    No, no.

19          NOZICK:   Okay.

20          NUTT:    The simulation is just a logistics flow.   It's  
21 essentially annual, so we're figuring out how much fuel--

22          NOZICK:   Okay.   So it's book--

23          NUTT:    We then laid these facilities--we had the  
24 logistics results, we had these facility concepts, and then  
25 it allowed us to size how big those facilities or how many we

1 would need to meet that scenario.

2 NOZICK: Okay. Second question. There's no uncertainty  
3 here; right?

4 NUTT: Oh, there's a lot.

5 NOZICK: No, in the model. Those are simulations, not  
6 the answer.

7 NUTT: No, no.

8 NOZICK: There's lots in the real world. And then the  
9 third question. Is there any discussion of what happens if  
10 you were to put multiple facilities? Yes, it's hard to site  
11 even one, but is there any discussion in the--

12 NUTT: Yes, we've been discussing that and looking at  
13 impacts. That would be--

14 NOZICK: Because they're not likely to be equally-sized  
15 facilities, for examples.

16 NUTT: No. It's one area we've talked about. It's one  
17 area we--it's on our list of things to potentially look at,  
18 and it would require some code-development work.

19 NOZICK: Okay, thank you.

20 NUTT: Sure.

21 EWING: Paul.

22 TURINSKY: Turinsky, Board. Following up on the  
23 uncertainty, is your report going to indicate the risks of  
24 these various scenarios?

25 NUTT: No.

1 TURINSKY: Why not?

2 NUTT: It's a logistics facility-type report. We're not  
3 doing risk assessments.

4 TURINSKY: Yeah, I'm not talking about safety risk. I'm  
5 talking about disruption of some facility and how that flows  
6 back through the system.

7 NUTT: No, we're not doing that this year.

8 EWING: Just for myself to follow-up, on evaluating the  
9 risk you do plan to develop worker exposure methodologies;  
10 right?

11 NUTT: Yes, yes.

12 EWING: So that would be the principal way of evaluating  
13 risk.

14 NUTT: Correct, for the worker. So we will look at the  
15 impacts of that that way. But for the type of risks that Dr.  
16 Turinsky was looking at, no, we're not doing that.

17 EWING: All right. Other questions from the Board?

18 BECKER: Becker, Board. When do you anticipate having  
19 some preliminary findings related to the worker exposures,  
20 and are you interfacing with NIOSH in this exercise?

21 NUTT: I'd have to talk to the folks at Oak Ridge about  
22 the second question. They're the ones that are doing that  
23 work for us, so it's a good question to bring up to them. I  
24 can't recall when we scheduled that information to come  
25 available in Fiscal Year 13. It's there. I just don't have

1 it off the top of my head.

2 EWING: Other questions from the Board?

3 (Pause.)

4 Okay, from the staff? Yes, Gene.

5 ROWE: Rowe, Staff. A couple questions. For your pool  
6 size, you're assuming all high-density fuel racks. Have you  
7 any plan to--especially with the impact going to higher  
8 burnup--to looking at Zone 1/Zone 2 fuel racks and the  
9 impacts of that?

10 NUTT: I think that's part of the evaluation this year  
11 that we put on the list for '13.

12 ROWE: Okay. The second question is--I don't know if  
13 this should be to you or to Ernie, but I get the impression  
14 from you that the need to re-package is due to package size  
15 only; okay? Do you--

16 NUTT: That's the consideration right now.

17 ROWE: Okay. So you're not looking at criticality?

18 NUTT: No. We picked the package sizes based on the  
19 work that Dr. Hardin had done last year.

20 ROWE: Okay, well, I'll wait for Dr. Hardin--

21 Sorry, Ernie.

22 EWING: Dan.

23 METLAY: Metlay. Board staff. I'm a little confused,  
24 because four or five years ago the main model that RW was  
25 using for these types of activities was the total system

1 model, and I didn't see that acronym.

2 NUTT: Correct.

3 METLAY: What happened to the total system model?

4 NUTT: It's still there. The front end of TSM--the TSM  
5 pre-processor was CALVIN. And in looking--when we were  
6 looking at the tool sets we wanted to use and even working  
7 with some of the developers, the general feeling was to step  
8 back to use CALVIN and update CALVIN rather than trying to  
9 update TSM and try to put storage facilities and do  
10 re-packaging. So that was the choice. We stepped back to  
11 get to CALVIN and then did some updates to CALVIN to bring it  
12 up to what we can do now.

13 EWING: Other questions from the Board? Doug.

14 RIGBY: Doug Rigby, Staff. Two questions. To follow on  
15 what Gene said, in your simulations you mentioned for the  
16 fuel pool you'll maybe look at impact for higher burnup. I'm  
17 wondering for storage, for transportation, and you mentioned  
18 for disposal, you are looking at heat. So impacts for this  
19 trend to higher-burnup fuel, is that being considered both  
20 for heat, for the dose, and maybe for the waste forms for  
21 disposal? Is any of those impacts with the high-burnup fuel  
22 being considered?

23 NUTT: Not in the analyses we've done today. We've  
24 assumed that everything can move. There are some thermal  
25 limitations that are in the logistics tools on loading casks

1 and moving fuel that are thermally limited, so there is a--  
2 the fuel projections that we made, we do project burnup. We  
3 do project the enrichment. So we have an idea what the  
4 thermal constraints are. It does limit it. We haven't  
5 completely closed the system yet with the feedback from the  
6 repository side to how long that fuel might have to be aged  
7 before it can go in. So, yes, the thermal piece is on the  
8 list.

9 RIGBY: Okay, second question relates to Slide No. 8.  
10 And you mentioned that you can't really--at least the idea I  
11 got that you're not ready to go ahead with a recommendation  
12 to go to standard multi-purpose disposal canisters since you  
13 don't know what the requirements will be for disposal. On  
14 the other hand, you know, you mentioned later that it's  
15 better if there's some canister that--you know, if it's  
16 chosen and you maybe start to use that, I was wondering--I  
17 guess there's a couple of different philosophies. If,  
18 indeed, there was a multi-purpose canister chosen, you could  
19 design the repository to accept that rather than the  
20 repository--you know, larger in clay. You have a larger--  
21 we'll have to see what Ernie, I guess, says, but you could  
22 have a larger size and then backfill it with clay or  
23 something. Do you have any comments on necessarily which way  
24 the tail of the dog should be wagged?

25 NUTT: Not yet. And that is part of the standard

1 canisterization effort that's underway this year is to start  
2 looking at some of these--we want to take these tools and  
3 apply them to that to look at where the benefits would be  
4 using standard canisters. So I honestly don't know.

5 EWING: So, as follow-up to that--and maybe I lost the  
6 thread of the reasoning--but smaller packages would lead to  
7 less re-packaging just because--

8 NUTT: It would lead to the same fuel assemblies. If  
9 you assume everything has to get re-packaged, it leads to the  
10 same number of fuel assemblies that has to get moved. Where  
11 it has impacts that we're seeing is the back-end size of the  
12 facility as you weld closures to prep for release. And if  
13 you have to transport all those canisters over the road, in  
14 that case bigger canisters may be better, because you're  
15 moving less. So there's trade-offs between these.

16 EWING: Okay. Other questions from the Board or staff?

17 All right, thank you very much.

18 We'll move on to the next presentation, which is we  
19 hear from Jeffrey Williams again. So the title is  
20 "Logistical and Operational Issues Associated with the  
21 Transport of Orphan Fuel to a Consolidated Storage Facility."

22 JEFF WILLIAMS: Thank you. Again, welcome. You can see  
23 I've actually changed the title of the presentation from  
24 "Orphan Fuel" to "Transport of Stranded Fuel from Shutdown  
25 Reactor Sites," and that's to be entirely consistent with the

1 Blue Ribbon Commission's report. They used the term "orphan"  
2 in different ways. They used it to refer to greater-than-  
3 Class C and for fuel that had no safeguards, but they did not  
4 use it related to shutdown reactor sites, so we have changed  
5 that terminology.

6           There's a lot of slides in here; however, I'm not  
7 going to go over every one of them. I have a lot of slides  
8 on shutdown reactor sites that have pictures and information  
9 on there that I leave you for reference. And there was an  
10 earlier question from Dr. Turinsky about consolidated storage  
11 facilities, and this presentation is really geared towards  
12 what does it take to get fuel out of the shutdown reactor  
13 sites, not the design or what it takes to build a storage  
14 facility site.

15           Okay. So what we're going to talk about here is  
16 why we initiated this study. We're going to show you about  
17 the locations of the shutdown sites, the inventory at  
18 shutdown sites, and then what the scope of this project is.  
19 We're going to talk a little bit about the characteristics of  
20 these independent spent fuel storage installations that are  
21 at the shutdown reactor sites, and we're going to talk about  
22 the transportation infrastructure at and near the ISFSIs and  
23 the steps required to move the used fuel.

24           This comes from the Blue Ribbon Commission's report  
25 where they recommended--and, again, as I said before, there

1 hasn't been a decision to implement their recommendations;  
2 however, we've started initial planning in case those  
3 recommendations come to fruition. First of all, they  
4 recommended prompt efforts to develop consolidated storage  
5 facilities; they recommended early preparation for the  
6 eventual large-scale transport to a consolidated storage  
7 facility; and they also recommended that the focus be on  
8 putting shutdown reactor sites where there's stranded fuel at  
9 shutdown reactor sites first in line.

10           These recommendations, coupled with budgets that  
11 were implemented in the FY12 time frame and the presidential  
12 request in FY 13 that basically directed us to put some  
13 effort on addressing some of the BRC near-term  
14 recommendations, this is why we initiated this study. I  
15 think we finally got the work in place in about April.

16           And then also in April there was, as part of our  
17 budgeting process, another bill introduced by Senator  
18 Feinstein that basically said the same thing, was to  
19 conduct, she called it, a pilot program to license,  
20 construct, and operate a government-owned or privately-owned  
21 consolidated storage facility with priority given to spent  
22 fuel at sites that have been shut down. There's been other  
23 interest, and we're hearing a lot of different outside people  
24 saying that this is the right way to proceed.

25           And, actually, in looking back at this and looking

1 at the long history of the development of this, it really  
2 helps to focus the program as opposed to in the old days when  
3 we thought about we have to shift from 104 reactors, and some  
4 of them are truck, and some of them are rail, and there's a  
5 whole variety of different fuel, and we have to deal with all  
6 sorts of issues. This really is something that, in my  
7 opinion, would help to focus the project.

8           So we've looked at a number of these things in the  
9 past, so what we're trying to do here is, what do we know  
10 about the sites, trying to identify what's the gaps in the  
11 knowledge about the sites, and what do we need to start doing  
12 now. So we're conducting this preliminary evaluation of the  
13 nine shutdowns, the nine stranded sites. And, as I said  
14 before, we're characterizing the site inventory, the site  
15 conditions, and the near-site transportation infrastructure  
16 and experience doing heavy hauls or moving large things out  
17 of the sites; and it's going to characterize the actions  
18 necessary to remove used fuel. And, again, we have a report  
19 to be issued in a couple weeks, October 31st, that identifies  
20 these issues.

21           A number of these things have been looked at in the  
22 past, infrastructures. We go back to Nigel working on this  
23 in 1990 or '89 or whatever it was. However, a lot of this  
24 information is dated, and there's not one report anywhere  
25 that's just focused on the nine shutdown reactor sites that

1 seems to be of interest today. So, in any event, that's what  
2 we're planning to do.

3           Actually, in 1995, looking back through the  
4 history, I found a report called the "Maine Yankee Site  
5 Servicing Plan: What does it take to get fuel out of Maine  
6 Yankee?" Well, Maine Yankee at the time had not put their  
7 fuel in dry storage the way they have today. And so that's  
8 completely dated, and those are the kind of things that need  
9 to be updated.

10           Okay, well, where are these shutdown reactor sites?  
11 We've focused on nine. You can see there's--you can group  
12 them into three regions: the Northeastern region, the  
13 Midwest, and the East. There's a couple other sites that  
14 people might want to think about. I think the BRC talked  
15 about Fort St. Vrain reactor in Colorado that is now  
16 DOE-owned fuel. This has just been focused on commercial  
17 fuel, because that's what we haven't contracted to deal with  
18 commercial fuel. However, that's something that could be  
19 considered.

20           Morris, Illinois, which is a shutdown reprocessing  
21 plant, it's close to the Dresden reactors, but they have a  
22 lot of fuel that was sent there in the '60s and '70s that now  
23 utilities are paying rent for. And it's costing them more to  
24 pay rent for that than it is to ship it back and put it in  
25 dry storage; however, the communities where the dry storage

1 is don't want them to bring it back.

2 Another reactor that has announced they're going to  
3 shut down is Oyster Creek, which would shut down in the 2019  
4 time frame. That's what Exelon has announced.

5 So, anyway, you get the idea. On the site that  
6 shows the quantities, we have UNF 34, UNF 5. Those are  
7 canisters of fuel. And I'm going to go over that in a little  
8 bit more detail.

9 This gives you an idea of what these shutdown  
10 reactor sites are like. And people talk about canisters, and  
11 they talk about storage facilities. Down here on the lower  
12 left is a vertical concrete cask at Yankee Rowe, and on the  
13 right is a horizontal storage, and this is at Rancho Seco in  
14 California. Above in the center is a canister of spent fuel.  
15 In this canister--this actually comes from Oconee, because I  
16 visited there in 1990 and took this picture, so it's not the  
17 actual canister that fits in these two things, but it's  
18 similar in nature. And so this is a welded canister that has  
19 24 PWR spent fuel assemblies in it that sits in the lower  
20 right one in a horizontal configuration or in the lower left  
21 in a vertical configuration.

22 The canisters at all the shutdown reactor sites  
23 have certificates for transportation, so they were certified  
24 by NRC for storage and for transportation. Actually, the  
25 picture of this one in the top is only a storage canister.

1 From the outside you can't tell the difference. Inside a  
2 transportation canister has additional support and additional  
3 criticality controls. And some of the newer--the older ones  
4 were storage only. Most of the newer ones are transportation  
5 as well as storage. And there is one shutdown site that  
6 actually has a canister of fuel in a transportation cask  
7 itself. That's at Humboldt Bay. So that's a metal  
8 transportation cask. Here you'd have to take that canister  
9 out and put it in a transportation cask to ship it away.

10           So out of the nine shutdown sites, seven of them  
11 have these vertical storage facilities, one has a horizontal  
12 storage facility, and one has their fuel in transportation  
13 casks. And the last one, which I didn't list, the Fort St.  
14 Vrain in Colorado, that's actually in a vault configuration;  
15 and I don't have a picture of that here.

16           Here are the nine sites, a little bit more detail  
17 about them. What's interesting is you can look at--it's a  
18 combination of what was early reactors, which were proof-of-  
19 concept reactors. Big Rock Point was only a 72-megawatt  
20 electric plant; whereas, Zion down at the bottom, outside of  
21 Chicago, is over a thousand-megawatt plant. And this lists  
22 the different storage system containers that are there. And  
23 you can see it's a variety of different vendors. The top  
24 one, Fuel Solutions, at Big Rock Point, they're no longer in  
25 the business of providing these canisters.

1           And then you can see the next one down is Nuclear  
2 Assurance Corporation. Nuclear Assurance Corporation is very  
3 active. All what we call the Yankees--Connecticut Yankee,  
4 Maine Yankee, and Yankee Rowe--are Nuclear Assurance  
5 Corporation systems. Rancho Seco, one of the very first  
6 ones, is a Transnuclear. That's the horizontal one I  
7 mentioned. And then you can see down--the other one is--  
8 La Crosse down at the bottom is also a very small reactor, 51  
9 megawatts, as is Humboldt Bay. So you have Humboldt Bay,  
10 La Crosse, Big Rock Point, and Connecticut Yankee, which is a  
11 little bigger, 150 megawatts or so, very small proof-of-  
12 principle early reactors, and then some of the other ones  
13 that are production reactors.

14           This just gives you a graphical representation of  
15 how much fuel there is at each one of these different sites.  
16 And you can look at the small bumps, Humboldt Bay, Big Rock  
17 Point, and La Crosse. Those were the early proof-of-  
18 principle reactors. And then you can see Zion has a whole  
19 lot more fuel; Maine Yankee, which some of that was, I  
20 believe, sent to West Valley for reprocessing; Connecticut  
21 Yankee. Trojan and Zion and Rancho Seco are all production  
22 reactors; however, they were all shut down early, so they  
23 don't have as much spent fuel or used fuel generated as they  
24 could have been.

25           Another important point is the little red blips on

1 here, which is the greater-than-Class C waste that comes from  
2 the decommissioning of the reactors. They have put this  
3 greater-than-Class C in the same type of canisters as the  
4 used fuel, and so it's in the same kind of canister. And in  
5 order to completely decommission the site, that greater-than-  
6 Class C will need to be removed.

7           Okay, what we're looking at is--the top bullet  
8 really is looking at what's inside of the fence at the  
9 nuclear reactors; whereas, the second bullet is what's  
10 outside the fence. The inside-of-the-fence things are such  
11 as what kind of cask do they have; what kind of transfer  
12 capability do they have to remove that canister of spent  
13 fuel, already-used fuel, and put it into a transportation  
14 cask; what kind of cranes do they have; what kind of upgrades  
15 to on-site roads are necessary to ship it off-site. So that  
16 is primarily the responsibility of the utilities; however,  
17 that's something that is being looked at in this study.

18           The second bullet down is then, what's the  
19 near-site transportation infrastructure and experience; what  
20 kind of roads, railroads, barge capability; and what sort of  
21 experience have some of these sites had in transporting heavy  
22 things such as reactor pressure vessels or steam generators  
23 in and out of the site. And we're basing this--we visited  
24 three of the sites, our team did, and been discussing this  
25 with the shutdown site managers.

1           The next bunch of slides goes through every one of  
2 the sites to show you what they look like. And, as I said,  
3 I'm going to focus on the first Yankee ones, and then I'm  
4 going to skip quickly through the other ones. But this is  
5 Maine Yankee in Maine. You can see what a spent fuel  
6 installation looks like. And the plans--well, here, let's  
7 just--this is an aerial view. I apologize for it being a  
8 little bit dark, but at the top you can see where the  
9 independent spent fuel storage facility is, and that's  
10 basically all there is on-site. The former reactor is gone.  
11 You can see there's a barge slip down here that has been  
12 used.

13           And in the next--not this one--but there's also a  
14 rail spur that goes right up to the independent spent fuel  
15 storage installation. Both the rail line and the barge slip  
16 would need to be refurbished to actually ship out. And this  
17 is just a look at the rail lines right here, which is within  
18 probably 30 feet, maybe a little farther than that. It's  
19 right on-site where the independent spent fuel storage  
20 installation is, the casks, and you can see that needs some  
21 refurbishment. We don't know what the loads are exactly on  
22 this rail line, but it's been covered over with asphalt and  
23 grass, but it could be refurbished. This is the barge slip,  
24 and to get down to the barge slip you'd need to build a  
25 better road to carry these. These can weigh as much as 150

1 tons or so. In the Yucca Mountain FEIS we considered this a-  
2 -it was designated what we call a rail site. That barge slip  
3 was used to ship the reactor pressure vessel when they  
4 decommissioned and the steam generators. The pressure vessel  
5 was shipped down to Barnwell.

6 Okay. And just another picture of the ISFSI at  
7 Maine Yankee.

8 Then we move on to Yankee Rowe in Rowe,  
9 Massachusetts. And this one is interesting in that you have  
10 a choice of--no, they don't have a choice. They ship a  
11 seven-mile heavy-haul where, when they decommissioned it, it  
12 was a seven-mile using a heavy-haul vehicle where they have  
13 to close down the road, and it's a big deal to do this. You  
14 can see how much spent fuel is there and how many heavy-haul  
15 trips would be needed to ship from here.

16 And this just shows you where the heavy-haul route  
17 is. Up at the top is the ISFSI, the heavy-haul route down  
18 there, down to a railroad siding that is right here. And,  
19 actually, this tunnel, which you can go through it, is one of  
20 the longest tunnels in the world. I think it might be the  
21 third longest tunnel in the world. It was built in the  
22 1800s. But you can ship a transportation cask of the size  
23 that we need to through there. However, if you were going  
24 to--normally in a transportation campaign--we've talked about  
25 putting three or five transportation casks together on a

1 train--you would need to assemble that train in this area  
2 here.

3           In one of Monica's slides, you probably didn't  
4 catch it, but they had a little picture of a train that was  
5 used to ship fuel from West Valley. And what it showed was  
6 there was a locomotive, and then there's what's called the  
7 buffer car, and then there was a transportation cask. Then  
8 they had another buffer car and then another cask of spent  
9 fuel, another buffer car, and an escort car. If you were  
10 going to ship three to five of these, it's a longer train--  
11 they call them consists--you'd have to put together at this  
12 siding location.

13           Then we move to Connecticut Yankee, another ISFSI  
14 here. This was sort of a mid-size reactor. And this one you  
15 could use either barge or rail, which would need to be  
16 evaluated in detail. In the Yucca Mountain EIS they looked  
17 primarily at heavy-haul to a rail siding, but they also  
18 looked at a barge. And this shows up here the location of  
19 the ISFSI down to the lower right. You would still need to  
20 transport it on an on-site road, which probably needs to be  
21 upgraded for this weight, down to a barge slip, which is  
22 along the--this might be the Connecticut River. Is that  
23 right, Peter?--and which would need to be dredged. The  
24 former reactor site is up here, completely gone. Oh, there  
25 it says Connecticut Reactor Site. But both the barge slip

1 and the canal would need to be refurbished.

2           And the other choice is the heavy-haul route out of  
3 Connecticut Yankee. And the heavy-haul route is about twelve  
4 miles, and it does go through some rather heavily-traveled  
5 areas where you'd have to shut down the route. And it's a  
6 frequently-used road, actually four lanes in part, and then  
7 in other parts it's two lanes. And I don't know whether any  
8 of you paid attention to the shuttle shipment through Los  
9 Angeles, which was--it's bigger than these, but there's a lot  
10 of information here, a lot of things that need to go on like  
11 moving traffic lights higher in some cases, cutting tree  
12 limbs.

13           But right here, this shows you the canal situation  
14 at Connecticut Yankee on the left, and it shows you the rail  
15 siding. This rail siding is what was used to ship the steam  
16 generators out when they decommissioned, and you can see it  
17 needs some refurbishment. It's actually in a little parking  
18 lot, and there's a small little business, a hot dog stand  
19 actually, in the parking lot. And when they shipped the  
20 steam generators, they had to close it down for a month, and  
21 they had to negotiate with the vendor there to pay for her  
22 loss of business. And so, anyway--and there's a lot more  
23 spent fuel than there were steam generators.

24           Okay. So I'm just going to finish up with the  
25 Maine Yankee's and then skip through the rest of the seven.

1 But, in any event, every one of these needs to use a transfer  
2 cask. You need some way to transfer the canister that's in  
3 the concrete over pack to a transportation cask. I put a  
4 transfer cask picture down here. This is of a horizontal  
5 storage down in the bottom, but that's a transfer cask. It's  
6 not a transportation cask. It's not certified or capable to  
7 be transported off-site in the public. And then in the  
8 bottom here in a different configuration, you can see a  
9 vertical transfer cask and how they have to lift up--this is  
10 down at Humboldt Bay where--or a Trojan, actually, I believe,  
11 where they are in an underground configuration or below-grade  
12 configuration.

13           So, anyway, at Maine Yankee you could use rail or  
14 barge. Yankee Rowe, it's probably heavy-haul to a rail--it  
15 would definitely be heavy-haul to a rail, and you would need  
16 some refurbishment. At Connecticut Yankee barge is probably  
17 most likely because of the long heavy-haul route. But,  
18 anyway, the study is looking at these preliminary aspects.

19           Skipping on, this is Big Rock Point. As I said,  
20 I'm not going to spend a lot of time on these at Big Rock  
21 Point. It's right on Lake Michigan. However, in dealing  
22 with the State Regional Groups, they don't believe it's  
23 feasible to ship through the Great Lakes. So that's  
24 something that needs to be dealt with.

25           Here there's only five casks at La Crosse. And if

1 you don't ship by barge, the heavy-haul route for these is--  
2 it's a good ways. It's like 50 miles or so. I don't  
3 remember the specifics, but it's a good long ways for a  
4 heavy-haul shipment. La Crosse--I'll skip through these--  
5 again, it's on the Mississippi River, and there have been  
6 barges along the Mississippi River; however, again, people  
7 aren't favor of it.

8           This is Rancho Seco. There's a rail line right to  
9 the site.

10           Zion--let's see--

11           SPEAKER: You went by it.

12           JEFF WILLIAMS: Oh, did I?

13           SPEAKER: Yeah.

14           JEFF WILLIAMS: Okay. Yeah, Zion up on Lake Michigan,  
15 they're still in the process of decommissioning. Their fuel  
16 is actually still in the pool there; however, they have a  
17 contract with NAC and, let's see, Energy Solutions--I think  
18 they call it Zion Solutions, too--to build their independent  
19 spent fuel storage facility for around 61 casks and probably  
20 maybe on the order of 4 or so greater-than-Class C casks.

21           Rancho Seco, horizontal. Rancho Seco has a rail  
22 right to the site.

23           One that I do want to point out, Humboldt Bay, it's  
24 been designated as a rail shipment; however, the heavy-haul  
25 route for Humboldt Bay is 170 miles, so this would be a

1 significant heavy-haul. But one thing about Humboldt Bay is  
2 that this is the site that has the fuel in metal  
3 transportation casks, so all somebody would have to do to  
4 transport these is buy what they call the impact limiters  
5 that sit on the end zone. So it would be ready to go, except  
6 there is the heavy-haul situation.

7           The Trojan site and the--anyway, you can look  
8 through these at your leisure, but just wanted to finish up  
9 here. Oh, this is a heavy-haul of a reactor pressure vessel,  
10 so it gives you an idea of what they're like. And normally  
11 along with this, if you were going to be transporting spent  
12 fuel, there would be state police and all kinds of people  
13 walking along with it. It may travel about two miles an  
14 hour, so you could--the one out of Connecticut Yankee took  
15 them all day for a seven-mile trip, and they had people  
16 walking along with them and news crews and security and so  
17 forth.

18           Let's see--oh, I think I missed this one. Yeah,  
19 this is just sort of a recap now that you've seen the  
20 pictures of what we're doing in the initial evaluation and  
21 which will be completed this year. By the way, this is being  
22 led by a team of labs right now, Sandia National Lab, Pacific  
23 Northwest, and Savannah River. And they're developing a  
24 project plan that has a representative schedule in it.  
25 However, to actually get down to do this, it's going to take

1 a lot of detailed planning; and it's going to take  
2 interactions with the local people to address issues like  
3 heavy-haul versus barge and interactions with the local  
4 officials.

5           This is a slide I could probably spend a couple  
6 hours on, but it gives you just in the high-level the steps  
7 that are necessary to ship used fuel from the sites. It's a  
8 notional schedule, and what it shows here are things in the  
9 blue that would be done by either the Department of Energy or  
10 GOVCORP or any kind of--whoever was the implementer, whoever  
11 had the job to do this.

12           The first bullet is the initial planning you need  
13 to develop things like a QA plan. You need to establish  
14 agreements between the sites and DOE. There is presently in  
15 place what we call a standard contract with every one of the  
16 utilities where they pay into a fee that they've been doing  
17 since 1983, and in return DOE takes their fuel. However, it  
18 was developed in 1983, and it didn't anticipate all the  
19 things necessary to make this happen. So that's an important  
20 piece of business that would need to be done.

21           Some of the bigger things that need to be done is,  
22 you actually need to solicit bids for transportation casks.  
23 As you saw, there's only a couple transportation casks.  
24 There's one at Rancho Seco. The ones at Humboldt Bay are  
25 good. The other seven sites do not have transportation

1 casks. We would have to go out and purchase those. The good  
2 thing is those have been designed and certified by NRC, so  
3 you don't need to go through that process at this point in  
4 time. However, there's five different ones. There's, like I  
5 said, the Energy Solutions one at Big Rock Point, which are  
6 no longer in the business of doing this. And then there's  
7 Nuclear Assurance Corporation casks, there's the Holtec cask,  
8 and then there's the Transnuclear cask as well.

9           You would need to solicit bids for rail cars. I  
10 didn't really talk about rail cars, but in the last several  
11 years the American Association of Railroads have passed a new  
12 standard called the S-2043 that lay out what rail cars should  
13 be designed like to carry spent fuel. And this is important  
14 because if they're not designed like that, you have to travel  
15 really slow. And if you travel really slow, then you have  
16 coal cars and so forth that are coming by, and you get in the  
17 way of interstate commerce. So the Navy actually has started  
18 a design of one of these rail cars. They have special brakes  
19 and so forth so that they can travel at higher speeds. The  
20 Navy has started to do this for the de-fueling of the  
21 Enterprise and for what they call an M-290 cask. Now, it's  
22 even bigger than the ones we have, so there would be some  
23 evaluation whether you need some modification of that rail  
24 car.

25           In addition, the buffer cars and the security cars

1 need to be designed, so you need to solicit bids. You'll  
2 actually need to test these things. The PFS Project started  
3 to test these down in Pueblo, Colorado, several years ago;  
4 but it's never been completed. Of course, you need to  
5 determine what the routes are and the modes of  
6 transportation, as we talked about. You need to implement  
7 the 180(c) aspect, which we talked about before, which is  
8 providing funds and training to the local communities for  
9 emergency response and so forth and tribes as well.

10           And then you're going to need to plan for  
11 operations, training, dry runs involved, and, finally, load  
12 and ship. And we've been looking at how long it would take  
13 to load and ship; and if everything went okay, it might take  
14 three or four years to do that, to get the fuel out of the  
15 sites. Of course, this all--you have to understand and  
16 assume that you have a place to ship to, and this study has  
17 not addressed that at all.

18           The last slide, some key points related to  
19 schedule. And the first one is DOE, or whoever the  
20 implementer is, would provide transportation casks. And this  
21 is as a result of the standard contract that we have between  
22 the utilities that says who does what. And the way the  
23 standard contract reads is that DOE provides the  
24 transportation capabilities; okay? This would be the case,  
25 except for the two that I mentioned before at Humboldt Bay

1 and Rancho Seco. There's already transportation casks there.  
2 The site owners are the ones who are responsible for loading  
3 the casks and preparing them to ship. If you go to those  
4 sites, you can see that basically all they have right now are  
5 guards and a couple of technical people that have been there  
6 for awhile. So that capability would need to be developed in  
7 some way. As I mentioned before, you need to get a rail car,  
8 buffer cars, and security cars that meet the requirements of  
9 the American Association of Railroads' new standard.

10           Let's see, the schedule assumes that we have a  
11 destination. I mentioned that. The schedule assumes that we  
12 will engage with state, tribes, and other federal agencies  
13 and that the rail line meets the minimum standards for  
14 transportation and used fuel.

15           In one case early--back in the--skip that. When  
16 the Office of Civilian Radioactive Waste Management was in  
17 place, one of the State Regional Groups in the Northeast,  
18 along with the American FRA, Federal Railroad Association,  
19 went out and assessed the capability of some routes. That's  
20 the type of thing that would need to be done. They only did  
21 it for two sites, and they didn't do it for shutdown reactor  
22 sites. It was Ginna--I can't remember which sites they were.  
23 But, in any event, that's the type of things that need to be  
24 done prior to shipment.

25           In conclusion, we've initiated this preliminary

1 evaluation. We're characterizing the actions necessary.  
2 We're developing preliminary schedules. As I've said several  
3 times, all sites have fuel and storage configurations with  
4 NRC transportation certificates of compliance. We'll need to  
5 manufacture transportation casks, go out and buy them;  
6 however, they don't need to be designed. And, lastly, as I  
7 mentioned before, the canisters--when the standard contract  
8 was written in 1982, there were no canisters of spent fuel,  
9 and the standard contract, if you look at it, talks about  
10 what fuel is. And it describes a PWR assembly that's 14 by  
11 14, and this is what the waste acceptance criteria is. This  
12 has not been addressed to date, and this is something that  
13 needs to be considered.

14           So each campaign from each site, I think, needs to  
15 be considered really as a project; however, you need to  
16 integrate them all together to make sure that they all fit  
17 together. Maybe you could do the Northeast ones first or  
18 maybe the West Coast ones first, or maybe you'll look at it  
19 from the standpoint of what type of cask you can buy that's  
20 easiest.

21           And, lastly, I want to emphasize, the  
22 administration doesn't have a policy or a direction right now  
23 to do this, and this is just initial planning in the event  
24 that we are given the direction to do that.

25           If anyone has any questions, I'd be happy to

1 answer.

2 EWING: Okay, thank you very much.

3 Questions from the Board? Mary Lou.

4 ZOBACK: Zoback. Board member. This will be a naïve  
5 question, but sometimes those are the toughest ones. Can we  
6 go back to the map right here at the beginning, Slide 6? So  
7 the bottom line is, DOE has a responsibility to accept the  
8 waste from the utilities; correct? Well, as you mentioned,  
9 there are sort of three clusters of these sites, and you  
10 described a pilot project. And I think pilots are a great  
11 way to go, but it turned into a 20-year pilot project, and  
12 it's huge, and it's enormous. And as I look at these three  
13 sites, it seems to me--I'm not sure--I'd love to see a map  
14 where everything is on one map, where all the defense waste  
15 is. But let me go to the Western U.S., because I live in  
16 California.

17 Hanford exists. It's already storing waste.  
18 You've got Trojan that's very close to Hanford. You've got  
19 Humboldt Bay and Rancho Seco, which you've said are already  
20 in transport casks; right?

21 JEFF WILLIAMS: Yes.

22 ZOBACK: So wouldn't a simple pilot be to take the waste  
23 from those three sites and put it at Hanford? You have three  
24 states to deal with. I'm just trying to take this from a  
25 rational point of view; okay?

1           No, let me finish. By the time all of these analyses  
2 are done, we're 20 years down the road. And this isn't a  
3 criticism of you. I understand what you're trying to do.  
4 But, you know, we just keep making the problem more and more  
5 complicated and huger and huger. And if we want to gain  
6 public trust, it would be nice to show we could do it in one  
7 place, one time. And I heard all the laughter, and I'd like  
8 to hear the reaction from the audience. But, you know, I  
9 just look at all of the issues, which you very carefully laid  
10 out, and it just seems like a huge--and when we're talking  
11 about nine orphan reactors, not the 70 or 104 that are still  
12 operating, so--

13           JEFF WILLIAMS: So, yeah, this is a much easier problem  
14 than we were dealing with before; however, it is a big deal.  
15 And the other--one of the other key recommendations of the  
16 Blue Ribbon Commission was that we will find sites through a  
17 consent-based approach.

18           ZOBACK: I understand that.

19           JEFF WILLIAMS: And I would think that if the State of  
20 Washington, the community of Hanford, came out and once the  
21 Department and the administration actually put in process a  
22 place to do siting and if they came out to do this and said  
23 they volunteered, I think it would be something that would be  
24 considered. I guess--

25           ZOBACK: Well, they would have to have an incentive to

1 volunteer.

2           JEFF WILLIAMS: Right, obviously. That's all part of  
3 the consent-based siting approach. But my personal belief is  
4 the Department would be open to any consent-based siting  
5 approach; if we were given the direction to, this is what  
6 we're going to do.

7           EWING: Okay. Right. So I'll break the rule; and as a  
8 follow-up comment or question to Zoback's suggestion, any  
9 comments from the audience?

10           REGALBUTO: The concern for the State of Washington  
11 right now is they are housing all the defense waste, and it's  
12 been 50 years. And the Department has not taken any Curies  
13 out of the state. So the states that normally house defense  
14 wastes like South Carolina and the State of Washington and  
15 Idaho normally have protocols of you cannot bring Curies--  
16 so, unfortunately, in the case of the State of Washington, we  
17 don't have a disposal path right now for the future  
18 (inaudible) we produce. And until those Curies leave the  
19 states, you know, there is no dialogue about bringing new  
20 Curies into the state. And that's normally what happens with  
21 the states that house defense waste, and it's an equity  
22 issue.

23           ZOBACK: No, I understand that. It's just there is also  
24 a bigger equity issue. Are we ever going to be able to solve  
25 this problem?

1 EWING: Okay, other questions from the Board? Linda.

2 NOZICK: Nozick, Board. It's a simple one. So this is  
3 just the stranded waste; what about the other reactors? Is  
4 there a plan to survey again to update the transportation  
5 site studies?

6 JEFF WILLIAMS: Yeah, I think that would be the next  
7 step. So, you know, we have done this last in 2003 or '04.  
8 But if we got to this point, yeah, it would definitely have  
9 to be done. And the way I view this is, yeah, you have a  
10 pilot, and this is what we do first, and you get, as the BRC  
11 talked about, the stepped stage-wise approach, this being the  
12 first step. If a volunteer host community accepted this and  
13 they wanted more, that would be the next step. And then you  
14 would have to go to Mark's architecture study to see what's  
15 best to take next. Is it out of the pools? Is it out of  
16 storage? Are we going to re-package? I'd say, actually,  
17 it's a relatively much easier first step. However, as I was  
18 on the airplane yesterday with Monica, I don't think people  
19 ever understand the complexity of just this, like you said.

20 EWING: Other questions from the Board? Staff? Gene.

21 ROWE: Rowe, Staff. On Slide 8, if you would, Bill, it  
22 shows the 71 COCs expire, and it looks like they're all going  
23 to expire within the next two years. Is there any effort to  
24 go through a relicensing? And it's two questions. Is there  
25 any effort to do that, and who is responsible for the

1 licenses? Is it DOE or is it the utilities?

2 JEFF WILLIAMS: Actually, it's the vendor is responsible  
3 for the licensing. And my understanding--and maybe Earl can  
4 correct me--is that the storage--well, the storage facilities  
5 are licensed for 20 years, so you can see the storage  
6 facility has a different expiration time than the--

7 ROWE: Right. I'm looking at the 71 license.

8 JEFF WILLIAMS: The transportation casks are only  
9 certified for five years. And from my understanding to date  
10 is the NRC has pretty much been--there hasn't been a whole  
11 lot of issue with the recertification of transportation casks  
12 to date. And my understanding is that also the ones that are  
13 coming up soon are going to be recertified. And I don't know  
14 if--

15 ROWE: Can we get the NRC's position on that?

16 EASTON: Then do I get to ask Jeff a question?

17 JEFF WILLIAMS: Sure.

18 EASTON: Transportation casks are certified for five  
19 years. And that's largely because, transportation being an  
20 international event, we keep our certification in line with  
21 certifications of other countries through the IEA, so that  
22 there's a five-year standard that they do that. Most  
23 renewals are routine. If the licensee comes in for timely  
24 renewal, if we have to do something with the cask, we let the  
25 certificate continue until we come up with a decision. But I

1 think we anticipate that every one of these casks will  
2 probably go through renewal without much of a--

3         ROWE: So when you license, do you license the cask, or  
4 do you license the cask canister system?

5         EASTON: Yes--no--oh, what we do is we do not license  
6 individual casks. We license cask designs. Okay, we license  
7 the design, and then the vendor can build as many as he  
8 wants. Now, for transportation, the transportation package  
9 is defined as both the hardware and the contents. So we  
10 never just license the hardware; it's also with the contents.  
11 So it's sort of a custom-made deal.

12         EWING: And your question? You had a question as well,  
13 as long as you're there?

14         EASTON: Okay, here it goes. It's basically on the last  
15 presentation, but Jeff's in charge of it, so--okay.  
16 Remember, the last presentation had nine scenarios to the  
17 fuel cycle, and--the Commission, the NRC, as part of the  
18 Fukushima effort, has been asked to look at whether it makes  
19 sense for the expedited movement of spent fuel from wet to  
20 dry. And what that would mean is at some point in time, if  
21 the NRC chose to do that, we would order all utilities within  
22 a short time frame to move everything into dry storage. That  
23 means potentially everything would be in legacy casks, there  
24 would be no bare fuel to manage, standardization will--well,  
25 the window will have closed, etc., etc.

1           So I would ask, has that scenario been analyzed?  
2   And if not, there are two good reasons to analyze it. One,  
3   the DOE doesn't want to be surprised if we look at something  
4   like that. And number two, more important to me, we may want  
5   to use that information to decide whether it's wise to do  
6   that, because we have a decision to make that may impact on  
7   ultimate disposal. So I would just--real question: Has that  
8   scenario been considered and--

9           JEFF WILLIAMS: No. Actually, I thought that NRC was  
10   considering this. That scenario is not being analyzed by  
11   DOE, but I would imagine, like you said, there's those  
12   downstream environmental impacts. There's a lot of  
13   consideration--

14          EASTON: I'm on that Tier 3 panel. That's why it's  
15   important to me, so we're deciding that. One of the things  
16   that we said is in the cost-benefit analysis we ought to go  
17   and meet with DOE or get information from DOE how our  
18   decision would impact this whole thing about managing it  
19   downstream. And so this would be very helpful if this  
20   scenario were analyzed, because we don't want any surprises,  
21   and we don't have the data to do that.

22          JEFF WILLIAMS: Right. Mark, you need a follow-on  
23   analysis that has no interim storage and no repository until  
24   2050, and then you'd get the impact of that; right?

25          EWING: Right. Thank you. This illustrates one of the

1 values of this meeting is to bring the agencies together on  
2 neutral ground. Let me ask you, Nigel, did you have a last  
3 question from the staff?

4 MOTE: I want to follow up with Gene's question. I was  
5 in the same frame of thinking as Gene. If I look at the Big  
6 Rock Point example, you went very quickly through we've got  
7 licenses for the transportation casks and its responsibility  
8 to the vendor. But I believe that Fuel Solutions doesn't  
9 exist anymore as a corporation.

10 JEFF WILLIAMS: No, I said they're not in the business  
11 as a vendor. They're not on the--they're not competing, as I  
12 understand, in terms of for new dry storage. I mean, it's  
13 NAC, Transnuclear and Holtec.

14 MOTE: So you'd still be able to look to Fuel Solutions  
15 to follow through with the transportation cask requirement or  
16 whatever--

17 JEFF WILLIAMS: Well, you know, I actually asked the  
18 utility about this, and they said they could possibly look to  
19 another vendor to design another cask to carry that canister.  
20 However, that would mean it would need to be certified. And  
21 so that would--that's something that would need to be  
22 evaluated. It's a little glitch in the whole thing.

23 MOTE: So does the responsibility still fall to the  
24 utility?

25 JEFF WILLIAMS: Well--

1           MOTE: Let me wrap up with another one. This is only  
2 the nine sites, which are the stranded fuel sites. Does that  
3 situation exist with a number of other sites where they're  
4 not yet shut down but they've brought in systems where there  
5 may be the same sort of issue with the discontinuity in the  
6 supply? I don't know if it's an isolated example of--

7           JEFF WILLIAMS: I'm not aware of one off the top of my  
8 head. I think there is another Fuel Solutions system in  
9 Arkansas--

10          EASTON: If you look at the NRC Digest, which is sort of  
11 an almanac that we put out every year, it will have the list  
12 of every site, which casks they use, and it has a list of all  
13 the vendors and all the casks. It's on our website. It's a  
14 button on the first page. Hard copies are available on  
15 request.

16          JEFF WILLIAMS: I actually have it in my briefcase over  
17 there. I haven't answered your question in detail. And it's  
18 got a big spreadsheet that lists every one of--

19          EWING: Okay, I'll let you two pour over that during the  
20 lunch period. So I'll call this morning session to an end.  
21 I want to thank all of the speakers. I think this was an  
22 interesting morning. And we'll reconvene at 1:00 p.m. Thank  
23 you all.

24                   (Whereupon, a lunch recess was taken.)

25

AFTERNOON SESSION

1

2           EWING: To kick off the afternoon session, we'll be  
3 hearing from Harold Adkins, Senior Research Engineer at PNNL,  
4 and the topic is "Modeling Used Fuel Storage Temperatures."

5           ADKINS: Thank you. I work at Pacific Northwest  
6 National Laboratory. I'm here on behalf of DOE, and I need  
7 to speak to you about some of the UFD campaign goals and  
8 initiatives and some of the work that we've done up until now  
9 regarding modeling used fuel storage temperatures. One of  
10 the things that I'm going to start with is kind of discussing  
11 some of the reasons that we're doing this, some of the safety  
12 drivers, and then discuss some of the tools we utilize,  
13 validation associated with those tools, some of the work that  
14 we've done to vet those tools, and then explain also some of  
15 the details regarding work that we've done so far and then  
16 where we're going in the future.

17                   I guess to start off, what's our concern and why  
18 are we performing these initiatives for the campaign? One of  
19 the things that came out of a gap analysis that the DOE did  
20 as well as NRC was to prioritize things that had a market  
21 effect on degradation processes, and temperatures and  
22 temperature distributions were identified as Rank 1 for  
23 having an effect on those issues. Some of the things that  
24 immediately came up after identifying the Rank 1 priority is  
25 that realistic as opposed to overly conservative temperature

1 predictions were required simply due to the fact that if you  
2 were to over-predict the temperatures, it would under-predict  
3 some of the effects and things of that nature. And just  
4 simply adopting some of the industry or typical uses  
5 regarding developing conservative models would literally  
6 over-predict some of the temperature distributions for set  
7 systems.

8 Over-estimating temperatures, again, just to name a  
9 few, over-predict the amount of hydride reorientation that  
10 can occur with fuel cladding as well as, you know, making--  
11 annealing some of that damage away, which would lead to a  
12 false sense of security, and then under-predicting stress  
13 corrosion cracking effects as well as deliquescence can also  
14 occur, because you're assuming the temperature of  
15 constituents are hotter, and this directly relates to the  
16 canister shell temperatures.

17 As previously stated, we need accurate predictions  
18 on temperatures from past, present, and future, predictions  
19 of the storage systems themselves, to determine the clad and  
20 support and safety system behavioral characteristics.  
21 Especially critical for transportation is to know if we're at  
22 or below the ductal-to-brittle transition temperature for  
23 cladding, simply due to the fact that it becomes a lot more  
24 fragile and easier to damage. One of the thing to keep in  
25 mind is, you know, through the core of a transport system and

1 its payload, the hotter portion--while it's stored the hotter  
2 portion of the fuel will actually go through its ductile-to-  
3 brittle transition temperature later in the game than some of  
4 the cooler temperatures out in the ends of the fuel assembly.  
5 And understanding the temperature distribution throughout the  
6 used fuel payload is important to characterize these effects  
7 and understand what might occur during transportation  
8 initiatives.

9           Touching back on some of the tools that we use, as  
10 I discussed previously, and some that we've employed during  
11 the campaign currently, and discussing some of the validation  
12 application history is what I'm going to go through now. As  
13 far as code development, back in the early '80s DOE/OCRWM  
14 initiated a search to identify an analytical tool that would  
15 accurately predict temperatures through spent fuel storage  
16 payloads simply to determine peak fuel cladding temperatures  
17 and assembly temperature distributions throughout the payload  
18 core and then temperatures of safety systems such as seals  
19 and neutron shield material for dual-purpose casks that were  
20 out on ISFSI pads.

21           And the capability requirements were essentially  
22 "grand challenged" at the time for a CFD code, and the main  
23 objective was to include flow modeling within the fuel rod  
24 array to enhance cooling and capture those effects;  
25 steady-state natural convection to be able to capture that

1 explicitly and accurately characterize it, as well as also at  
2 the outer package surface boundary. And then thermal  
3 radiation, since it contributes about 20 percent of its  
4 cooling capability within the core, the objective was to also  
5 capture that as well accurately.

6           Two codes were selected originally during a survey  
7 of existing codes that were available as best available  
8 starting points per multi-phase development and validation  
9 effort. And the intent was to calibrate the codes for flow  
10 and heat transfer with inert gas backfill charges for the  
11 systems and also establish what that influence would be  
12 through the array--oops, I need to--sorry about that--forward  
13 to the next slide--and establish the interaction internally  
14 with different fill gases and their influence and then also  
15 to verify the implementation of conservation equations--mass,  
16 energy, and momentum--and to validate against full test scale  
17 data of said systems and some of the higher-capacity systems  
18 as well.

19           Initial verification was performed on single-rod  
20 bundles that were simply mock-up fuel assemblies. They were  
21 electrically-heated assemblies, and then a down-select was  
22 performed on which package to carry forward after performing  
23 those evaluations. After that COBRA-SFS was selected as the  
24 leader for the particular time. It had a little better  
25 predictive characteristics than HYDRA-II. An OCRWM

1 validation effort was initiated at INL after that that  
2 released Cycle 3 code, and after that it was basically tasked  
3 to evaluate blind pretest predictions of multiple cask  
4 systems at a Test Area North facility at INL as part of the  
5 validation process.

6 Over 78 blind test analyses were performed, and I  
7 say "over" because I can only find 78 to date, based on  
8 correspondence that was previously communicated between DOE  
9 and NRC. And of these, I guess, most notably, a Transnuclear  
10 TN24P was one of the highlights where we did quite a bit of  
11 work. The Sierra Nuc VSE-17 was one where they actually went  
12 through and encapsulated some of the fuel assemblies after  
13 consolidating them, which is a practice that's no longer  
14 necessarily relied on, because it multiplies the waste stream.  
15 And then the REA 2023, which had different cooling  
16 characteristics and a different type of light water reactor  
17 fuel assembly. It was a BWR fuel assembly; whereas, the  
18 TN24P, the P is for PWR.

19 Basically, this slide is included just to give you  
20 some of the references, and the one thing I wanted to point  
21 out is that at the back end of the presentation there's two  
22 pages of validation references, including some of the work  
23 that's also been conducted to date regarding transfer,  
24 transport, and storage systems.

25 This is just to make an example of some 24P results

1 that I pulled out with some explanation. This is of a system  
2 that sits on its side and also has the capability of being  
3 set up vertically. This particular orientation is horizontal  
4 orientation with the fuel assembly load through the payload  
5 core. And what you're seeing through the cross-section of  
6 the plot is basically the peaking profiles through the fuel  
7 assemblies. And then also down at the bottom of the plot is  
8 basically the materials as you cross through this portion of  
9 the key up in the upper right-hand corner of the plot,  
10 showing where thermocouples were located within the basket  
11 when they performed the tests. And I guess most significant  
12 here is, the location for horizontal orientation, the  
13 thermocouples are located within the hotter part of the core,  
14 the peaking point of the decay heating profile within the  
15 core of the basket.

16           And then, I guess, one final note I want to make  
17 here is, there are some points here within the data and going  
18 from a nitrogen case down--or a vacuum case down to a  
19 nitrogen case down to a helium case, simply showing that  
20 helium was a better heat transfer--or a conduction media to  
21 communicate the heat or migrate it out of the cask. And also  
22 these points that are down here are simply due to the fact  
23 that--the reason they're so far below is, the only thing  
24 that's plotted right here is the predictive temps through the  
25 fuel assembly cores, and those measure temps are at the

1 basket surface where there is an extreme gradient, so the  
2 spikes simply weren't put in. They were within a couple  
3 degrees of each other on the predictions, though.

4           The next plot simply shows the same cask with only  
5 one backfill media, which is helium, and basically looking at  
6 the key here showing the thermocouple locations and then the  
7 distributions. And one of the things I need to note is that  
8 those were thermocouple trees, multiple locations of sensing  
9 temperature within the same cross-sectional location, if you  
10 will, and, again, you know, within five degrees on most of  
11 the predictions and predicting conservatively in most cases.

12           Stepping out of the discussion of validation going  
13 into application, one of the things that was done after the  
14 validation initiative associated with the code was performed  
15 is DOE funded a review by NRC--conducted by NRC. And NRC  
16 subcontracted a team of national experts to review the code  
17 for use in predicting thermal performance and accurately  
18 predicting spent fuel temperatures, the core of the payload,  
19 across the cross-section of storage and transportation and  
20 transfer systems available. And after, I guess, positive and  
21 favorable reviews at the juncture of when a lot of this was  
22 tabulated and concluded that the code did an accurate job of  
23 performing the predictions, NRC established a contract with  
24 PNNL to perform confirmatory analyses of said system, storage  
25 transfer, and transport systems themselves as casework and to

1 do some of the either backup or primary applications, some  
2 middle reviews.

3           One of the things that needs to be noted here is,  
4 in this particular campaign we utilized multiple tools,  
5 COBRA-SFS, what I would call a legacy code because of its age  
6 and date of development. We rely on quite a few other  
7 analytical packages due to the fact that there's trained  
8 operators as well as something that has a GUI interface where  
9 you can communicate your results and details a little more  
10 effectively than having to pull specific temperatures and  
11 assemble plots.

12           A lot of these codes that we apply such as some of  
13 the examples--FLUENT, STAR-CD and CCM--those are part of the  
14 CD-adapco--as well as ANSYS and some other ancillary tools  
15 that we've used in the past. They all tie back to the  
16 validation initiatives and directly hinge on the  
17 methodologies and correlational developments that surround or  
18 have been employed within COBRA-SFS itself and have a direct  
19 tie back to the validation work.

20           And, again, you know, part of the reason why we  
21 have adopted some of these other codes in this particular  
22 initiative is due to the fact that there is existing general  
23 purpose commercial codes that there is a number of users that  
24 are trained to be able to utilize and take advantage of, as  
25 well as the fact that COBRA-SFS is a fairly complicated code

1 to use and requires a seasoned operator and, again, doesn't  
2 have a pre or post processor.

3           Some of the previous applications that we've  
4 evaluated with this suite of codes, if you will--now I'm  
5 talking more than just COBRA-SFS--but fundamentally the top  
6 tier are mostly COBRA-SFS. One of the things that we've done  
7 is support a Duke Power NUHOMS module relicensing support  
8 initiative. EPRI has funded the dual purpose NAC cask  
9 performance evaluations back in the day. COBRA-SFS itself  
10 was actually used to look at the feasibility associated with  
11 wrapping some of the fuel pins within the FFTF reactor to  
12 enhance heat removal from the fuel assemblies.

13           And then it's also been employed to study something  
14 such as the Hanford Canister Storage Building that I don't  
15 know if a lot of you are familiar with, but I do have some  
16 slides in here that I'll only broach on. Mainly what it is,  
17 it almost looks like a tube array or, you know, that it be  
18 used for heat removal; and that's exactly what it's designed  
19 for. But it's basically a dual-tiered canister structure  
20 that are put down in vertical ports and then ducted from one  
21 end to the other in a vault, similar to what you would see  
22 with, like, a repository.

23           Spent fuel pool analysis associated with postulated  
24 Zirc fire has also been evaluated with COBRA. And then the  
25 Skull Valley Contention "H" rebuttal to protect NRC in the

1 capability of continuing to employ ISFSIs as well as what was  
2 intended to be, I guess, deployed at Skull Valley, it was  
3 also utilized for that.

4           Some of the recent and current applications that  
5 the tools that I had previously discussed are being utilized  
6 for, we have performed numerous confirmatory analyses of  
7 applicant's middles (phonetic) proposed for storage,  
8 transfer, and transportation systems that have been proposed  
9 to the NRC for receiving CFCs, and these include the gambit,  
10 normal and hypothetical accident conditions that are governed  
11 by the Code of Federal Regulations. And we have been doing  
12 that work, I think, for almost two decades. We're coming up  
13 on two decades.

14           Some of the work that we've also been recently  
15 involved in--I say recently, it's about eight years or more--  
16 is some of the extra regulatory evaluation. We're taking a  
17 look at what would happen under circumstances that revolved  
18 around the Baltimore tunnel fire, the Caldecott tunnel fire--  
19 and I'm sure some of you are familiar with that--as well as  
20 two other evaluations that are coming out to complement the  
21 first two: the McArthur Maze fire and collapse accident  
22 evaluation for an over-the-roadway or legal truck transport  
23 system, and the Newhall Pass is highly similar except there  
24 was no collapse or anything like that.

25           Some of our current campaign goals and objectives

1 are--we need to--and I'm speaking on behalf of UFDC--need to  
2 validate predictive tools for high-burnup fuel and newer,  
3 higher-capacity dry cask storage systems. And it's not that  
4 we think the heat transfer mechanisms or the physics are  
5 going to change. It's merely due to the driver being able to  
6 point to something and say that you have the verification and  
7 validation history to prove safety and dispel concerns.

8           NRC is currently asking the industry for  
9 inspections to support license renewals, and this is kind of  
10 leading into augmentation of validation for some of the tools  
11 that are being employed. DOE is teaming with EPRI currently  
12 including--they are also supplying funding to perform some of  
13 these future inspections.

14           And then one of the things I wanted to comment on  
15 is just--what we did over this last FY is some of the pre-  
16 test and post-test thermal predictions performed at Calvert  
17 Cliffs Nuclear Power Station. I'll go into that. Some of  
18 the objectives there were to determine storage system  
19 component temperatures through the cross-section of the core,  
20 even though we couldn't measure those out the canister wall  
21 and then some of the ancillary storage system components like  
22 the concrete enclosure.

23           It's an internally ventilated storage cask that we  
24 selected to model, which is the exclusive system that's used  
25 at Calvert Cliffs, although the particular system that's

1 employed there is an older NUHOMS version. I think the  
2 original developer--I believe it's Framatome. Anyway, NUHOMS  
3 zero, if you will, because there are quite a few gens of the  
4 NUHOMS system marching forward in time that are a little more  
5 effective at heat removal.

6           And then one of the other initiatives was to  
7 demonstrate state-of-the-art evaluation capability and  
8 analytical practices and kind of show how closely we could  
9 predict temperatures and, again, to perform partial  
10 verification of set tools and analytical practices.

11           ZOBACK: Could you say what HSM is? You've been using a  
12 lot of acronyms.

13           ADKINS: I forgot.

14           SPEAKER: Horizontal storage module.

15           ADKINS: Exactly. I apologize for that. And, you know,  
16 that's a good point. There are quite acronyms. I apologize  
17 for those. I will try to go through every single one as I go  
18 forward; and if you have questions on ones that I've already  
19 stated, please ask.

20           ZOBACK: NUHOMS.

21           ADKINS: It's--I don't remember what the NUHOMS acronym  
22 stands for. Please help me.

23           SPEAKER: Nuclear Horizontal Modular Storage.

24           ADKINS: Excellent. Thank you. Of these particular  
25 systems, no. To give you some background, Calvert Cliffs

1 Nuclear Power Station is located near the Eastern Seaboard.  
2 Mainly what they have is an ISFSI that's located off-site,  
3 and that's an independent fuel storage installation. It's  
4 located just off-site from where the reactor is located. You  
5 can see the reactor here, and then the ISFSI is down here.

6           Forwarding on--forging. The Calvary Cliffs site--  
7 it has a site-specific storage module, CFC. And one of the  
8 things that we relied on and EPRI assisted us with is, they  
9 have a solid model representation with all the parameters of  
10 this particular system, and they provided it to us to  
11 integrate into a thermal model. The other thing that was of  
12 tremendous assistance is dry storage canister details that  
13 were extracted from a Monte Carlo N-Particle, MCNP, model  
14 that we migrated into a SolidWorks model that could be mated  
15 with the dry storage cask itself and converted into a thermal  
16 model. John Massari--that was courtesy of John Massari,  
17 Calvert Cliffs, and they also had drawings that they  
18 communicated and passed on that we could utilize.

19           Going forward and taking these solid model  
20 parameters, transforming them, we merged them into a  
21 STAR-CCM, which is part of the CD-adapco suite computational  
22 fluid dynamics model and solved--I should explain the HSM-1  
23 and HSM-15. HSM-1 is the colder--it's the coldest canister.  
24 It was the initial loaded canister--and correct me if I  
25 misspeak--and then the HSM-15 is actually the lead canister,

1 and it has the highest decay heat load currently. And that  
2 was the one that I'm going to make the example of in the  
3 temperature distributions. And this just merely gives you  
4 some of the model specs of what came out of it with the K-O  
5 turbulence model and some of the options that were utilized  
6 out of the CD-adapco suite.

7           One of the things you can see down here is highly  
8 resolved, highly detailed in the vicinity of the basket and  
9 the fuel assemblies and then migrating outward where we have  
10 components like concrete and things of that nature with a  
11 little less detail, because they're really not huge drivers  
12 to the heat removal potential of this particular system,  
13 because it is internally ventilated.

14           Some of the thermal prediction results--and this is  
15 for the HSM-15, because it's a little more spectacular than  
16 the 1; the 1 is a lower decay heat load. Just to give you an  
17 example, this particular system had a--it was just upwards of  
18 a 7-kilowatt decay heat load, which is actually quite low by  
19 today's standards of some of the casks that are currently  
20 being loaded. But, anyway, just to go from left to right,  
21 top to bottom, one of the things that you'll see here is this  
22 is showing the velocity magnitudes and meters per second of  
23 the internal ventilation media, which is air from the ambient  
24 migrating through around the canister. This is a central  
25 split vertically of this system and then from inlet to

1 radiation block ball and then out through the exits. And  
2 then one thing you'll also see is the helium convective  
3 environment within the canister since we did a vertical cut.  
4 Or, as to the right, what you see here is dry storage  
5 canister shell temperatures ranging anywhere from 83 to 256  
6 Fahrenheit. And I apologize for the unit's mix here.  
7 Usually when we report things to NRC, I don't know, maybe  
8 it's something that we've established, but it's customary  
9 that we report them in Fahrenheit and then, you know, you're  
10 going to see a mixture of the two, because I think UFDC likes  
11 the metric system.

12           Anyway, going down further here, this is basically  
13 just showing you the temperature of the air as it migrates  
14 through as it heats up and where it stacks up against heat  
15 shields. This particular one, like I was stating earlier,  
16 NUHOMS has gone through a number of different revisions where  
17 they've actually ported the beams to make it easier for the  
18 air to migrate around the canister and things of that nature.  
19 And then it also now has a vertical exit vent and a little  
20 more porting on the heat shields that are in place to protect  
21 the concrete. What you can see is it's migrating out through  
22 the exit vents.

23           And then the last one is just showing concrete  
24 temperatures in general, and these are ranging anywhere from  
25 58 to 123, well below the limits, because of its low decay

1 heat load.

2           So how did we compare? Reasonably well if you take  
3 into account--and, again, this was the pre-test prediction--  
4 reasonably well if you take into account that one of the  
5 previous or initial evaluation boundary conditions that we  
6 selected were based on a seasonal average of 58 Fahrenheit.  
7 And, oddly enough, when we showed up to do the sampling, it  
8 was substantially hotter. It was 82 Fahrenheit, and that  
9 was, I think, the peak that was measured during the actual  
10 temperature measurement of the ambient in that particular  
11 location. In the week just prior to that, there were quite a  
12 bit higher temperatures.

13           And one of the things that also needs to be noted  
14 is, you know, when you consider constituents going through  
15 the basket cross-section, the fuel has a really high thermal  
16 inertia, so it responds fairly slowly, but the canister shell  
17 responds a little more abruptly to ambient changes. So the  
18 very first--the difference in 82 to 58 Fahrenheit is pretty  
19 substantial.

20           But just to go through some of the original  
21 numbers, where we had a good location--where it says n/a we  
22 didn't have the potential or capability for performing  
23 measurements here. And then we also had some measurement  
24 anomalies through--as we extended into the door and you saw  
25 the image of the cask with the door removed, we had a tool

1 that went in and actually touched the thermocouple this side  
2 of the DSE, the dry storage canister shell, to measure the  
3 temperatures and fairly complicated and hard to use just due  
4 to the nature of radiation dose and things of that nature and  
5 all the other things that need to be kept in mind as well as  
6 it being higher temperature in nature.

7           But I guess the main thing is, is out towards the  
8 opening is where we got the most accurate temperatures, and  
9 we were about 12 degrees off for the most part on average.  
10 And then there were a couple locations where we got good  
11 measurements of internal support rails, and we were still  
12 quite a bit off.

13           Anyway, primarily due to the ambient canister end  
14 temperatures, one of the things that we, after doing some  
15 sensitivity studies, found out that the end temperature,  
16 which typically isn't super-critical because we're usually  
17 worried about the peak cladding temperature on the fuel, is  
18 highly sensitive to what kind of contact the fuel can make  
19 contact with in the bottom and whether it's in intimate  
20 contact or backed away and got jostled during the loading  
21 process, if you will.

22           Anyway, backing up, some of the anomalous  
23 temperature readings that occurred past the zero point  
24 insertion. And then one of the other things that was  
25 disclosed to us after performing the analysis is that the

1 vent configuration for this particular site-certified system  
2 is a little different than others. It has some bug screens  
3 that are high-mesh density and actually provide a little  
4 larger pressure drop, so that lowers--you know, it influences  
5 the cooling capability by reducing it ever so slightly.

6           So taking all these things into account, one of the  
7 things that we come back to--and this is primarily due to our  
8 original ambient assumption--we're about one, two degrees off  
9 on some of the predictions between the thermocouple  
10 measurement to the HSM-1; that was the cold canister. But in  
11 suit for the lead canister I think we were three degrees off,  
12 and this is, again, Fahrenheit.

13           And then as we go on down through, you see that we  
14 have really good comparison except for two particular  
15 locations at that zero point insertion. And they're on the  
16 vertical faces of the canister and what we believe is  
17 basically when the door was pulled, it was out of place for  
18 40 minutes, and air is rushing in to cool that off, because  
19 it's substantially hotter than the ambient.

20           Just going through some of the maximum component  
21 temperature predictions, concrete temperatures were--you  
22 know, depending on the HSM-1, which is the cold, up to the  
23 lead canister, which is the HSM-15, they range anywhere from  
24 133 to 158, very low, about half of what the ACI limit is,  
25 regulatory limit. And then DSE, the canister shell

1 temperatures, 208 to 290, depending on, you know, the systems  
2 again, and then fuel temperatures ranging anywhere from 279  
3 to 422. And to put that in perspective, 400C is your limit  
4 and we're at about 217C. And then looking at the heat shield  
5 temperatures, really not a huge driver, 143 to 187.  
6 Obviously all the components due to the low heat load are  
7 well below the thermal limits.

8           And this plot was simply added to show and convey  
9 or communicate the difficulty we had with some of the tool  
10 measurements. If you look at the thermocouple data--and this  
11 is for, I believe, the HSM-1, which is the only one we could  
12 insert the thermocouple into--mainly on the outside at the  
13 zero insertion point we got really good agreement. And then  
14 as we--you know, as you would have anticipated, the K heating  
15 profile, as you go from one end to the other end of the fuel  
16 assembly, it's going to have a parabolic shape in how it  
17 dissipates its heat due to decay and based on its neutron  
18 influence in the reactor and after it's kicked out, and we're  
19 not seeing any evidence of that on the outside surface. This  
20 was actually the predicted temperature.

21           But one thing that we find that's significant about  
22 these two points is they're coincidentally the same  
23 temperature that was predicted of the air itself as it sweeps  
24 around the canister, so it's about where it would be measured  
25 about a half inch above the canister. So it mainly tells you

1 that we're measuring probably the air temperature alone.

2           Where are we going in the future? There's two EPRI  
3 inspections planned during FY13. What we are currently doing  
4 now and plan to do in the near future is some sensitivity and  
5 uncertainty analyses to drive our evaluations and kind of  
6 focus where we want to point our research and to, I guess in  
7 a lot of senses, control costs associated with that  
8 initiative. We want to extend the CFD code validation  
9 capability by doing a little better sampling and working out  
10 the bugs in some of our measurement approaches; work with  
11 industry to validate codes during vacuum drying in  
12 high-burnup used fuel under prototypic conditions; and that  
13 would, again, go into the suite of validations that's gone  
14 behind some of these tools in their development.

15           And then one of the things I wanted to nail before  
16 closing is that current codes, applications, methodologies  
17 can be extended from storage and transportation to disposal;  
18 and one of the examples is the case work that was done was  
19 well over a decade for the Hanford Canister Storage Building.

20           And, with that, I'd like to close and answer any  
21 questions.

22           EWING: Right. Thank you.

23           Questions from the Board? Paul.

24           TURINSKY: A simple question. I didn't see any error  
25 bars on your thermocouple readings.

1           ADKINS: That's a good point. And I think they're  
2 currently working on that. All we got was the raw data that  
3 we did the rudimentary comparison on. And I think that is  
4 something that will actually go--correct me if I'm wrong,  
5 John--into the report that stems from EPRI's evaluation of  
6 that particular system.

7           PEDDICORD: Peddicord. Board member. Back on Slide 3,  
8 when you were talking about the clad going through ductal to  
9 brittle transitions and so on, which is really interesting,  
10 the question that comes to mind is fuel coming out of the  
11 reactor going into what storage. Is that going to cool down  
12 sufficiently to first go through a transition, then you put  
13 it in dry storage, heat back up again, and then over time  
14 come back through it, and would that leave some residual  
15 stresses that could affect clad integrity over the long term?

16           ADKINS: There is that possibility, although I'm not the  
17 materials expert here on the DBTT issue. And I know that  
18 there's a lot of different schools of thought associated with  
19 that, so I don't know that I could answer that accurately.  
20 But yes, there's a potential for that to occur.

21           PEDDICORD: And then you also noted that, given the  
22 axial profiles, that this transition would actually occur  
23 along the fuel pin over time as well, too.

24           ADKINS: Yes.

25           PEDDICORD: So if you go through those phase changes--

1           ADKINS:   Excellent question.

2           PEDDICORD:  --again, you wonder if there might be some  
3 added stressed introduced that--

4           ADKINS:   Exactly.  But, you know, it's a multi-faceted  
5 problem, too.  And I apologize for interrupting, eager to  
6 answer the question.  One of the things to keep in mind,  
7 too--and, again, I'm not the materials guy, so I'll have to  
8 defer this question.  We can definitely get that information  
9 to you.  But one of the things to keep in mind is, zones of  
10 damage that will occur are a lot less--the damage is a lot  
11 less pronounced at the ends of the fuel, is what has been  
12 expressed to me, just due to its fluence characteristics  
13 within the reactor.  So you can have a mixed bag.

14          PEDDICORD:  Sounds like some intriguing possibilities  
15 here, though.

16          ADKINS:   Excellent questions.

17          PEDDICORD:  Thank you.

18          EWING:    Paul.

19          TURINSKY:  Turinsky, Board.  That stimulated another  
20 question.  Where the fuel gets either very hot when they're  
21 drying it and they draw the vacuum and there's no helium,  
22 that would be an interesting case to simulate, and it could  
23 look at some of these issues of hydrating and all that takes  
24 place there.

25          ADKINS:   Hydride reorientation.  And I'm not--

1           TURINSKY: So are there any plans to look at that  
2 particular part of packaging?

3           ADKINS: And I defer that to our UFD campaign  
4 individuals. I can't speak to that.

5           SWIFT: That would be a yes.

6           EWING: Okay, thank you. All right, let me--

7           SWIFT: Peter Swift. Sandia National Labs. Yes, we do  
8 have work going on with that. The temperature during the  
9 drying and the hydride reorientation, we actually have  
10 experimental work going on at Argonne, looking at hydride  
11 reorientation in cladding that's been irradiated, and we can  
12 present that some other time.

13          ADKINS: Thanks, Peter.

14          EWING: Thank you. Steve.

15          BECKER: Becker, Board. You mentioned looking at a  
16 number of extra-regulatory fire cases. I'm just wondering  
17 what kinds of things were learned from that work.

18          ADKINS: Actually, that's an excellent question, and  
19 that one's definitely been intriguing. You know, depending  
20 on the capacity of the system and its sheer size, one of the  
21 things that--and what I'm going to do is open--I'll just  
22 speak briefly and open the floor for whoever wants to address  
23 this a little more.

24                    But one of the things that was quickly discovered  
25 is how robust a spent fuel system is, especially some of

1 these larger capacity casks, because they've got just a huge  
2 thermal inertia behind them. And typically, when you look at  
3 it from a thermal perspective, where you start getting into  
4 trouble from the fuel cladding itself is simply due to the  
5 fact that its avenue for heat transfer removal is shut off  
6 for awhile. It's not due to the thermal insult on the  
7 package itself. You know, as long as the package is designed  
8 reasonably well--and, you know, one of the things that the  
9 regs are in place for is to make sure that there is kind of a  
10 stoutness test and vetting of where, you know, you're going  
11 to put your seals and things of that nature under impact  
12 limiters in the design process and development process. But  
13 one of the things that we have learned is, literally, you  
14 know, it takes quite a bit, and you have to be very decisive  
15 on the path that you take to try to fail a spent fuel system.

16 I'd like to open it up to Earl just to comment in  
17 addition to--

18 EASTON: These extra-regulatory fire transfers were done  
19 on behalf of the NRC. And let me just say where I think  
20 they're coming out. If you look at real-life fires, most of  
21 the heat gets carried away by diffusion, and it limits the  
22 actual temperature of the fire. It's not the--where we  
23 really get the challenges is where you block that diffusion.  
24 That's why we're studying a rail tunnel fire, a highway  
25 tunnel fire. The other two examples were an overpass that

1 sort of collapsed down, it's like a tunnel, and the Newhall  
2 Pass was a highway tunnel.

3           That said, I don't think that the results are  
4 catastrophic, but they may indicate that they are over the  
5 regulatory limits in some case. We plan to put out some sort  
6 of summary document on all these fire tests at some point.  
7 But, again, it tends to be where you're in a tunnel or an  
8 enclosed space. We immediately went to the Association of  
9 American Railroads and tried to put operational controls to  
10 even lower that probability. I felt compelled to say that  
11 since they were--and we would be glad to brief you guys on  
12 this whole, you know, series of studies if you would want to.

13           EWING: Okay, thank you.

14           ADKINS: One of the things, too, that those studies have  
15 encompassed, evaluation of small to large capacity casks, all  
16 the way up from, you know, a legal truck to well above a  
17 heavy-haul rig.

18           EWING: From the staff, questions? Yes, Kirstein.

19           KIRSTEIN: Kirstein, Staff. Do you have any plans to  
20 collaborate with the external temperatures that can occur  
21 during a repository preclosure period? In other words,  
22 temperature predictions during the ventilation phase for  
23 normal and off-normal events, for example loss of ventilation  
24 in a repository. There may be a requirement for package  
25 retrieval up to a century or so, so maybe knowing those

1 temperatures during preclosure period of a repository  
2 operation would be worthwhile.

3 ADKINS: We have had some minor discussions. And I  
4 guess one of the things that we might want to do is postpone  
5 a little bit for Ernest to go through his presentation; then  
6 we can discuss maybe how to couple those together and what  
7 would make sense.

8 EWING: Doug.

9 RIGBY: Yes. In the past when I've tried to locate some  
10 of these kind of predictions and information, for instance, I  
11 know for regulatory purposes, this is proprietary, you can't  
12 get it. Is your information available to the public, to us?

13 ADKINS: Yes.

14 RIGBY: Okay, good.

15 ADKINS: The one study that was done for Calvert Cliffs  
16 will eventually be rolled into an encompassing document  
17 that's going to be made available to the public by EPRI, and  
18 I believe it's also available through UFDC and then the works  
19 that have been performed from the NRC. Two of the four  
20 extra-regulatory evaluations are readily available and have  
21 gone out for public comment.

22 RIGBY: Could I ask a question about validation quickly  
23 also?

24 ADKINS: Sure.

25 RIGBY: By the way, Doug Rigby, Staff. I'm wondering,

1 with your validation, your pre-test, that is a Class A-type  
2 prediction where you have some starting point, you predict  
3 something, and then you go out and measure and see what you  
4 get?

5 ADKINS: Yes.

6 RIGBY: If so, your validation--what is your time-  
7 equals-zero conditions? Where do you start? And then how  
8 far have you--how far does the prediction--has it been  
9 validated for a full-scale case?

10 ADKINS: As far as into the future many years type of  
11 deal, there's definitely some data collection that needs to  
12 go on for that type of venture. I believe that we still have  
13 systems that we can pull information from to utilize  
14 directly, albeit they're lower-burnup systems. But, you  
15 know, when you look at the vehicles that are going to change  
16 a thermal behavior, there's not much that changes after it  
17 comes out of vacuum drawing as long as things go as planned,  
18 if you will. That's kind of a poor answer. I apologize.  
19 But, I mean, mainly, when you look at spent fuel cladding,  
20 it's graded pretty substantially so that emissivities are  
21 high. Baskets are fairly high, you know, when they go  
22 through even some of the shells, when they go through the  
23 pickling process, welding, what have you, surface roughness  
24 go into that; but not a lot of it changes with the inerting  
25 atmosphere. But definitely to be able to put the seal on the

1 validation initiative, more data collection would be  
2 required.

3 RIGBY: Where did you start your simulation for Calvert  
4 Cliffs? What was time equals zero?

5 ADKINS: Oh, Calvert Cliffs, I apologize, should have  
6 commented on that, and there was quite a few details. It  
7 actually has--the predicted burnout of scale that we worked  
8 with Oak Ridge and Calvert Cliffs with on, the duty cycle and  
9 burn at each particular fuel assembly, how they were loaded  
10 in the cask, and what they did is basically go through and  
11 date those out to the exact inspection date. And then the  
12 only thing obviously that made the tremendous difference in  
13 temperature on places that were measured was the ambient.  
14 And the reason we weren't able to just roll that in, other  
15 than for me to speculate when we went through and noticed,  
16 hey, this is substantially hotter than what we use, is we had  
17 to do those evaluations months in advance before we actually  
18 landed on-site to do the testing. But it was done with the  
19 intent of capturing the temperatures at the sampling date of  
20 the actual decay.

21 EWING: Last question. Efi.

22 FOUFOULA: Foufoula, Board. So yesterday at INL we  
23 heard two relatively new research directions. The one was on  
24 material characterization through new thermographic  
25 technology done to nanoscale, and the other was very high-

1 resolution modeling of, again, coupled processes over time  
2 but very high resolution. And I wonder this, both the  
3 technology for very small-scale changes in the material and  
4 also, you know, the performance of the whole system over  
5 time, isn't that affecting to one degree or another  
6 temperature predictions through your--

7       ADKINS: I don't know what the comments were made  
8 yesterday and, you know, what it directly referred to and  
9 what it encompassed, so I can't really comment on that. But,  
10 yeah, I mean, accurate characterization of all the materials  
11 and things of that nature and how they behave over time is or  
12 main objective, you know, and that goes into the hydride  
13 reorientation phenomenon and some of the annealing that would  
14 go through vacuum drawing, all of those need to be taken into  
15 account and understood a little more effectively. And that's  
16 specifically why, when Peter commented on the hydride  
17 evaluation work that we're going to be doing, that's the  
18 target. So yes.

19       EWING: Just to follow up, what we saw yesterday was  
20 almost atomic-scale modeling, say, bubble formation, fracture  
21 formation, things that would affect the thermal conductivity  
22 as a function of time, radiation field. So I think the  
23 question is, would that level--or do you anticipate that  
24 level of modeling being coupled to your thermal model?

25       ADKINS: Yes and no. From a thermal perspective, once

1 things are buttoned up, and if you have a pretty accurate  
2 characterization of the type of decay heat load that would  
3 come from the uranium within the fuel assembly, and you've  
4 modeled the specific heat transfer highways, I'll say,  
5 whether that be the incorporation intricately of the system  
6 that is carrying it, you should be able to get pretty close.  
7 And in some ways I look at the thermal--even though it's  
8 absolutely important in understanding a lot of the other  
9 phenomena, it is kind of the tail on the dog, simply due to  
10 the fact that not a whole lot changes, and as time goes on it  
11 will only get a little bit better, the heat rejection, over  
12 the course of when the decay heat is reducing.

13           But, you know, the main driver of being able to  
14 predict that in real time currently and in the future is  
15 important. I'm not discounting that. I don't know--you  
16 know, based on some of the evaluations that we've previously  
17 done, I think we're plus or minus ten degrees Fahrenheit with  
18 some of the previous or historic COBRA predictions, which is  
19 well done. And, you know, that incorporates some of the  
20 different vacuum drying scenarios, different backfilling,  
21 even backfilling contamination when you have one gas in there  
22 and then you backfill it with another gas and evacuate it,  
23 its influence of a reduced atmosphere, pressurization by  
24 enhanced pressurization to augment its cooling capability,  
25 things of that nature. We have a pretty good feel of where

1 that would run things. And then the other thing that can  
2 come out of this is sensitivity evaluations of set  
3 parameters.

4           Hopefully I answered that question.

5           EWING: Thank you. We need to move on, but thank you  
6 very much.

7           ADKINS: Thank you. Thank you.

8           EWING: The next presentation is by Ernest Hardin. He's  
9 at Sandia National Laboratory, and the title is "Generic  
10 Disposal Concepts and Thermal Load Management for Larger  
11 Waste Packages."

12           HARDIN: Very good. I'm a geoscientist. I had the  
13 privilege of leading a small team for the past year and a  
14 half or so to look at some disposal concepts and the thermal  
15 load management that we could achieve with them. I couldn't  
16 put everybody's name on here, so I should call out that Phil  
17 Rodwell and Mark Dupont of Savannah River and Montu Sharma  
18 and Mark Sutton of Livermore contributed significantly to  
19 this. So I'm hoping that this presentation flows smoothly  
20 through a couple of years of work in a couple of phases, and  
21 it gives you a good idea of what we've learned.

22                   I'm going to reach back to the January 2012  
23 briefing and just basically maybe do a little bit of review  
24 on the concepts that we presented then, which were the  
25 enclosed emplacement modes in crystalline rock, clay or shale

1 media, salt--namely bedded salt--and the deep borehole  
2 concept. And I'll present a quick summary of the thermal  
3 analysis for those and then move on to a finite element  
4 analysis for the generic salt repository, and we'll look at  
5 waste package sizes up to the 32-PWR size and then launch  
6 into the open emplacement modes. And it was our task to  
7 develop some of those and then present a thermal analysis of  
8 them as well and just summarize.

9           Now, why larger packages? The earlier results that  
10 we presented in January pretty much focused on smaller  
11 packages, 4-P up to 12-P sizes, and there was interest at the  
12 time in various what-if scenarios and interest in us looking  
13 at packages as large as 32-PWR. That corresponds to 68-BWR  
14 assemblies in typical practice. And the interest basically  
15 runs along a couple of different lines.

16           EWING: Excuse me. Go ahead.

17           ZOBACK: I think PWR is pressurized water reactor, but I  
18 have no idea what 32--is it ten feet by four feet or--

19           HARDIN: Yeah, I recognize that I'm kind of out on a  
20 jargon--

21           ZOBACK: Yeah.

22           HARDIN: Yeah. So how big is a PWR fuel assembly? It's  
23 roughly, I'm going to say, 30 centimeters on a side and 4-1/2  
24 meters long; and it consists of roughly 200 tubes filled with  
25 uranium oxide fuel. The tubes are roughly 1 centimeter in

1 diameter. And then there are some brackets and spacers and  
2 whatnot that hold the whole thing together. It holds about  
3 450 kilograms of heavy metal equivalent. The overall mass of  
4 the thing is on the order of 700 kilograms. That's a PWR  
5 assembly.

6 ZOBACK: One PWR?

7 HARDIN: Yeah, that's one assembly.

8 ZOBACK: And 32, are you going to stack those up?

9 SPEAKER: No.

10 HARDIN: They'd be in a rectangular array of some sort.  
11 32 happens to be one of the geometric configurations whereby  
12 one fits square items into a circular pattern.

13 ZOBACK: Okay, thank you.

14 HARDIN: Okay, thank you.

15 So why the 32? Well, the utility preference now  
16 for dry cask storage is for larger canisters with welded  
17 seals. They're interested in limiting worker dose and  
18 obviously in limiting their costs, and they seem to be able  
19 to achieve all that by going to larger canisters. So we're  
20 operating in that environment. There is a potential that we  
21 may someday in this country be using a standardized canister;  
22 and, for the reasons I've just described, it's liable to be  
23 larger. And so this is sort of our target for this study.

24 So what is a disposal concept? It has three parts.  
25 We start with the waste inventory and the geologic setting

1 and the engineering concept of operation. For the work I'm  
2 going to describe here, we're going to be talking about  
3 commercial spent nuclear fuel with burnup of 40 or 60 GWd/MT.  
4 The 40 is what the power plants are generating today. The 60  
5 is a bounding case. Over the past 30 or 40 years burnup has  
6 gradually increased, and we expect it to do so in the future.

7           We've also looked at representative plutonium MOX  
8 and high-level waste types from reprocessing, and I'll refer  
9 you to that report. We've done thermal analysis in the  
10 enclosed modes for those.

11           The geologic settings that we've looked at are  
12 listed here. I just wanted to clarify that the sedimentary  
13 label that you're going to see in this presentation is sort  
14 of a catch-all for a family of lithologies such as alluvium,  
15 but it might include something like the impermeable limestone  
16 that the Canadian program is looking at disposing of  
17 intermediate-level waste in. It's a kind of catch-all that  
18 we use. And hard rock here, we mean granite or maybe  
19 metamorphic or even indurated sediments or welded tuff, for  
20 that matter. But the idea is that this is a material with  
21 good stand-up time; that is, the openings are stable for time  
22 and heat tolerance.

23           And then the engineering concepts of operation that  
24 we're going to cover here include the enclosed modes, so  
25 these ones here that were addressed in our January briefing.

1 The crystalline one is essentially the KBS-3 concept from the  
2 Swedish program. The clay/shale concept is based on some  
3 concepts borrowed from the Andra program in France. The  
4 generic salt repository is more home-grown, and I'll describe  
5 it in more detail. And then there's the deep borehole  
6 concept. That has been, I believe, presented in great detail  
7 to the Board on at least two occasions, so that will be in  
8 the record.

9           The open modes over here then are specifically for  
10 spent fuel. We don't really need them for high-level waste,  
11 and we can talk about, if necessary, some of the reasons why  
12 that would be.

13           So, launching then to the thermal analysis and how  
14 it was done, some of the temperature results that you're  
15 about to see were calculated using a model that's very simple  
16 compared to what Harold Adkins just showed you. It's  
17 superposition of analytical solutions. You can get a very  
18 good first-order estimate for a repository thermal analysis  
19 or scoping calculations using an approach like this. The  
20 package of interest is at the middle. It's represented as a  
21 finite line source. Its neighbors are point sources. And  
22 then the neighboring drifts are line sources, and the correct  
23 heater strengths and so forth are all integrated together.  
24 The solutions are summed, basically.

25           And it's even possible to make an approximation to

1 what's going on in the very near field here by making a  
2 steady state approximation and sort of back-calculating  
3 temperatures in radial zones as they impinge on the waste  
4 package surface. So that's the calculation approach.

5           And here's an example of the type of results that  
6 you'd get. So the case here is a bounding case for a  
7 60 MWd/MT spent fuel ten years out-of-reactor, which is  
8 fairly young. It's in a 4-PWR package, and we used clay or  
9 shale properties. So, for example, the average thermal  
10 conductivity was 1.75 W/m-K.

11           And we present rock wall temperatures. This is not  
12 at the waste package surface. I'll show you some of those  
13 kind of results here shortly. Of course, here is the  
14 calculated temperature history, and the message here is that  
15 the contributions to that history from those different  
16 sources I showed you for the package itself, its neighboring  
17 drifts, changes with time. And so in early time it is indeed  
18 the central package that drives things, and in late time it  
19 turns out to be the adjacent drifts. Why? Because there are  
20 more packages there; and if you change the drift spacing, you  
21 get a correspondingly larger effect.

22           So this is a summary figure of the thermal analysis  
23 presented in January. And it might take a little bit of  
24 explaining, so I'll give it my best shot. What this figure  
25 shows is the amount of surface storage time that would be

1 needed for a package containing a certain number of PWR  
2 assemblies, given that we have to meet these temperature  
3 limits, and that would be 100°C for the granite or the clay  
4 concept and 200°C for the salt. Now, these temperature  
5 limits here are not, by any means, carved on stone tablets.  
6 We get a fair amount of questioning and pushback on these  
7 limits, but I will say that the Swedish program has adopted  
8 100°C as a limit for the temperature of their clay buffer  
9 around the package, that the French program has adopted 90°C  
10 as a limit for the clay formation around some of their  
11 packages. And the concern there is for a multi-phase heat  
12 and moisture movement in the near field, which would cause  
13 some coupled thermal-hydrological-chemical responses that  
14 would in all likelihood degrade the properties of that near-  
15 field clay or shale material.

16           And the salt number is based on a couple of things.  
17 There's a history there. The German program uses this limit,  
18 the original salt repository project in the U.S. uses a  
19 somewhat higher limit, but it's also somewhat conjectural and  
20 is the subject of current ongoing laboratory testing.

21           So the point of the figure here was plotted by  
22 Harris Greenberg at Livermore to show what happens if we  
23 relax some of these limits, what happens to the aging  
24 requirement for these different size waste packages. But the  
25 bottom line here is that there really is a big difference

1 between these concepts and salt, and so I throw this out here  
2 for your information. This is the information that pretty  
3 much put the program on notice that we really were talking  
4 about somewhat small packages, 4-PWR size, possibly even  
5 derated to a smaller size equivalent, for some of these  
6 concepts if we were to follow the lead of the Swedish program  
7 or the French.

8       ZOBACK: Excuse me, can I interrupt for a second? I'm  
9 just trying to understand the model. A clay buffer, I seem  
10 to think, means the clay is packed around the canister;  
11 whereas, salt you've created a cavity and there's air around  
12 it? I'm confused what your boundary conditions are. Are you  
13 just putting a canister and putting the geologic media right  
14 up against it or is there air?

15       HARDIN: Great question. Answer is yes. You've got the  
16 clay buffer idea, and the salt would be--as a matter of fact,  
17 the canister would be emplaced on the floor of an alcove and  
18 covered with crushed salt.

19       ZOBACK: Okay.

20       HARDIN: Okay. And then that crushed salt over time  
21 under the impetus of the closure of the opening in the rock  
22 would consolidate into near-intact properties.

23               So I'll back up. So here is the generic salt--I'm  
24 not going to present a set of calculations for salt where we  
25 try to understand better and capitalize on the thermal

1 performance I showed you previously. And this is the generic  
2 salt repository layout. This herringbone arrangement  
3 basically is a way of getting the high power packages onto a  
4 grid for heat dissipation. And these are--we call these  
5 alcoves, and the package would be on the floor at the end of  
6 an alcove. We have extracted that to rectilinear geometry  
7 for our analysis, and we used the multiphysics Sierra code  
8 package at Sandia with a very current set of constitutive  
9 models. The idea here would be to test the thermomechanical  
10 dependence, because we know this crushed salt is going to  
11 evolve with time, and then try to understand the impact of  
12 that on temperature and then use a temperature-only approach  
13 for some sensitivity calculations.

14           This little chart down here gives you the rough  
15 dimensions of the different waste packages that we considered  
16 in the model. There really isn't a whole lot to say here  
17 about those. Those are flexible and can change a bit, 10 to  
18 20 percent, depends on the design.

19           ZOBACK: The 32-PWR is 2 meters in diameter?

20           HARDIN: Yeah, I think any--right, any plausible concept  
21 that we could come up with for one of the commercially  
22 available 32-P canisters inside of the disposal overpack, a  
23 much heavier can would fit into that envelope.

24           ZOBACK: Okay, thank you.

25           HARDIN: So, yeah, here's sort of the close-up of that

1 arrangement. We propose a semi-cylindrical cut-out in the  
2 floor to enhance heat transfer from the package. And the  
3 little chart that kind of got reformatted shows that the  
4 thermal conductivity of intact salt does go down in  
5 temperature, as it does with most geologic media, and there  
6 is a pretty significant effect from porosity in the crushed  
7 salt material.

8           And I won't get into the comparisons for the  
9 thermomechanical response, but suffice to say that it's a  
10 fairly small effect and we'll proceed with temperature only.

11           PEDDICORD: Peddicord, Board. How long does the  
12 reforming take place of the crushed material around the  
13 canister before it looks intact?

14           HARDIN: Yeah, it's on the order of, I'm going to say, a  
15 hundred years. In certain situations it might take less  
16 time, for example, at the bottom of a shaft where you just  
17 stacked various types of granular material on top of it in a  
18 shaft seal arrangement. You've loaded it, and you've loaded  
19 it immediately, and it will consolidate fairly fast in one of  
20 these tunnel openings. It requires that the intact rock  
21 structure around it gradually collapse onto it, and that  
22 takes time.

23           PEDDICORD: Thank you.

24           HARDIN: We ran the calculations to 200 years.

25                   So this one summarizes the finite element

1 calculations. And one of the things we find that's  
2 interesting--by the way, the shaded region is merely that  
3 which exceeds our 200°C temperature limit. I was surprised  
4 to see these line up like this and correlate pretty well, but  
5 they do. And I'll draw your attention to a couple of the  
6 points on here, these three right here. And so with a 21-PWR  
7 package, 40 GWd/MT, 50-year age out of reactor, we get--well,  
8 we're under our 200°C limit, put it that way. If we go to a  
9 higher burnup, we're just above the limit. If we go to a  
10 larger package at average burnup, we're just above the limit.

11           So these are useful results. They show us that we  
12 can indeed, on thermal grounds, probably handle these larger  
13 packages in a generic salt repository. And the correlation  
14 here is useful for a system study such as Mark Nutt described  
15 earlier where the CALVIN code has already within it the  
16 capability to impose thermal limits on various steps in the  
17 handling and disposal of spent fuel. And it also turns out  
18 that for the other geologic media that we've talked about,  
19 you get the same type of correlation. And it's a little  
20 surprising, given that we're talking about a range of package  
21 sizes, that what's really important to first order is the  
22 power output of the package and not so much the details of  
23 its geometry.

24           So now we begin to talk about open modes. The idea  
25 is we'll put the package in the drift, surround it by air,

1 and, importantly, we can ventilate it for a period of time,  
2 removing heat, so obviously we can put a hotter, larger  
3 package in there to begin with. The concept combines  
4 features of storage--or functions of storage and disposal.

5           So at the beginning of the year then, we have this  
6 problem statement: Add to our reference portfolio some open  
7 mode concepts that allow earlier emplacement of larger,  
8 hotter waste packages. Some of the possible benefits from  
9 doing this are cost and schedule efficiency, which is tied  
10 back to fewer package-specific operations of all types.  
11 There might be some other economies of scale, the same sort  
12 that have driven the utilities to use larger and larger dry  
13 storage systems.

14           Here's one: Flexibility not to transport spent  
15 fuel or at least to limit the transport of spent fuel with  
16 age, let's say, over 50 years. So if there is a concern with  
17 long-term storage on the condition of the spent fuel, the  
18 capability to emplace these larger, hotter packages earlier  
19 addresses that concern. And then obviously, if we were able  
20 to even go so far as to directly dispose of a DPC canister,  
21 then we have cut out of the whole picture a whole set of  
22 repackaging steps and associated costs. So there's the  
23 motivation.

24           And this is a chart where we--I'd try to convince  
25 you that we've taken a systematic approach, but we have

1 identified a couple of attributes of a disposal concept here.  
2 Are we talking about a plastic medium that is capable of  
3 sealing itself, or is it what we call more competent to our  
4 in-drift? Is it high permeability or low? And is it  
5 saturated or unsaturated? And, finally, the fourth  
6 attribute: What do we do to it before closure to enhance or  
7 ensure its performance?

8           And so we end up with an option here where we're in  
9 a soft shale, one that's capable of collapsing and sealing  
10 fractures so there are no open fractures. So you could think  
11 of this geologically as a young shale, massive in its  
12 thickness and extent. And so maybe it doesn't require  
13 backfilling, but we could get clever about how we close this,  
14 and I have a picture to show you that.

15           If we are in hard rock under unsaturated  
16 conditions, we have the option to go to some novel types of  
17 barriers. These are the things borrowed from the Yucca  
18 Mountain concept such as capillary barriers and drip shields,  
19 etc.

20           And then we move over here. This sort of catches a  
21 bunch of other possibilities where we have a great, massive,  
22 extensive rock formation, likely sedimentary, but maybe it  
23 has water flux or it has enough permeability that we think it  
24 needs to be sealed at closure. And so in this case we would  
25 backfill the entire facility with a low-permeability backfill

1 material. So those are the concepts.

2           So we add them to our list of reference concepts,  
3 and we have these. I'm going to show you some thermal  
4 calculations that are mainly based on the shale unbackfilled  
5 mode that also apply here. I'm not really going to talk much  
6 about thermal analysis for the hard rock unsaturated, because  
7 everything you need to know about that you can probably find  
8 in the Yucca Mountain license application, and the deep  
9 borehole concept is presented elsewhere.

10           This is a schematic, not to scale, for the shale  
11 unbackfilled mode. And the idea here is we'd have drift  
12 segments in which we'd put and use what we call in-drift  
13 emplacement. We would lay the packages down, and we'd put,  
14 say, ten of them down, and then we'd leave a gap. And then  
15 we'd have a crossing drift that we would reenter at closure,  
16 and we would seal this drift and thereby seal off the  
17 intervals where the packages are. And there are various  
18 reasons why we came up with this, but one of the problems is  
19 installing backfill at closure in a thermal and radiological  
20 environment. It's something the engineers don't want to do,  
21 and it's expensive. So this option gets around that. Of  
22 course, there are some complications. You've got to have  
23 worker access to this crossing drift at closure, so that's  
24 going to require some shielding. We're going to have to use  
25 either a shield plug or a labyrinth so that ventilation can

1 exist across that opening but that we control the  
2 radiological conditions. So, anyway, this is a novel  
3 concept, and we've carried it forward.

4           The other one is the sedimentary backfilled mode.  
5 These sinuous drifts reflect that this is a tunnel boring  
6 machine or TBM-type layout. It would be excavated with a  
7 large mechanical boring machine. And we would place the  
8 packages in here, ventilate for 50 to 100, maybe up to 300  
9 years--we've done some various calculations--and then go back  
10 and reenter at closure and deposit a granular, low-  
11 permeability, clay-based backfill material everywhere.

12           And then the hard rock, unsaturated concept. I  
13 would draw your attention to a comprehensive design selection  
14 study that was done for the Yucca Mountain license  
15 application. Looked at a lot of different alternatives and  
16 identified some of the advantages. We could ventilate prior  
17 to closure for at least 50 years. This allowed us to put the  
18 waste in when it was younger and hotter; didn't require a lot  
19 of surface decay storage. If it was found necessary to cool  
20 the repository, you can maybe keep it below 100°C forever.  
21 And we merely extend that ventilation period out 100, 200,  
22 even 300 years. These are all ideas that were discussed with  
23 the Board at length in the early 2000s.

24           Because it's unsaturated, you would find what we  
25 call free drainage in the facility. Because you have free

1 drainage, water is going to go through it rather than follow  
2 along the openings, and therefore you don't need backfill.  
3 The problem with--or the requirement for backfill comes in  
4 when you have a hydrological situation where the repository  
5 openings form a network of pathways, and you've got to do  
6 something about the possibility that for thousands of years  
7 you could have water moving along those pathways, entering at  
8 one point, picking up all the released radionuclides, and  
9 exiting somewhere else. Backfill prevents that.

10           Shallow depth here, we're talking about at least  
11 200 meters. But when you're that close to the surface, you  
12 have some other engineering options for access such as ramps  
13 that might not look so feasible for deeper settings.

14           Now, here's a key point. I've gotten questions on  
15 why don't we have a hard rock saturated mode. And it relates  
16 to the idea that, remember, this is an open emplacement  
17 concept, so you've got nothing around the waste packages  
18 right up to the point of closure. And at that point, because  
19 it's saturated, you'd have to install that low-permeability  
20 backfill everywhere. So that backfill becomes really an  
21 important component of the system for long-term performance,  
22 and you're relying on your ability to install it in that  
23 radiological and thermal environment using remote operations.  
24 And that's something that we shied away from in this study.

25           So, quickly, by way of thermal calculations, this

1 particular set identifies host rock thermal conductivity as  
2 really the dominant parameter in any discussion of thermal  
3 management. So what have we got here? This is the wall rock  
4 temperature. This is a 21-PWR, 40 GWd/MT, 50-year storage.  
5 This is a very Yucca Mountain-like waste package, actually.  
6 And it shows what happens if we use 50 years of surface decay  
7 storage and then 250 years of forced ventilation prior to  
8 closure. And in that closure, of course, temperatures jump  
9 up. During the ventilation we remove 75 percent of the heat,  
10 which is easily doable from our Yucca Mountain calculations.  
11 And our takeaway from this was that, if we're going to talk  
12 about high-conductivity rock formations, 3 W/m-K seems to be  
13 a good threshold.

14           And then we looked at the sensitivity to  
15 ventilation duration. So here's the same sort of development  
16 here: 50 years of surface decay storage and then emplacement  
17 and then either 50, 100, and so on, out to 250 years of  
18 ventilation followed by closure. And we see that there's  
19 kind of a--this is actually an optimistic assessment from the  
20 standpoint of ventilation efficiency, and yet we still don't  
21 see much payback for all that ventilation time. And I don't  
22 think anyone in this room wants to recommend that we keep  
23 this operational for 300 years. So, basically, what we  
24 learned from that is, there is a diminishing return from  
25 ventilation after about 200 years for sure.

1           Now, there's more to this. We also looked at drift  
2 spacing, and these are the parallel drifts now in which we  
3 put the waste packages. And by extending that from 30 to 40  
4 to 50, we get a commensurate decrease in the peak rock  
5 temperature. The bottom line is that drift spacing is really  
6 probably a better approach to use than this long-term  
7 ventilation.

8           Capitalizing on that idea, we developed a design  
9 test case. What we're trying to do here is figure out a way  
10 to get this facility closed in 100 or 150 years. And so  
11 let's see if I can explain this. We start out with surface  
12 decay storage of 50 years, so this is pretty typical for the  
13 inventory as it exists or as it will when we get around to  
14 repository operations. And we'll use average-burnup spent  
15 fuel, a typical ventilation efficiency, 21-PWR package, and  
16 we can compare that size to the thermal results we obtained  
17 with the Yucca Mountain design, for example. So 21-PWR  
18 becomes our reference. And the idea here is, what if we  
19 allowed the near-field host rock temperature to go above  
20 100°C? What would we get from that?

21           And so these are thermal curves without backfill,  
22 and this would be at the rock wall for this case. And this  
23 is 3 meters into the rock wall. So then adopting a sort of  
24 sacrifice zone of over-temperature shale in this case, using  
25 shale properties, yeah, we find that we can meet a 100-degree

1 limit but at a distance of 5-1/4 meters from the drift  
2 centerline.

3           So this is a challenge, actually, to our natural  
4 barriers team to tell us what is the impact of doing this,  
5 because it makes a big difference in terms of operating the  
6 repository, and it keeps open the possibility for an open  
7 emplacement mode, one where you can put in larger, hotter  
8 packages, but you're doing it in a low-permeability medium, a  
9 soft medium like shale. And the thermal results show  
10 temperatures in the neighborhood of 100°C, which is--those  
11 numbers are well within the uncertainty range for this  
12 calculation.

13           So, to summarize, I presented three different open  
14 mode concepts that we'd add to our portfolio. I say "tuff"  
15 here. This could easily be a soft tuff, a non-welded tuff,  
16 for example, which I would put in the sedimentary category  
17 for this. And I've shown you that the larger, hotter  
18 packages can meet the temperature limits in a generic salt  
19 repository or in a hard rock unsaturated concept, and that is  
20 with less than 100 years of aging to closure and with waste  
21 package sizes of 21-P or greater. And I've also showed you--  
22 it didn't list it, but I've also showed you our so-called  
23 design test case, which would allow you to do something  
24 similar to that in shale.

25           And these two tables I'm going to show you try to

1 summarize the big picture here. Can the EBS sustain peak  
2 temperatures of up to 200°C? Yes, in salt that is possible.  
3 Does the formation have high thermal conductivity, which we  
4 defined as 3 W/m-K. So salt gets two checks here. Some of  
5 the other concepts get no checks. And you can see that that  
6 has a direct bearing on how large a package and what a  
7 typical minimum age would have to be before you could emplace  
8 the waste in a repository.

9           And for the open modes, the same type of thing.  
10 Not too many checks in boxes here. We see that it is  
11 possible for some of these concepts to close a repository in  
12 somewhere between 50 and 150 years.

13           And where do we go from here? Well, we are working  
14 directly on the disposal for DPCs--the possibility of  
15 disposing of DPCs. There are various issues there.  
16 Regulatory framework, that is to say, we're going to take a  
17 DPC that's been licensed for storage and transportation and  
18 is welded closed and sits on a pad somewhere at a utility  
19 facility, and we're going to try to--we're basically going to  
20 try to get it licensed for disposal through technical  
21 arguments without opening the can. So that's a non-trivial  
22 objective.

23           There are some key FEPs, as we call them, features,  
24 events, and processes, especially postclosure criticality,  
25 which will probably be the subject of some future

1 presentation. And we are proceeding with some generic  
2 performance assessments on some of these concepts, that is, a  
3 calculation of the expected dose. We are doing thermal and  
4 logistical analyses. We've got thermal calculations underway  
5 to refine those finite element calcs I showed you, and Mark  
6 described the logistical work that's ongoing.

7 Cost comparisons are also in the offing. We've  
8 done some, Mark's done some more, and they're going to be put  
9 together into a system cost comparison for various  
10 alternatives.

11 And in the disposal R&D area, there is much  
12 interest in understanding the importance of those temperature  
13 limits and the possibility of heating the host media above  
14 those limits and, in addition, engineering materials or  
15 admixtures to existing materials that improve stability or  
16 heat transfer.

17 That's all I have. Thank you very much.

18 EWING: Okay, thank you. Questions from the Board? Go  
19 ahead.

20 ZOBACK: A couple questions about validating the model.  
21 At WIPP--I realize it's different type of waste but assume  
22 you can change your heat input--have they done this kind of  
23 semicircular thing in the backfill with crushed salt, and are  
24 they measuring the temperature? I mean, can you check your  
25 model?

1           HARDIN: Not explicitly, as you suggest.

2           EWING: Ernie, stand near the microphone, please.

3           HARDIN: Yeah. So not explicitly in the way that you  
4 suggest. That may be forthcoming. There are some proposals  
5 to do underground testing at the WIPP facility itself.  
6 However, I should point out that in the 1980s there was  
7 extensive thermal testing done at WIPP, so we understand it's  
8 thermally-activated responses and it's heat transfer.

9           ZOBACK: So some of that went into the parameters for  
10 your model?

11          HARDIN: That's exactly right.

12          ZOBACK: Okay. And then the other question was about  
13 the shale, and aren't the French doing a shale study, and is  
14 there data from their--do they have an underground lab?

15          HARDIN: Yes, they do. It's at a depth of 500 meters in  
16 the Callovo-Oxfordian shale at the little settlement of Bure  
17 in eastern France. And, yeah, they have thermal tests  
18 underway, long-term ones, also chemical diffusion and other  
19 different aspects.

20          ZOBACK: Is that a young shale or an old shale? Would  
21 it be easily deformable?

22          HARDIN: Well, it's an old one. I think it's a hundred  
23 million years old, of that order.

24          ZOBACK: Okay, thank you.

25          EWING: So may I ask a question? Ewing, Board. So you

1 listed the benefits of essentially having a larger and hotter  
2 package. What are some of the--what's the downside of this  
3 question?

4 HARDIN: The disbenefits?

5 EWING: Uh-huh.

6 HARDIN: Well, I think you've seen thermal management as  
7 being problematical. I'll give you one major one, and that's  
8 handling such a large, heavy package, getting it underground  
9 safely. In some lithologies such as salt, we don't think  
10 that a ramp is the way to go. A shaft is much easier to  
11 seal. And so, okay, now we have to lower something that  
12 weighs over 100 tons down a shaft, and the largest payload  
13 capacity existing shaft hoist in the world--there are two of  
14 them. One's in Germany, and the other is at WIPP; and they  
15 have capacities on the order of 40 metric tons. So there's a  
16 big gap there in that conveyance.

17 EWING: Let me offer some potential downsides to such an  
18 approach, and that is--and I've said this before--it's not  
19 that we're disposing of heat, we're disposing of  
20 radioactivity. And the mobility of the radionuclides is  
21 mainly a matter of chemistry. This is a broad-brush  
22 statement. So raising the temperature in a system, very  
23 roughly speaking, for every ten degrees, it's an order of  
24 magnitude in terms of the reactivity.

25 So this temperature, the difference between hot and

1 cold, is a big difference in terms of the mobility perhaps of  
2 some of the radionuclides. And also at higher temperatures,  
3 particularly in clay, the concept of sacrificing part of the  
4 rock because of the higher temperatures and change in  
5 properties also goes against the idea of having the rock as a  
6 passive barrier; that is, not disturbing its properties. The  
7 properties that you measure and rely on as a barrier are the  
8 properties that will be there over the longer term. So I  
9 understand the motivation and potential benefits, but I'd  
10 also suggest there is a chemical side to the process rather  
11 than looking at physical barriers.

12           So that's my little soap box.

13           Lee, you're next.

14           PEDDICORD: Peddicord, Board. On Slide 10 where you had  
15 what turned out to be this really quite interesting  
16 correlation emerge, virtually linear, I don't know if you'd  
17 expect that going into it or not, but I see the far point to  
18 the right there, the upper one is the case for the 32  
19 assemblies at 60 GW, 60,000 MWd/MT, which far exceeds the  
20 200-degree limit. But the question is, the assumption of the  
21 40,000 MWd/MT that you kind of build into this, more and more  
22 of the fuel assemblies coming out are tending towards the  
23 higher burnups, and 60 may not be a bounding case anymore.  
24 They may be getting higher than this as well, too.

25           One of the questions that comes to mind is, would

1 you have the option of kind of optimizing loadings in these  
2 where you would mix assemblies of different burnups? You can  
3 certainly do that analysis. It would be a little more  
4 complicated, but to optimize in a larger way what you're  
5 going to be putting into an emplacement.

6 HARDIN: Yeah, there are couple questions in there. If  
7 in the future we are implementing a standardized canister,  
8 there might be thermal criteria that would control the  
9 loading of the fuel, but they don't want to be sealed and  
10 shipped off to the repository. If we're talking about a  
11 32-PWR DPC, then we don't have the option to do that. Okay?

12 PEDDICORD: Okay. That makes sense. Thank you.

13 EWING: Okay. Questions from the staff? Gene.

14 ROWE: Rowe, Staff. Just a quick one. Have you looked  
15 at any natural ventilation, or is that something in the  
16 future?

17 HARDIN: Yeah, that--I mean, that would be done in the  
18 future. He's referring to the idea that cold air coming down  
19 one shaft and warm air going up another, you have a tendency  
20 for natural circulation.

21 KIRSTEIN: Ernie, could you make a comment then about  
22 heating granite and/or salt above these temperature limits  
23 you see up here?

24 HARDIN: Okay, I'll comment on that.

25 KIRSTEIN: Sacrificing some of the geologic media.

1           HARDIN: Huh. Well, I'm not sure that you need to. You  
2 know what, you could fight the battle that, you know, for  
3 example, salt might be resistant up to tolerant of 250°C, or  
4 you could wait 15 years before you emplace the waste. That's  
5 my answer there. With granite, I would draw on our  
6 experience with the Yucca Mountain welded tuff where the  
7 200°C limit was by no means a firm fixed limit. What we  
8 began to see was in a reduction in ultrasonic philosophy and  
9 thermal conductivity at that temperature, which means that  
10 cracks are accumulating, so we tried to stay under that.

11           EWING: Other staff questions? Doug.

12           RIGBY: Are you packaging these results with the  
13 previous one and releasing some sort of report?

14           HARDIN: Yes, we are. There's a draft, if you will,  
15 that's available now; and in about a month we'll submit a  
16 higher-level deliverable to our management.

17           EWING: Other questions? Thank you very much. And I'd  
18 also remind you that if you want to speak at the end of our  
19 session to please sign up at the back of the room so that we  
20 can schedule accordingly.

21                       We'll take a break now, and we'll start again at  
22 3:00. Thanks very much.

23                       (Whereupon, the meeting was adjourned for a brief  
24 recess.)

25           EWING: All right. This afternoon we'll be discussing

1 waste and waste forms at INL. And we have a single speaker  
2 but two presentations, and it's Joel Case.

3           And I'll turn it over to you, Joel. It's all  
4 yours.

5           CASE: Thank you. First, can everybody hear me? Fine.  
6 I'm Joel Case. I'm with the DOE Idaho Operations Office. I  
7 have dual roles right now, starting a new role. I'm the  
8 Sodium Bearing Waste Treatment Operations Manager. DOE calls  
9 it Operations Activity Manager, but I'll be taking over from  
10 the DOE ID side, the operations of IWTU. I know we toured  
11 you all out there yesterday; at least you saw the video. I'm  
12 also the FPD for the Calcine Disposition Project. So it's  
13 kind of fortuitous that I'm the person to talk to, at least  
14 from a DOE standpoint, on these waste streams.

15           I'll be talking about sodium bearing waste  
16 disposition plans. As we go through presentation, if you  
17 have any--generally, just ask questions as we go through? Is  
18 that--or do you want to wait--

19           EWING: It's your choice. What I'd suggest is, if Board  
20 members have a point of clarification, please ask, but  
21 otherwise let's hold the questions till the end.

22           CASE: Okay, that would be great. So we'll get started.

23           Sodium bearing waste we talked about a little bit  
24 yesterday. The IWT mission is to treat the sodium bearing  
25 waste, the liquid highly-radioactive waste we have out there.

1 Just a little background. INTEC Tank Farm, I don't know if  
2 they pointed that out to you as you were walking through  
3 INTEC. We have eleven large underground storage tanks,  
4 stainless steel, 300,000 gallons capacity. They are  
5 contained in concrete vaults, various forms and fashions. We  
6 have three configurations, but the stainless tanks are the  
7 same, different type of vault structures as they did  
8 different designs as they constructed those.

9           We have undergone closure, both the RCRA and DOE,  
10 3116 closure. That's for the radioactive portion. These  
11 tanks contain liquid waste that have RCRA, Resource  
12 Conservation Recover Act, hazardous waste also, some organics  
13 and heavy metals, cadmium being probably the major  
14 constituent and mercury. So seven of the tanks are empty and  
15 were cleaned back in 2006-7 time frame. We're using four  
16 more tanks. They were grouted up, and they met some  
17 performance objectives that were under our DOE order  
18 requirements, State of Idaho requirements for hazardous  
19 constituents. DOE and NRC monitored that under what's called  
20 the 3116 process for closure of high-level waste tanks.

21           Four tanks are in service. Three of the tanks  
22 contain the sodium bearing liquid waste. It's approximately  
23 a little less than 900,000 gallons; inventory is about 850,  
24 875 plus or minus. We have one spare tank that's slightly  
25 contaminated that had some low-activity waste, about 500

1 gallons, not sodium bearing waste but some incidental waste  
2 that came into the process. I forget what the--it's about  
3 500 gallons. But that tank is Tank 190; it's pretty much  
4 empty; it's a spare tank.

5           We used the tank farm facility to store--really,  
6 we're reprocessing fuel here. The major mission at INTEC was  
7 to reprocess DOE fuel, Navy fuel, DOE government-owned fuel,  
8 really, for uranium-235 recovery. And the nice thing about  
9 our tank farm, they are stainless steel, and we didn't have  
10 to build new tanks because we had what was called the calcine  
11 waste facility process, and then we built a new waste calcine  
12 facility. It's basically a fluidized-bed thermal oxidation  
13 process that process the liquids as they are generated and  
14 stored at the tank farm. We did batch operations over the  
15 years to produce the calcine. And I'll be talking about that  
16 waste stream that's currently stored. It's about 4,400 cubic  
17 meters.

18           Right now the constituents of the sodium bearing  
19 waste is very little, less than one percent first cycle, and  
20 decon solutions are some second and third cycle extractions.  
21 I'll have a chart as we go into--it kind of explains the  
22 generation of that and what that is.

23           During the operations when we're reprocessing fuel  
24 here and running the calciner, we tried to keep second and  
25 third cycle segregated from the first cycle raffinates. We

1 had some tanks there that had some cooling pools at the  
2 bottom. We tried to use those tanks for the higher-activity  
3 waste. Now, there was some co-mingling as we operated, but  
4 there was a concerted effort to keep the reprocessing waste  
5 first cycle separate from the second and third cycle and what  
6 we call sodium bearing waste, because at INTEC all the liquid  
7 generated out there went to the tank farms.

8           Our reprocessing activities, we had a lot of  
9 laboratory analysis, both radiological labs, organic labs,  
10 that did chemical analysis. Everything drained into the tank  
11 farm. So that's where you see some of the--and when we did  
12 D&D activities at the NWCF on campaigns, we ran that, really,  
13 to failure on some components like our manipulators, the  
14 nozzles. So we did a campaign usually at about a year, year  
15 and a half, and then we cleaned the system out, using a  
16 high-sodium concentration liquid.

17           As I mentioned, the first cycle was the primary  
18 process using the calciner. We had a consent order cease use  
19 with the State of Idaho. Since this is Resource Conservation  
20 Recovery Act, it's regulated also under the State of Idaho.  
21 We have a consent order under RCRA that required us to cease  
22 use of the tank farm and also part of the Idaho Settlement  
23 Agreement, which was a court order that covered all our waste  
24 streams. Transuranic has high-level waste and low-level  
25 waste and mixed waste. We had to also process all the high-

1 level waste by 1998, which we did. But we do have less than  
2 one percent of that 850,000 gallons of sodium bearing waste  
3 that we pedigree as, really, first cycle.

4           And we have to have this waste, according to the  
5 current consent order, done by December 31st. When we talked  
6 out yesterday, you know, we're going to miss that schedule.  
7 We're talking with the State of Idaho, because IWTU, the  
8 processing facility, is not--we had an event in June during  
9 start-up. We're recovering from that event, and the schedule  
10 is right now currently looking to go back into start-up in  
11 the February time frame, but we have to negotiate with the  
12 State of Idaho on that consent order to change the date.

13           This is just a graphical presentation of the tank  
14 farm, the three active tanks storing the waste. We do have a  
15 small amount of solids--it's more of a flocculent--that's  
16 contained--when we did the last campaign of the NWCF and when  
17 we shut down that facility, the New Waste Calcining Facility,  
18 we tried to consolidate all the liquids from the tanks into  
19 three tanks. Tank 190 is a spare. So all the sodium bearing  
20 waste is contained in Tank 187, 188, and 189. We tried to  
21 move the majority of solids into Tank 187. So that's where  
22 they are. And, again, we plan to treat this using steam  
23 reforming process to produce the carbonate solid.

24           Again, I've gone through this layer. It's only  
25 about--we've got about--I'm trying to think how many inches

1 of solids. It's about 40 inches, I think, the last  
2 measurement we have in the tanks. The campaign--there is a  
3 blending campaign strategy, as we talked about that  
4 yesterday, for blending the solids in with the liquids--  
5 they've got a formula recipe, because we do have a hold-and-  
6 blend tank to process this waste. In the New Waste Calcining  
7 Facility there is a hold-and-blend tank. They'll do the  
8 blending there and bring it over to the waste feed tank at  
9 IWTU.

10           But if you look at our inventory and getting back  
11 to disposition plans, the activity is 99 percent due to the  
12 cesium/strontium. Solids activity, it's partitioned between  
13 the solids and liquid. Cesium predominates in the liquid  
14 phase solids, because we do have some adhesion, we believe,  
15 in some of the analysis of the solids. It's a little less,  
16 and some of the other nuclides are in the matrix of the  
17 solids.

18           Now, this gets key to the origin of SBW because of  
19 our path forward. We've always said we'd like to manage  
20 this--we manage this as transuranic waste because of the  
21 pedigree and origin. This is--that we have of the  
22 operational campaigns and how the liquids were generated and  
23 the--you know, it's a lot of color there that's kind of  
24 jumbled. But if you really look at the first cycle and the  
25 whole definition of high-level waste source base, so there is

1 issues with the origin of this waste. And is the high-level  
2 waste, is it transuranic waste? That's one of those  
3 questions we've been working through with headquarters, and  
4 there is a process we're using to get the waste determination  
5 to WIPP.

6           But this is part of the data we have that shows,  
7 you know, how much is left remaining. And we did see--  
8 processing the high-level waste, we felt we got all the high-  
9 level waste process except for that one percent in '98. We  
10 stopped reprocessing fuel, I believe, in the '92 time frame,  
11 was it, when the Secretary made a decision. We had an  
12 inventory--I think it was '92 that we stopped reprocessing  
13 waste at INTEC, but we did have a large inventory backlog. So  
14 this is just kind of a graphical pictorial of the generation  
15 of the waste, you know, based on our records of the  
16 reprocessing campaigns out there and the calcining campaign  
17 and the sampling we did. And just have the definitions,  
18 pointer here, you know, our definition of what the waste  
19 origin is and what it consists of.

20           And that's just a different way of--the graph of--  
21 and, again, from a Curies standpoint--we'll talk on the  
22 calcine. It's about a factor of 10 less curie inventory than  
23 we have in the calcine, and that's historically if you  
24 average it over.

25           And this just gives a little bit more detail of the

1 constituents. This is example sampling data averaged out  
2 over the tanks. So transuranic concentration, based on the  
3 process we're looking at--because that's really key for the--  
4 oops, sorry--it's mainly 238, 239 total Curies, you know,  
5 about 1800 Curies. We estimate the treated product is going  
6 to be about 150 to 200 nano-Curies per gram of transuranics  
7 based on our characterization data.

8           So looking at this as treating this transuranic  
9 waste, it does meet the definition for TRU. The other  
10 aspects of this of the WIPP waste acceptance criteria, it's a  
11 very long list of requirements. We've gone through initial  
12 assessment of that back when we were awarded the contract to  
13 process this waste, and, you know, we worked with WIPP very  
14 informally, can we get this waste down here, and fissile  
15 inventories. It does meet all their WIPP-WAC based on a very  
16 high-level conservative analysis.

17           So we feel it should be managed as transuranic  
18 waste. We've started a process to get a waste determination  
19 that way. But this just gives you a feel for what we have as  
20 constituents. But end product to solid, about 150 to 200  
21 nano-Curies per gram of transuranic waste. Now, WIPP-WAC has  
22 a whole list of other isotopes you have to also report, and I  
23 think if it's one percent or more, you have to report it in  
24 the waste. So we have worked with them on that. And the  
25 only question is thermal. Some of the waste of solids may be

1 bumping up on their thermal limits, but, you know, we did  
2 take a very conservative analysis on that in our initial  
3 scrub.

4           And that gets to the heart of the question,  
5 classification. You know, classification of this waste is in  
6 question because it is co-mingled with first, second, third  
7 cycle, if you look, about less than 9,000 gallons. We did do  
8 a lot of both contractual and acquisition strategy, and we  
9 did our EIS process to select a treatment process. The State  
10 of Idaho is a cooperating agency on our EIS, but in the  
11 Record of Decision we did state that our preferred preference  
12 is to dispose of this waste at WIPP, as transuranic waste.

13           DOE Order 435--that's our internal radioactive  
14 waste management order--has a process and does allow waste  
15 classification to manage this waste as TRU, and the high-  
16 level criteria, you know, have key radionuclides been removed  
17 to the extent technically and economically practical? Can it  
18 meet the disposal criteria for TRU waste? And I mention we  
19 have gotten a preliminary assessment working with WIPP on the  
20 WIPP waste classification. And can they abate in solid form?  
21 And, as you saw yesterday, our process is a solid form that  
22 will be packaged in the RH-74B canisters.

23           We have previous reviews. One of the things early  
24 on in the EIS process was we asked the NRC staff to do a--we  
25 consulted with them on our position and the process for

1 removal of key radionuclides. And, again, our process for  
2 calcining, we--all the high-level waste--we removed all the  
3 liquid inventory into the calcining, the key radionuclides.  
4 It's in the calcine waste. What's remaining is just  
5 incidental waste to that process.

6           And the National Academy of Science also did the  
7 review of our EIS and selection process. This was a key item  
8 they looked at, and that study in '99 confirms that you  
9 should pursue this option of getting this waste to WIPP, and  
10 they looked at our thought process for that. And this is all  
11 publicly available. It's still on the NRC website.

12           One issue that came up during the process is  
13 Hanford, ourselves--Hanford has some tanks, about eight  
14 tanks, that are tank wastes they believe should be managed as  
15 transuranic also. We are working with them on the process  
16 with WIPP. During that period the State of New Mexico, under  
17 their reissuance of their permit, the RCRA permit they have,  
18 basically precluded tank waste from Idaho, Savannah River, or  
19 State of Washington to go there. They said if you do propose  
20 that, you'll have to go through another Class III permit mod  
21 for the State of New Mexico. So they kind of hold the trump  
22 card. That's a process we'd have to work out formally with  
23 them and submit that through WIPP. So they have that in the  
24 WIPP permit, so that's more of a regulatory issue as opposed  
25 to waste determination. So we'll have to work through that

1 issue. And I believe right now Hanford is actually--they  
2 have eight tanks of tank waste that they're starting to work  
3 into the next permit mod for Hanford--I mean for WIPP.

4 Waste determination, we have an internal process  
5 under DOE Order 435 under the high-level waste section. And  
6 the next slide kind of shows very high-level what that  
7 process is. And it's really no different with, you know,  
8 have we gotten rid of the key radionuclides? This is highly-  
9 radioactive waste, but have we removed those to the extent  
10 possible? And then it really feeds into the WIPP-WAC  
11 process. Oops, I'm sorry.

12 (Pause.)

13 EWING: I'm sorry, you'll need to speak at the--oh,  
14 you've got it.

15 CASE: I've got the mic.

16 EWING: I'm sorry, okay, sorry.

17 CASE: Can you still hear me?

18 EWING: Yes, of course.

19 CASE: I mean, this is very high-level projections.  
20 There's just a lot of policies in this. But this is the key  
21 criteria. The Subpart C Performance Objectives are really  
22 from the 10-CFR-61 low-level waste criteria. We would flow  
23 into this process. So, you know, we manage this waste under  
24 AEA authority and DOE order, so does it meet WIPP-WAC? You  
25 know, we have to demonstrate this. And then it goes up and

1 if less than Class C--it is less than Class C, that's really  
2 not our--that's an NRC requirement, and we don't really  
3 classify our waste as Class C.

4           So, really, the real key thing working with our  
5 internal process is this definition of highly-radioactive is  
6 removed and key radionuclides. There is a guidance document  
7 out there from DOE. But that's really the key process for  
8 us. It does meet the WIPP-WAC. We've had discussions with  
9 NRC again at the staff level. It's consultation. They  
10 agreed that our process looked viable. We've also looked at  
11 the whole definition, is it highly-radioactive waste under  
12 the Atomic Energy Act, if you look at what is high-level  
13 waste (inaudible) source phase. This process for that--I  
14 think we gave a position paper to you, Nigel--that talked  
15 about that. But this is the process we've used. It looks  
16 very simplistic, but there's a lot of hurdles from a  
17 regulatory and policy-wise, because, you know, it's that  
18 whole definition of high-level waste.

19           Where we're at now, contractually, in the CWI  
20 contract, this was also part of the contract that this is TRU  
21 waste. Sodium bearing waste is TRU. It was originally going  
22 to be just-in-time shipment. The contract was modified to  
23 allow storage of transuranic waste, because when WIPP issued  
24 the--when the State of New Mexico issued that permit  
25 requirement, changed the permit, we put things on hold to

1 focus on construction of the facility and work it at a higher  
2 level, working with the folks at Hanford and headquarters.  
3 So we haven't done much interaction since probably the 2008  
4 time frame on this issue. We started a working group; Frazer  
5 Lockhart at EM is working with us to kind of reinvigorate  
6 this and work with the WIPP folks and internal folks on the  
7 regulatory process, DOE and external, to just beef up our  
8 argument and start putting the package together.

9           So we do have adequate storage for long-term. You  
10 saw that yesterday. That was added to the contract when we  
11 realized that this was going to be not feasible in 2012 under  
12 the current contract, so we changed the contract, not to say  
13 it's not TRU waste, but we needed to have adequate storage.  
14 We are packaging them in canisters that can be shipped in the  
15 RH-74B. You saw the pintle design yesterday. That's all  
16 driven by WIPP-WAC requirements for solids. That was--passed  
17 that design on to them. They gave us informal approval of  
18 it. So, you know, everything's postured, so what we have to  
19 do is, really, take that next hurdle and start the process  
20 internally to get the waste determination under our order.

21           And there are some interesting lawsuits that were  
22 out there back--NRDC lawsuit that challenged DOE's waste  
23 determination process under the order. It really never got  
24 resolved. It got remanded back. I forget which court it  
25 was, but basically said it wasn't a ripe decision. It wasn't

1 time for a decision because we weren't doing anything to send  
2 high-level waste to other than a repository. And that  
3 lawsuit basically said, you know, you can't get out of Atomic  
4 Energy Act definition, you know, high-level waste source-  
5 based definition, DOE's process really wasn't consistent with  
6 the legislation on high-level waste. So those issues--you  
7 know, those will be issues that will have to be worked with  
8 the lawyers once we gear up again.

9           So any questions? I mean, the key points--meets  
10 transuranic waste, WIPP-WAC. We have this waste  
11 classification issue that will be long-term issue to work  
12 through.

13           EWING: All right. Lee.

14           PEDDICORD: Peddicord with the Board. On your chart  
15 here of the inventory, just to help me understand, is the top  
16 line, the yellow area, is that the--

17           CASE: That's the sodium bearing waste.

18           PEDDICORD: And that's the cesium and strontium?

19           CASE: The final inventory--this--we really stopped  
20 adding waste back in the 2004 time frame, so it's a little  
21 static. We have an evaporator system, so where we're at,  
22 it's a little less--that shows a million gallons, but this is  
23 really the current inventory. We do run evaporation  
24 campaigns out there.

25           PEDDICORD: But those are the fission products.

1           CASE: Those are the fission products; correct. So  
2 that's the sodium bearing waste, and this is the first,  
3 second, and third cycle.

4           EWING: Other questions? From the staff? Nigel.

5           MOTE: Nigel Mote for the staff. Joel, you went through  
6 the various thinkings and historical insight of DOE, and then  
7 you said, "When we need to make the decision, we will." So  
8 when are you going to do that, and when will it be a final  
9 decision on whether this is high-level waste, low-level  
10 waste, low-level waste mixed with other wastes? And, as you  
11 know, the Board's interest is that the Board's mandate  
12 includes management of high-level waste; and if it's not  
13 high-level waste, then we'll thank you very much for being  
14 here, but we may well not see you on the same topic.

15          CASE: I'm afraid it's probably a long-term. We have a  
16 working group I mentioned. We had that initial discussion,  
17 but there is not a lot of energy with other issues in the  
18 department. I think what we're waiting for is, let's focus  
19 on the Hanford tanks. They'll start that process of tank  
20 waste. And that's going to--I'm trying to think--the next  
21 WIPP go-around on their permit, they have to revise their--  
22 resubmit their permit to the State of New Mexico every five  
23 years, I believe it is. So Hanford is working on that  
24 package, so I'm thinking five-year time frame at least.

25                   Frazer Lockhart is here.

1           LOCKHART: I think your answer is as good as any that I  
2 could add to.

3           CASE: Okay. Frazer is our EM counterpart helping here  
4 with us.

5           LOCKHART: Frazer Lockhart from the Tank Waste  
6 Management Organization. I've worked with Joel and his  
7 predecessors on this for a couple of years now. But I think  
8 what Joel reflected is accurate, that priorities right now  
9 and also some uncertainties with both Hanford and Savannah  
10 River had the attention there, combined with the fact that  
11 with the processing not yet officially started, there is not  
12 the urgency either. So between those things, it is on the  
13 radar, but it's not at the top of the list. And so we're  
14 continuing, I think probably best represented, by being  
15 postured as well as we can to make the case when we kind of  
16 get the window to do that.

17           EWING: Nigel.

18           MOTE: I've got just two quick supplementaries. You  
19 mentioned at RDC lawsuit. Is there a time scale for  
20 resolving that? Supplementary number one. Supplementary  
21 number two, you're heading towards processing this waste on  
22 the assumption that it can go to WIPP. If the determination  
23 is that it cannot go to WIPP, are you putting yourself in a  
24 corner by selecting this process when that may not be the  
25 most advantageous if the waste has to be disposed of as

1 high-level waste?

2 CASE: That's a good lead-in to the next presentation on  
3 the calcine project. First, to answer your question, I don't  
4 know if there's any--I'm not aware of any activity on the  
5 lawsuit.

6 MOTE: I'm presuming it's going to have to be resolved  
7 at some time, or is there a statute of limitations on that?

8 CASE: I'm not aware. I know there was concern when  
9 they did some tank closures at Savannah River. They just  
10 closed some additional tanks. But that seems--nothing really  
11 rose out of that. A Seattle court threw it back to Idaho, if  
12 I recall correctly, and I don't think there's any time frame  
13 for that to close it out. So it is out there. My guess  
14 would be, if we really made an effort to start sending waste  
15 to WIPP under that, it might pop up. That's a question--I'd  
16 have to go back to our lawyers back in headquarters. But I'm  
17 not aware of any activity.

18 Back to your second question on we make a waste  
19 form and it can't go to WIPP, what are we going to do with  
20 it, that was one of the decision processes for steam  
21 reforming, because what we do--short answer is, we'd  
22 integrate into the treatment campaign for calcine. Right now  
23 the calcine treatment is HIP if we go to the back end. Now,  
24 there'll be some technical issues, because even though it's a  
25 carbonate waste form--it is a little different from what the

1 calcine is, but it is a powder.

2 EWING: I have a question. Ewing, Board. So, from what  
3 you've just said, your strategy is to let Hanford go first  
4 with their seven tanks. I'm not familiar with the  
5 composition of that waste and the history of that waste  
6 stream, but is it as compelling a case? Is it a simpler--

7 CASE: My knowledge of it when we worked with it, it's  
8 contact handled, number one, and they have probably a  
9 stronger argument on it really wasn't related to  
10 reprocessing, so it was waste--I don't where the processor  
11 was from, but it wasn't from reprocessing. And it's contact  
12 handled, so it's not--

13 EWING: And so where do the transuranic elements come  
14 from in--

15 CASE: At Hanford? Frazer, are you aware? I'm not  
16 aware where it came from.

17 EWING: Aren't these the details, though, that you  
18 really need at your fingertips to confidently go forward with  
19 your strategy?

20 CASE: Well, I know these details. I don't know their  
21 details. Like I said, it's been about, really, five years  
22 since we kind of shut down this process. We just  
23 reintegrated it--restarted. But you're right.

24 EWING: Lee.

25 PEDDICORD: Quick question. Peddicord, Board. Is this

1 entirely an EM program, or is it an NE-5?

2 CASE: This is entirely an EM program. This is part of  
3 the ICP, Idaho Cleanup Project contract.

4 PEDDICORD: Thank you.

5 EWING: Right. Any questions? Board? Staff? So this  
6 is a good introduction to your next talk. So this is what  
7 you do if you can't send it to WIPP.

8 CASE: Right now the strategy is a process on the back  
9 end of the calcine treatment process, which right now is HIP.  
10 I'm the Federal Project Director for this project also.  
11 Enough said there.

12 Related, won't go through all this. We already  
13 talked about generation of sodium bearing waste. We  
14 reprocess fuel here to recover U-235, tank farms. The one  
15 addition, we process the waste through the waste calcine  
16 facility, a fluidized bed technology oxidation process. We  
17 ran two separate calcine facilities, the WCF, and then we  
18 replaced that operational campaign with NWCF, which was shut  
19 down. The last campaign was 1999. Generated about 8,000,000  
20 gallons of liquids of high-level waste that we've processed  
21 through the calcine facilities that generated approximately  
22 4,400 cubic meters of the calcine, which we store in the  
23 calcine storage bins.

24 This is an example picture of a calcine solid  
25 storage facility. They are concrete vaults with bin sets,

1 stainless steel bins. The calcine was pneumatically  
2 transferred from the calcine facility into these stainless  
3 steel tanks, bins. Each bin set--there's seven bin sets.  
4 One is empty. Bin Set 6 is half full. They're all built a  
5 little different. Five of the seven do have access ports for  
6 retrieval. Bin Sets 1 and 2 were not designed for that, so  
7 there'll be challenges for retrieval, at least on those two  
8 bin sets. Small granular bed material, a fluidized bed. A  
9 very, very good process.

10           Question is, why did we shut it down? We ran that  
11 under an interim status with the State of Idaho, again,  
12 hazardous waste treatment. This facility was built before  
13 RCRA was applied to DOE, the Resource Conservation Recovery  
14 Act, so it cannot meet some of the standards for thermal  
15 treatment. So we did a last run in '99, and then we were  
16 under a consent order to shut the facility down and replace  
17 the treatment of the liquids. And that's what we have for  
18 IWTU. So that's a very good process. These bin sets, very  
19 robust.

20           This is just a pictorial of the current storage  
21 volumes we have. I mentioned Bin Set 1 and 2 and 3 are  
22 pretty much all underground; 4, 5, 6 and 7 are half and half.  
23 Again, different volumes contained in those. Bin Set 1 and  
24 Bin Set 2 will be a little more difficult to retrieve,  
25 because they do not have access ports. We'll have to

1 actually design the system, which we do have preliminary  
2 conceptual design for the retrieval access.

3           So the calcine project--and this is a pictorial.  
4 You were out there yesterday, so you probably saw all the bin  
5 sets. This is the old--when we ran the calcine facility,  
6 this is the stack where we had the emissions. If you've been  
7 out here when we did run reprocessed fuel and ran the  
8 calcine, you could usually see a yellow plume, NO-NOX.  
9 Sometimes I call that the color of money, because we were  
10 operating and processing waste. But that was a real big  
11 issue from an EPA standpoint, because we couldn't meet some  
12 of the standards for maximum achievable control technology  
13 for some of the other emissions, because very, very corrosive  
14 environment. So the facility was shut down. We have  
15 approximately 4,400 cubic meters of the calcine stored here  
16 in these facilities.

17           The project scope, I did talk--in January I know I  
18 presented to the Board. We have a lot of new members, so  
19 some of this will be redundant to some of you, but, just to  
20 remind, the project is to design and construct a processing  
21 facility using the existing IWTU to the maximum extent  
22 practical. And that decision was made mid-design of the IWTU  
23 facility. We went from a performance category, seismic  
24 category. We're not going to build two huge facilities, so  
25 there was a study done, a recommendation from EM, that we

1 really to make this a dual-purpose facility, build the shell  
2 at least robust for a Performance Category 3. And that's  
3 just some more seismically robust facility based on a higher  
4 source term than the calcine has. I mentioned it's about a  
5 factor of 10 higher in radionuclide content. That drives the  
6 facility to a much more robust seismic qualification than for  
7 treating just sodium bearing waste.

8 LDR is land disposal restrictions. That's a RCRA  
9 requirement under hazardous waste requirements, so we have to  
10 pick a treatment that basically produces a waste form that  
11 doesn't leach the hazardous constituents, heavy metals being  
12 the main concern for us, cadmium being one of the major ones.  
13 Packed in the container, and then we have a requirement under  
14 our settlement agreement to have this waste road-ready by  
15 2035, which seems like a long time.

16 Our key milestones that we had, you know, these are  
17 all internal to DOE. It's project management order, but  
18 Critical Decisions--basically, we do have a mission need, and  
19 that's what's called Critical Decision-0. It's the internal  
20 programmatic from a project management standpoint. That was  
21 signed back in June 2007. We had to issue a ROD per the  
22 Idaho Settlement Agreement. I mentioned the EIS that  
23 selected steam reforming and made the decision SBW should be  
24 TRU. There was a phased environmental impact statement  
25 process. The last Record of Decision was selection of a

1 treatment process for calcine. That decision was made, and  
2 they issued the Record of Decision back in December of 2009,  
3 which met that milestone.

4           There was a whole selection criteria process. What  
5 really drove the decision process on at least criteria--there  
6 was both technology criteria, cost criteria, but, really, I  
7 believe it was--because right now for high-level waste  
8 treatment standard for BDAT and LDR is vitrification. If you  
9 look at this waste form, there were some technology  
10 challenges with vitrifying calcine, also the waste volumes.  
11 Looking at the HIP process, we were looking up to about 50 to  
12 60 percent volume reduction in the final waste form versus  
13 for vitrification. It was 30 percent; 33 percent seems to be  
14 the standard at BWPF. This waste's a little harder just  
15 because of some of the heavy metals and the waste the way it  
16 is.

17           So what really drove the HIP process was not so  
18 much technology maturity, except that it is used in industry.  
19 It has a very good track record for making powdered metals.  
20 If you look at the number of canisters that--at the time this  
21 was done, the disposal charges that we had to assume per  
22 canister at Yucca Mountain, I think before the project was  
23 shut down, the latest cost estimate per canister was about  
24 \$700,000 per canister. So that drove a lot of the decision  
25 making process on selection of this technology, minimizing

1 volume in canisters, and also technology maturity and cost.  
2 The cost for this--when you look at some of the cost ranges  
3 for some of the other options, this was much more in the  
4 mid-range compared to vitrification.

5           We do have a requirement to submit a Part B permit  
6 application for the process by December. That's under the  
7 Idaho Settlement Agreement. We are going to meet that.  
8 We've been focusing on that activity. We have the draft  
9 permit application. It's about four volumes, getting a lot  
10 of technical information, conceptual design data; but that  
11 will be submitted to the State of Idaho for their review  
12 December 1st.

13           We also have a schedule we have to submit under the  
14 site treatment plan. That is also a requirement under  
15 resource conservation. It's a Federal Facility Compliance  
16 Act Agreement. All the sites--usually they have mixed waste  
17 in the complex. They negotiate these with their states. So  
18 this is regulatory-driven. We have a milestone to submit by  
19 end of this year, you know, a schedule for procuring  
20 contracts, construction, system testing, commence operations,  
21 very high-level, but the State of Idaho requires that at this  
22 stage of the project. And, again, I mentioned our settlement  
23 agreement milestones have this waste road-ready by December  
24 31, 2035.

25           What have we been doing? Hot isostatic press, as I

1 mentioned, it's been in commercial use, again, not for this  
2 type of--you know, not for treatment of radioactive waste.  
3 It's a very good process for making--working with powdered  
4 metals, parts and components. You look at the different  
5 temperature ranges, 2,500 degrees C and pressures up to  
6 60,000 psi. It's a pressure vessel with a furnace. It's  
7 isostatic pressure, so it comes from all sides equally, uses  
8 argon gas.

9           For our process we're proposing is a temperature  
10 range in the 1000 to 1,200C, 7,000 to 15,000 psi. Nuclear  
11 engineer and nuclear safety, high temperature/high pressure  
12 raises red flags with me, so we've spent a lot of effort  
13 understanding the process commercially, the accidents they've  
14 had, because they have had--I'm aware of, we've talked, we  
15 did bring commercial people on, but there have been three  
16 major accidents, I think, in the country with this process,  
17 one in the Boston area, I think Upstate New York, and I  
18 forget where the other one was. But that's always a big  
19 issue in the DOE when you're dealing with this type of waste,  
20 these type of scenarios. High pressure/high temperature does  
21 raise flags. So a lot of effort on safety documentation at  
22 least on reliability in some of the studies to make sure the  
23 process--we don't have, you know, focus on that.

24           It does produce a glass-ceramic waste form, so that  
25 was another attribute. We feel it can meet the requirements

1 to get in as good as glass. You hear that term a lot. So  
2 we've been doing a lot of studies on samples, surrogate  
3 samples, on waste form development to meet both land disposal  
4 restriction, the leachability requirements, and good as glass  
5 from a high-level waste repository standpoint. And we're  
6 using the current waste acceptance, the WASRD document. I  
7 forget what that stands for, but EM owns that document now  
8 that we don't have a high-level waste program. But that is a  
9 standard we're working to.

10 I mentioned the volume reduction. That looked very  
11 attractive to us in the sense much better in vitrification,  
12 because the best I've seen with BWPF is about 30. I think  
13 they've gotten up to 33, 34 percent with some of the sludges.

14 This is the process--a very high schematic of the  
15 process. Here we've broken--the numbers here are just really  
16 more like a work breakdown structure, the process element  
17 structure, so you don't really need the focus. This is just  
18 for our analysis purposes, both from a technology maturity,  
19 the process we're looking at. We've broken it down into key  
20 processes, but the first process for this will be retrieval  
21 from the bin sets. And that's a whole set of technical  
22 challenges. Some of the calcine has been in there over 30  
23 years, so you ask questions about caking, can you get it  
24 retrieved; as it's aged, is it still in a flowable material.  
25 So there's studies we've done on that.

1           Also, the best way to do penetrations of, like, Bin  
2 Set 1, the plan here is to do prototype testing. We have the  
3 empty bin sets, so do mock-ups using the empty bin set. We  
4 have done some studies with the calcine surrogate on  
5 pneumatically transferring out. So that's one of the key  
6 elements is retrieval of the waste.

7           And then I get into--retrieve into--it goes into  
8 where we have a train, we have to bake out the calcine,  
9 because in HIPing you don't want any moisture. So there'll  
10 be a bake-out facility in IWTU, the process cells, we'll heat  
11 that. And we're using temperatures--we hope to be able to  
12 get all the mercury out also. There is some residual  
13 mercury, we believe, in the waste; so we'll use a mercury  
14 condenser and then amalgamate the process to get a very small  
15 fraction of that secondary waste. And that can be disposed  
16 of probably as mixed waste down--usually Energy Solutions--  
17 they can take that or on-site it on-our RTA facility--  
18 disposal facility.

19           We have a HIP can fill station, after you bake it  
20 out, the HIP can train. We're doing a lot of studies. I'll  
21 talk about the technology work we've been doing on the HIP  
22 can. That's kind of key to the process, because you want to  
23 design a can that does compress in a very nice manner. HIP  
24 furnace--sorry, big thumbs.

25           We're looking at three process lines. Because of

1 the schedule, we're assuming a 12-year operational campaign,  
2 so we'll have three HIP machines. The size of the machine  
3 we're looking at a HIP unit of about, oh, I think it's about  
4 5 feet by 30 inches. And that was to enable it to fit in the  
5 existing cell structures that we have at IWTU. But three  
6 cell lines, cycle through, and, again, temperature, you know,  
7 a lot of off-gas. We're trying to use as much of the off-gas  
8 train we have out there already, the GAC beds, ventilation  
9 system, but there'll be some modifications. The real gut--  
10 we'd have to remove all the steam reforming of equipment  
11 process vessels and replace with the HIP can furnace, the  
12 heating/drying station, and there'll be a new annex here for  
13 transporting and shipping to a repository.

14 But this is a gut, so you have a HIP can, HIP  
15 furnace, which will take into the HIP machine. Right now  
16 cycle times, we have some bounding ranges we're looking at to  
17 meet that 12-year campaign and then remove it, load it into a  
18 canister for shipment to a repository if and when one is  
19 available.

20 Any questions on the process flow? It's very high-  
21 level.

22 You were at IWTU yesterday. This is the facility  
23 we intend to use, retrofit it to modify it to place this  
24 process out after we complete the sodium bearing waste  
25 campaign, D&D the facility. I'll strip out all the process

1 cells with the vessels we have now, which is a major task in  
2 itself.

3           This is the existing facility I mentioned. We'll  
4 have to build an annex. This is a little bit better  
5 depiction. This is the existing what we call four-pack and  
6 two-pack where the existing steam reforming process is now.  
7 We'd be utilizing the process cells for the HIP process.  
8 Transport, really, this will be the loading stations. We  
9 have lag storage for the canisters and the hockey pucks, very  
10 big hockey pucks, I call it, the HIP waste form, the HIP  
11 cans, and then to load out here and ship. So this would be a  
12 new annex to the facility, but mainly for the load-out of the  
13 treated product for shipment. We're at very preliminary --

14           So some of the more key technical things we've done over  
15 the last three years is--is HIP cans key to the process. Lot  
16 of modeling we've done, because you want a can that basically  
17 compresses in symmetric waste form with the isostatic  
18 pressure, and you don't want a can breach, so that's really  
19 key. We've done qualifications up to half-scale, which I  
20 mentioned we're looking at--the half-scale is 20 inches by 30  
21 inches in diameter, about 4 by 5 feet. And, again, that was  
22 driven a little bit by the configuration of the process cells  
23 we have so we could fit the HIP unit in.

24           Waste form is very important for this process.  
25 We've done 25-gram samples. We're looking at going from

1 small-scale, lab-scale, up to a full-scale facility to test  
2 waste form. The key here is, the waste we have and the  
3 calcine--our reprocessing campaigns were mainly aluminum  
4 fuel, zirc fuel, some cats and dogs, but we're looking to get  
5 basically one formula for the recipe for the final waste form  
6 product. So we're working on our--our lab scale is both  
7 different mixes of calcine surrogate, high in alumina, high  
8 in zirc, high in sodium, and some mixes in between. To be  
9 able to--our goal is to get one recipe for the process.  
10 That's the ideal goal, recognizing because of the different  
11 calcine characteristics and configurations, the waste we have  
12 there--it is layered, if you look at the operational campaign  
13 of fuel reprocessing. There is layering of different fuel  
14 types, so we're trying to bound that by the waste form  
15 testing.

16           We've done nine--we used ANSO, Australian Nuclear--  
17 I forget the acronym--but they're the ones that, you know,  
18 did a lot of work with us. They were able to do spike  
19 samples over at their facility in Australia, so they've been  
20 supporting the project.

21           Furnace filter tests, if you look at--we'll load  
22 the can into the furnace. But if we do get a breached can,  
23 we don't want to basically contaminate the whole HIP cell, so  
24 one of the real key things is have filter that would contain  
25 any--if we do have a failed canister during the process, it

1 doesn't contaminate the whole furnace, etc. we'd have to  
2 replace in the process. So we're doing testing. We're  
3 working with Avure, which is a company out of Sweden, but  
4 they're in this country. They have 50, 60 years of process  
5 knowledge with HIPing. They sell these machines, so they're  
6 on board. Because our contractor, they don't have much  
7 experience. We've brought all the resources in we can,  
8 Avure, ANSO. Bodycote uses this process also to help us on  
9 our technology development to work these issues. So we're  
10 working basically to mature the technology for, if we do get  
11 a breached canister during the process, we don't contaminate  
12 the facility.

13           HIP can profile really goes into the HIP can  
14 modeling tests also. Again, we've done small-scale HIP can  
15 tests to model as we scale up to make sure we understand  
16 parameters and what's key for the HIP can and the process so  
17 we get very good isokinetic--you know, we get a can that  
18 doesn't breach and get good, uniform process and getting the  
19 HIP can and HIP--you have the ceramic process that meets  
20 waste form requirements. So that's been ongoing.

21           And then the engineering aspects of supporting the  
22 RCRA Part B permit, we're really at a conceptual level with  
23 the process, which is a little different from what normally  
24 you submit a permit. Usually you should be in final design.  
25 The State of Idaho has been working with us, understanding,

1 you know, we don't have--we have a lot of technology maturity  
2 issues we have to work as we go scale up on these tests.

3           So this is what we've completed up to date. All  
4 that's been sent over to us for review in supporting the Part  
5 B permit. We're reviewing all this data now at DOE. It was  
6 a contractual requirement to get this submitted to us by  
7 August, and so it's under review. We have done a material  
8 balance for the process.

9           Key to this also is understanding the waste you  
10 have, because it's very expensive to sample calcine. We have  
11 some actual real waste calcine in storage that we want to use  
12 as we scale up on the test to validate the recipe we have.  
13 That's stored at INTEC. So is it representative of all the  
14 calcine? No. But it'll at least help us with real waste  
15 form testing as we scale up. And the intent is to build a  
16 full-scale test facility, because one of the lessons learned  
17 on technology maturity is--IWTU is a good example--one-tenth  
18 scale, scaling up to full scale, sometimes they don't scale  
19 up quite as good as you think.

20           But this is where we are on the project status as  
21 of this month. We have had a number of reviews, lot of  
22 questions about technology. These are internal reviews we've  
23 had. DOE uses what's called a Consortium Risk Evaluation,  
24 CRESP, and they came out in May. One of the issues was,  
25 well, what about cold crucible vitrification, this

1 nervousness about this waste form, getting it qualified for a  
2 repository. They came out, spent a lot of time with us.  
3 They recommended that we do some backup work on  
4 vitrification, cold crucible specifically.

5           Then EM had what was called a technical evaluation  
6 group, EM-TEG. They came out last year and also looked at  
7 our technology maturity and looked at our technology roadmap.  
8 We do have a very good technology roadmap, and I didn't show  
9 that, but it guides all our areas, and we use the technology  
10 development level. Right now most of our elements of the  
11 process are at a 3 or 4, so that's more at the lab scale.  
12 But DOE requires, under their project management, you should  
13 be at a technology development Level 4 for all the critical  
14 technology elements of the process before you get CD-1  
15 approval, which is to move into preliminary design.

16           They gave us a good review scrub, didn't say HIP's  
17 not a good process. They did identify two risks with waste  
18 acceptance of the glass-ceramic form. And basically what  
19 that is--it really related--they said, you know, you still  
20 are going to have to go through a process to get this waste  
21 form accepted; and where you're at, you don't have much data  
22 to demonstrate that it would meet the standard borosilicate  
23 glass. So they identified that risk for us, which we  
24 understand.

25           Don't have a slide on this, but where we're going

1 in the next few years--in January I talked about the 2013 to  
2 2015 time frame. We're really going into a stand-down with  
3 the project. We're submitting the Part B permit to the State  
4 of Idaho December 1st, no later than December 1st. Budget  
5 profiles for the current contract and with our EM budgets  
6 really had minimum funding to--we're just going to address  
7 State of Idaho comments on the process. We're really not  
8 going to mature the technology, do any further engineering  
9 work. It's really going down into a stand-down mode and just  
10 respond to State of Idaho comments on the permit. The intent  
11 is, after the 2016 period we'd scale up again, we'd gear up  
12 the project. So I just think they're just giving me some  
13 more time to work on IWTU.

14 So that's where we're at. Any questions?

15 EWING: Questions from the Board?

16 (Pause.)

17 Could you say a little bit about the waste form  
18 that's produced? What are the main phases in the--

19 CASE: I'm not the right person to ask that. I'm sorry.

20 EWING: Questions from the staff? Nigel.

21 MOTE: Nigel Mote of the staff. Last time we were--

22 CASE: Back to his question, I can get you the test  
23 report; so if you'd like, we do have--

24 EWING: Yes, please, that would be great.

25 CASE: All right. Because we do have a--like I said--

1 EWING: Yeah, sure.

2 CASE: Okay. I didn't mean to interrupt you, Nigel.

3 MOTE: That's all right. The last time we were here, I  
4 remember seeing a process that had been developed as an  
5 alternative to HIPing, and that was a cold--if I say it was  
6 an epoxy, I don't mean epoxy in chemical form. But it was  
7 like two reagents mixed and then have the calcine waste  
8 blended in. It had been taken to final tests with simulants,  
9 and I saw that as being a very useful replacement; because,  
10 as you said, there's been concern in other countries in  
11 applying HIP to radioactive materials, because it's high  
12 pressure and high temperature. And the high pressure in a  
13 pressure vessel means you have a lot of latent energy there,  
14 which, if something does go wrong, gives you potential for  
15 spreading radioactive materials around. So cold and  
16 non-pressurized seemed a lot better. I understand that was  
17 defunded very soon after you had the visit, and I don't know  
18 why.

19 The second alternative was yesterday at the end of  
20 the trip we saw a HIPing small-scale demonstration. But in  
21 the discussion we were also told that there had been a  
22 demonstration done of high-temperature but mechanical press  
23 as opposed to a pressure vessel process. And that seemed  
24 like it would also get rid of the potential energy from using  
25 a pressure vessel.

1           Can you comment on why neither of those have  
2 displaced the--

3           CASE: I know that MFC Argonne back in the older days,  
4 they've done a lot of work for us on HIPing. They had a nice  
5 setup out there. The mechanical pressing, I don't know why  
6 that went away, because I think you were here in 2010,  
7 correct, the last time?

8           MOTE: Yes. I didn't see it at that time. I saw the  
9 cold low-pressure. Yesterday we heard about the high-  
10 temperature mechanical pressure.

11          CASE: Looking at alternatives--how I say this--we  
12 looked at using, continuing to use, BEA now on their  
13 processes, but the costs were just really--from a project  
14 standpoint--I know you guys don't like to hear that answer  
15 sometimes, but we had options to look at on testing, and we  
16 weren't looking at alternatives to high pressure. We hadn't  
17 gotten to, okay, do we have an issue with energy and  
18 pressure? We're just not there. We're doing reliability and  
19 maintainability-type studies and preliminary safety analysis.  
20 But, really, looking at alternatives to the  
21 high-temperature/high pressure, we haven't done anything in  
22 that area.

23           Now, there is pressure--because of the budget  
24 concerns over the next three years, let's--I won't say  
25 revisit the decision, but we have time and opportunity to

1 look at issues related to this waste form and this process.  
2 But, again, the support we got from MFC--I call it Argonne  
3 West, so I've been here too long--you know, good support. We  
4 would like to continue that support, but in the budget  
5 profiles we had other options to do the testing, and they  
6 couldn't commit to a real schedule for us.

7 I don't know if that answered your question. We  
8 did not look at alternatives to the high pressure. And then  
9 continuing to work with them, that was really due to  
10 scheduling and budget issues.

11 MOTE: All right, thanks.

12 EWING: Other questions?

13 (Pause.)

14 Okay, Joel, thank you very much for two talks. And  
15 now--

16 CASE: So any follow-up you guys have, I'll work with  
17 Nigel, because we can get you the--

18 EWING: And just for my personal interest, I'm always--

19 CASE: Okay, yeah. And we have sent a lot of  
20 information, I think, already, maybe not specific to this  
21 project, but other stuff. So just work through Nigel, and  
22 we'll get you the information.

23 EWING: All right, good. Thank you.

24 CASE: Thank you. Appreciate the time. Thanks, guys.  
25 And glad it's not blowing now.

1           EWING: So the next and last session of today's  
2 discussions are the public comments, and let me get the list.

3                   (Pause.)

4           So I have two listed, and I'll just go down the  
5 table. No, three. Sorry. So, Judy.

6           And, again, please identify yourself and your  
7 affiliation.

8           TREICHEL: This one works better?

9           EWING: Here, whatever you'd like.

10          TREICHEL: Okay. My name is Judy Treichel from the  
11 Nevada Nuclear Waste Task Force, and the Task Force got its  
12 start even before the Yucca Mountain project. We came into  
13 being about a year before Yucca Mountain in Nevada was  
14 singled out, so we've been around for 26, 27 years, a very,  
15 very long time.

16                   And the Technical Review Board, of course, came  
17 along with the Yucca Mountain project later than that; and  
18 they've been a really, really important of this whole nuclear  
19 waste discussion for a very long time, because the Board  
20 provided a platform for presentations, but it also was the  
21 one place where the really hard questions were asked of the  
22 Department of Energy and it's contractors. And they had to  
23 provide answers or at least find answers or at least think  
24 about things that they had never thought about before.

25                   And more important to me and other members of the

1 public was that it provided a place where we could ask  
2 questions. And in some cases, depending upon who the Board  
3 was, who the Chair of the Board was, there were times when  
4 the Department of Energy was asked to sit right in these  
5 seats right here and answer our questions; and that never  
6 happened in any other place. So we have a rather warm place  
7 in our heart for the Technical Review Board, and we're so  
8 glad that they are still here even though, hopefully, Yucca  
9 Mountain is gone. But if another effort is made to find a  
10 storage site or a disposal site, it's very important to have  
11 an entity like this.

12           Today it was very interesting listening to  
13 presentations. I haven't been to Board meetings for awhile,  
14 but there were questions being asked today about disposal and  
15 about storage that have been asked over the course of the  
16 last 10 or 20 years and were never really answered, and  
17 they're still working on these questions. And for most of  
18 the time that I've been involved, it was we've got to get  
19 Yucca Mountain done, and we've got to stay on schedule, and  
20 we've got to--it doesn't matter if we answer these things;  
21 we'll figure it out once we've got the spot. And, as you've  
22 seen now, the spot went away, and now it's finally time to  
23 answer those questions. And I hope that they do get answered  
24 before we go any further.

25           I made a comment earlier about if this program

1 starts again or any similar program, they've got to start at  
2 the beginning. And it's the public that pays for whatever  
3 happens; either it's through their electric bill or through  
4 their taxes. And it needs to start out with what the public  
5 expects, what they expect with nuclear waste storage or  
6 disposal, and what it is--how this gets done. And it's not  
7 just because somebody decides waste needs to not be in the  
8 place where it is, needs to leave that place. They don't  
9 really care where it goes, but just get it on the road, and  
10 that looks like progress. And the public is never going to  
11 accept that.

12           So at some point, if there is a program that starts  
13 to take shape, I would certainly like to see it begin at the  
14 beginning and have the public understand why it's happening,  
15 not just what's going on, but how come and how it makes them  
16 safer and better off and whatever and certainly--and by the  
17 public. I don't mean particularly the volunteer. There's a  
18 whole lot of places between where the waste is and the end  
19 point where the volunteer is. And that was talked about with  
20 corridor states and so forth. So that all has to begin  
21 early. And any future program should never be schedule-  
22 driven. So thank you.

23           EWING: Thank you very much. So Beatrice Brailsford.

24           BRAILSFORD: Thank you. My name is Beatrice Brailsford.  
25 I am with the Snake River Alliance. The Snake River Alliance

1 was founded in 1979, and we are Idaho's grassroots nuclear  
2 watchdog and advocate for clean energy. I have just a couple  
3 of comments.

4           You know, this whole--the BRC review  
5 recommendations has kicked in a whole new process that's sort  
6 of going along with maybe not some of the underpinnings  
7 having been put in place appropriately as in who does accept  
8 the BRC recommendations and who doesn't and how do we  
9 articulate that acceptance legally, socially, and all sorts  
10 of ways. But at least it has, if nothing else, certainly  
11 roiled the nuclear waste world in a way that it hadn't been  
12 roiled in many, many years.

13           So I will speak only to one aspect that the BRC  
14 focused on, noting that the Snake River Alliance's long-held  
15 conviction is that nuclear waste should be stored as safely  
16 as possible, as close to its point of generation as possible,  
17 and that a good deal of the efforts that we have seen in  
18 Idaho to address the nuclear waste problem--and we have been  
19 the victim of some of those efforts in Idaho--are addressing  
20 a political problem, not an environmental problem, and that,  
21 I think, we have to be very cautious to not keep going down  
22 that road no matter what we call it, consent or whatever.  
23 Judy noted appropriately, you've got to be fixing the right  
24 problems if you're going to move forward on this whole  
25 question.

1           So what I want to talk about, though, just so briefly is  
2 consent. I will note that the Blue Ribbon Commission, which,  
3 you know, was not elected, was not--it's just 15 or 18  
4 people. It did, though, give some roadmap help. It had a  
5 lot of steps before you get to consent, before the government  
6 gets to the point of inviting consent, so, you know, whether  
7 or not we replace DOE in this conversation.

8           What are the generic standards for any new nuclear  
9 waste facility, storage or disposal? There are a lot of  
10 things that have to happen, according to the Blue Ribbon  
11 Commission, before we go out and invite communities to apply,  
12 because we might be wasting a lot of time, if nothing else,  
13 if we go out and--you know, whoever raises his hand first and  
14 says yes the loudest. And I know that there are some--you  
15 know, nuclear waste has a certain appeal to some folks, I  
16 guess.

17           But what I want to note from a purely local  
18 parochial place, Idaho has said no. We are a non-consent  
19 state. People in Idaho started expressing concern about  
20 nuclear waste coming into Idaho in the 1960s, and by the  
21 1970s we started actively resisting that. That resistance,  
22 that concern culminated in the early 1990s when waste coming  
23 into Idaho was stopped. That impasse led to what we call the  
24 1995 Settlement Agreement. And Joel talked about it, and I'm  
25 sure you probably know all about it. But one of the key

1 components of the 1995 Settlement Agreement is that  
2 commercial nuclear waste is banned from Idaho. That  
3 settlement agreement was affirmed in a statewide referendum  
4 in 1996. 60 percent of Idahoans voted that they wanted to  
5 get nuclear waste out of Idaho, and 40 percent of Idahoans  
6 voted that we wanted to stop all shipments from coming in.  
7 So what happened was a hundred percent of the people of Idaho  
8 who voted in 1996 said, We do not feel comfortable having  
9 nuclear waste in Idaho. And that's just bedrock folks.

10           So as we're going forward looking at--you know, I  
11 didn't hear so much you guys talking about how do we go about  
12 seeking, achieving consent, but do remember that you are  
13 entering a world where a lot of the invitations have been  
14 refused already. There are a lot of places in this country  
15 that have already actively said no. And I would say that one  
16 of those places that has said no for the longest time and the  
17 loudest and as firm as we can say it is Idaho. Thank you.

18           EWING: Okay, thank you very much.

19           Darryl, Darryl Siemer.

20           SIEMER: Hi, I'm Darryl Siemer. I am an ex-consulting  
21 scientist from INL. I'm a Ph.D. chemist, and this is the  
22 Technical Review Board, so I'm going to talk about technical  
23 stuff. I really haven't heard very much about the technical  
24 aspects of what waste management is here. In particular,  
25 with the plans for the waste at this site, what should happen

1 to it, and I'm talking about high-level waste, that generated  
2 by reprocessing, not spent fuel.

3           Now, this includes, of course, the sodium bearing  
4 waste, and I guess yesterday you went out and saw a brand new  
5 building with some shiny equipment in it. You were able to  
6 tour it up close and personal, because this thing is over a  
7 year behind schedule and consequently hasn't been rendered  
8 radioactive yet. It's behind schedule for a reason. An  
9 extended decision-making process was undergone many years  
10 ago, almost a decade ago, that led inevitably to some  
11 substitute for calcination for sodium bearing waste.

12           Now, to begin with, the reason that you are looking  
13 at this kind of facility you looked at yesterday was that  
14 there had been a decision made when the folks that ran the  
15 chem plant--my bosses at the time, because I worked at the  
16 chem plant as a scientist in the laboratory. We were given a  
17 new mission when reprocessing died to come up with uniquely  
18 efficient ways of dealing with the waste accumulation that  
19 the chem plant had generated over the years from processing  
20 all that fuel. And the folks put in charge of that, of  
21 course, were the folks that were in charge of the  
22 reprocessing operation, which, of course, led to a paradigm,  
23 the adoption of a paradigm for waste treatment, which was  
24 reprocessing. Only this time, instead of redissolving fuel  
25 elements, making a liquid out of it, extracting a component,

1 the uranium, out of it as the product, now we were going to  
2 redissolve the calcines, the stuff that had already been  
3 calcine, generating huge amounts of NOx going up a calciner,  
4 which had not been--even though it was freshly rebuilt, there  
5 had been no attempt at making it work in a way that didn't  
6 generate huge amounts of NOx and consequently was  
7 tremendously out of phase with the environmental movement;  
8 that is, you shouldn't be putting out giant clouds of visible  
9 gas when you process something. And no other facility in the  
10 country could do something like that; but, of course, we  
11 could because we were special.

12           But we calcined the waste generated from  
13 reprocessing. And when reprocessing died, these folks who  
14 had been running that plant decided that we would reprocess  
15 the waste. Consequently, the separations paradigm was  
16 adopted. Now, since most of the waste had already been  
17 calcined, this meant that you redissolved the calcine, and  
18 you extracted something else from it, in this case those  
19 components which render it high-level waste or especially  
20 radioactive, especially toxic. Now, to do that, of course,  
21 you have to produce a liquid so that you can extract it.  
22 When you do that, then you're going to generate another  
23 waste; you're going to have to deal with that, too. But once  
24 you've extracted the things you want to extract, now it's  
25 low-level waste, and you don't really have to worry about the

1 low-level fraction.

2           But the bottom line was, the paradigm adapted,  
3 would it redissolve everything, put the nitrate back in, and  
4 generate solutions you can do extractions with? Well, the  
5 remaining liquid waste, the sodium bearing waste, the stuff  
6 that was still in the tanks, of course, was already suitable  
7 for these extractions. Because it was suitable for these  
8 extractions, they dragged their feet every way they could to  
9 not calcine this stuff, because they wanted to convince  
10 everybody that it made sense to redissolve calcines and  
11 implement separations.

12           Incidentally, a technical point, it was all  
13 justified by the notion that Yucca Mountain, the thing that  
14 we were told, the place that this stuff was supposed to go,  
15 wouldn't be big enough to take our 4,500 cubic meters of  
16 calcine unless we somehow reduced its volume. Now, if you  
17 look at the size of the mountain and compare it to 4,500  
18 cubic meters, you realize that was a phony assumption.  
19 People never seemed to question it--at least they didn't  
20 question it for about five years--that somehow we had to--it  
21 would be worthwhile reducing the volume of this stuff in  
22 order to ship it off to a giant mountain. But it was a fine  
23 way to spend money and to do research for five years, so  
24 that's what happened.

25           Well, eventually that fell through; that is, people

1 did finally realize that volume reduction was not a valid  
2 driver for our waste program. Therefore, the dissolution of  
3 the calcines really didn't make much sense.

4           But we've dragged our feet on calcination. We had  
5 never updated the calciner, and it would have required a very  
6 simple update to deal with the sodium bearing waste and turn  
7 it into calcine, which is what we could and should have done  
8 two decades ago. The technology, the way to calcine sodium  
9 bearing waste with an already-paid-for calciner, which  
10 already exists out there--and I understand it still exists  
11 out there--is to simply stir some sugar in with the waste  
12 before you calcine it. Then you've got the direct reduction  
13 of the nitrate in an acidic solution when you heat it up by  
14 sugar. And when you do that, you make a new calcine, a  
15 carbonate calcine.

16           Well, since we didn't do it and regulations came up  
17 and we told everybody--well, DOE had told everybody that it  
18 couldn't be done, then they didn't do it. And when the  
19 separations thing fell through, calcination was dead because  
20 we had killed it, because we wouldn't implement this sugar  
21 calcination technology developed in 1957 at Argonne--because  
22 we didn't implement it, then we had to find something else.  
23 So what were we familiar with? We were familiar with  
24 fluidized beds.

25           So these salesmen came along selling a fluidized

1 bed process, only they couldn't call it calcination, they had  
2 to call it something else. They called it steam reforming.  
3 And instead of adding sugar to it, they would do it with a  
4 solid reductant, coal--or elemental carbon in one form or  
5 another--but coal was the main reductant. So in order to  
6 convert sodium nitrate into a solid material in a fluidized  
7 bed reactor, you have to reduce it; you have to convert it to  
8 a carbonate.

9           Now, with sugar, very simple and straightforward  
10 process, could have been implemented. We didn't do it. And  
11 when the snake oil salesmen came by and sold us this, at that  
12 time we bought it. Now, of course, I was a scientist out at  
13 the site, and I did object to this, because it didn't make  
14 much sense. We had run numerous calcination or reforming  
15 experiments with different reductants, and the bottom line  
16 is, when you use coal or charcoal as a reductant, it doesn't  
17 burn very well. It's not that homogeneous reaction like that  
18 of dissolved sugar with nitrate molecules interlinked with  
19 solution. That's a very quick reaction. With coal, it's  
20 heterogeneous and very slow, meaning that the coal doesn't  
21 all burn.

22           Now, I don't know what you saw yesterday, but a  
23 representative product from a steam reformer is black, and it  
24 contains, depending on which--well, we ran numerous pilot  
25 plant tests. Hazen did pilot plant tests of this stuff at

1 many different times; they always contained a large amount of  
2 elemental carbon. Elemental carbon is what plugged it up the  
3 last time they tried to start this process up. It plugged it  
4 up solid, blew stuff out the stack. And thank goodness it  
5 happened before they went hot, because that facility is still  
6 cold; that is, it could be modified to do something more  
7 useful and less problematic. And that's what should happen.

8           Now, the sodium bearing waste, Mr. Case's talk was  
9 all about--it wasn't technical. It's all about the  
10 classification of the waste and why we decided, according to  
11 the way we looked at it, to do what we did and almost no  
12 description of the process itself. Somehow we're just going  
13 to turn it solid and it's going to go to WIPP.

14           EWING: Darryl, if I could interrupt for just a moment?

15           SIEMER: Yeah.

16           EWING: We specifically asked if they addressed the  
17 classification problem, because we're trying to decide  
18 whether it's in the mandate of the Board. So if there wasn't  
19 enough technical content, that's partly because of what we--  
20 I'm sorry.

21           SIEMER: No, no, I can hear you very well.

22           EWING: Well, but it's being recorded. That's partly  
23 because of our directive in terms of the content we needed.

24           SIEMER: Well, again, decisions like this--you know,  
25 we've been kicking this around for many years. The

1 stakeholders, the folks in Idaho, were told before the  
2 decision was made to do steam reforming out here--one of the  
3 things that was very strongly hinted at, at least, was that  
4 this stuff was going to be reformed into this fine product,  
5 which could be shipped off immediately to WIPP.

6           In fact, that was in the original contract. There  
7 are something like 250 contract changes since that contract  
8 was let up till now, and every one of them dealing with the  
9 sodium bearing waste project has moved the goal line to make  
10 it easier for the contractor to succeed. Well, they never  
11 succeeded. DOE has finally admitted this process will not do  
12 what we were told that it was supposed to do; that is,  
13 convert it to something which would be shipped off to another  
14 state. Couldn't do it. They finally admitted it.

15           It was supposed to be inexpensive relative to the  
16 alternatives. It wasn't. The first bid was 45 million  
17 bucks. They are over 570 million on this. That's 13 times  
18 higher. They had to extend the contractor's contract for  
19 another three years to somehow get something done on this.  
20 They can't find another contractor that's going to take over  
21 that technology. And, most importantly, if they manage to  
22 get it to go, they then will not be able to convert it to  
23 something suitable for disposal at a high-level waste  
24 repository.

25           A question which is still being asked: Is this

1 high-level waste or not? Now, it's totally non-conservative  
2 and non-necessary to assume that this stuff has to be kept  
3 separate from the rest of the waste that was calcined out  
4 there. In fact, while efforts were made to more or less keep  
5 things separate, it isn't separate. The radioactivity of  
6 this stuff is on the same order of magnitude as is the waste  
7 that has already been calcined, which everybody admits is  
8 high-level waste. Its chemical toxicity is the same.  
9 There's a different distribution of chemical toxins in it;  
10 there's more mercury in sodium bearing waste, less cadmium.  
11 But, in terms of it being a nasty stuff that should be buried  
12 somewhere in a form where, if water gets to it, it doesn't  
13 dissolve, or if wind gets to it, it doesn't blow away, it's  
14 equally important to deal with sodium bearing waste as we  
15 dealt with the waste that has already been calcined.

16           These distinctions that have been made are totally  
17 artificial. They can't even decide whether it's high-level  
18 waste or not, and they've been thinking about this for 15, 20  
19 years. And their decisions--they get themselves into--they  
20 drive themselves into a point where they have to make a  
21 decision, and the danger is always that they will make the  
22 wrong decision.

23           Going to steam reforming was a wrong decision. Not  
24 calcining it with sodium bearing--not calcining it with the  
25 existing calcine or using this sugar calcination was a wrong

1 decision. Calcining anything in a way that blows NOx up the  
2 stack, totally unnecessary, was a wrong decision. Committing  
3 to HIP--whatever we decide to call high-level waste when this  
4 process is done of converting the remaining liquid waste into  
5 a solid, committing to HIP, that stuff, will be a wrong  
6 decision.

7           One of the technical problems with this steam  
8 reforming process is that it cannot be HIPped. In fact,  
9 it'll be almost--well, it will be extremely difficult to  
10 vitrify, which means that if this process goes on--this steam  
11 reforming process goes on, actually starts, first thing  
12 that'll happen is they'll crap up a facility. That means  
13 render it so radioactive that any further changes will be  
14 extremely expensive and very difficult to reverse. Taxpayers  
15 can't stand another 100-million-dollar hit or whatever it  
16 will cost.

17           So don't go hot until you absolutely know what  
18 you're doing. That's something that needs to be done, and  
19 they shouldn't start up just because the schedule says they  
20 want to start up by January or February or April.

21           The process should be changed. It's very  
22 straightforward. They do have a fluidized bed reactor; they  
23 have an off-gas burner, another fluidized bed. This process  
24 could still be implemented without the elemental carbon.  
25 They shouldn't be using coal as a reductant. Use something

1 that actually burns and doesn't create carbon. Elemental  
2 carbon is the really most problematic fraction of the product  
3 of this stuff. When you run this steam reforming process,  
4 you end up with gobs of elemental carbon, meaning you can't  
5 HIP it. If you put elemental carbon and metal oxides in a  
6 HIP can, heat it to a thousand degrees, what happens is you  
7 create carbon monoxide. You create a gas. It's a gas  
8 former. Okay? You can't HIP this stuff that's got elemental  
9 carbon in it. If you put a calcine, this material, into a  
10 glass melter containing that much elemental carbon, it'll  
11 crap out all the metals in it, except the alkaline metals.  
12 They'll actually reduce and end up in the bottom of the  
13 reactor.

14           So if this process is implemented as they propose  
15 to do it, they lock themselves into a corner where they  
16 cannot convert it to a waste form which is suitable for  
17 disposal. Suitability for disposal--it's got to be water-  
18 insoluble and it can't be a dust. Well, steam reforming  
19 makes a water-soluble dust. Now, it can be calcined. You  
20 can still modify IWTU--and they should--to do sugar  
21 calcination. At least then you get a clean carbonate  
22 calcine, which can be vitrified and which can be stored in  
23 the empty bin set.

24           I don't know whether you saw the bin sets out there  
25 or not. There are six bin sets that have stuff in them.

1 There's an empty one, Number 7, which could contain  
2 everything, all the sodium bearing waste about three times  
3 over, after it's been calcined. And that's what should  
4 happen to it. The taxpayer has already paid for this bin  
5 set. It's out there. It's been out there for 15 years. It  
6 doesn't contain anything.

7 Well, what should be done is you calcine the  
8 remaining reprocessing waste; that's the sodium bearing  
9 waste. You do it with sugar instead of carbon. You can use  
10 IWTU since we've already spent \$600 million on it; go ahead  
11 and use the new process, only change the chemistry; make a  
12 calcine out of it; put it in the bin set; and then wait until  
13 a decision is made what should be done with this calcine,  
14 combined calcine of the chem lab. Sodium bearing waste is  
15 not really different, and it can be changed. The whole  
16 process can be changed.

17 HIPing, I think, is an inadequate or an  
18 inappropriate choice for this. The justification for HIPing  
19 the calcine was based on the same old arguments we were  
20 hearing 25, 30 years ago. The main one the DOE seems to be  
21 interested in is volume reduction again. We're still back to  
22 the notion that a waste form has to be small. It really  
23 doesn't have to be terribly small.

24 Now, if you compare the volume of the stuff you  
25 would make from all of the high-level waste at the chem

1 plant, the calcines plus the sodium bearing waste with  
2 borosilicate glass vitrification and HIPing, yes, there is a  
3 large difference, about four to one; that is, HIPing can  
4 produce a high-quality, leach-resistant waste form with about  
5 a quarter of the volume of borosilicate glass.

6           However, there's also been a great deal of work  
7 done on a phosphate based glass. And we happen to have a guy  
8 at a phosphate plant just right down the road, so the main  
9 ingredient is really cheap. A phosphate glass would put all  
10 the calcines and all the sodium bearing waste, and they  
11 should be done together. The reason is is that the sodium in  
12 the sodium bearing waste is a necessary part of glassmaking.  
13 You need alkali in order to make a glass that'll encapsulate  
14 all the ingredients of the calcine, and it should come from  
15 the waste.

16           EWING: Darryl, could you wrap it up in a couple  
17 minutes?

18           SIEMER: Okay. Well, vitrification via a phosphate  
19 glass will produce about 4,000 cubic meters of waste form,  
20 not 11 or 12,000 cubic meters of waste form as you get with  
21 borosilicate glass based on some guesses. The waste loading  
22 is about three times higher with it. The performance of that  
23 waste form for this kind of waste--remember, the calcines at  
24 the chem plant and the sodium bearing waste all together are  
25 only moderately heat-generating. So we don't have to worry

1 about these waste forms getting terribly hot. A phosphate  
2 glass performs very well under those conditions, better than  
3 borosilicate glass. It's easier to make. You can put all  
4 the calcines and all the sodium bearing waste into the same  
5 waste form.

6           And that decision should wait, just like HIPing  
7 should wait. DOE has set itself another artificial goal,  
8 that somehow a decision has to be made and committed to by  
9 December of this year. That should be put off until a  
10 decision that you guys hopefully can influence is made of  
11 what really should be done.

12           When the NRC did its evaluation of what should  
13 happen to the chem plant, one of the things that came out  
14 right on top was put the calcine in the bin sets and leave  
15 them there until they cool off. That's another option.

16           EWING: Okay, thank you very much. And also thank you  
17 for the documents that you've sent to the Board.

18           Any other comments? I think I'm at the end of my  
19 list.

20           All right. I'd like to thank everyone who has  
21 stayed throughout the entire day, particularly the speakers.  
22 It's been very informative, and it's been of great help to  
23 the Board. And so I declare us adjourned.

24           (Whereupon, the meeting was adjourned.)

25

C E R T I F I C A T E1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Fall Board Meeting held on October 17, 2012 in Idaho Falls, Idaho, taken from the electronic recording of proceedings in the above-entitled matter.

October 27, 2012

\_\_\_\_\_  
Federal Reporting Service, Inc.  
17454 East Asbury Place  
Aurora, Colorado 80013  
(303) 751-2777